

1 PLACE: Dobbs Building
2 Raleigh, North Carolina

3 DATE: Thursday, May 23, 2018

4 DOCKET NO.: E-2, Sub 1159
5 E-7, Sub 1156

6 TIME IN SESSION: 1:51 P.M. TO 5:13 P.M.

7
8 BEFORE: Commissioner ToNola D. Brown-Bland, Presiding
9 Commissioner Jerry C. Dockham
10 Commissioner Lyons Gray
11 Commissioner Daniel G. Clodfelter
12 Commissioner Charlotte A. Mitchell

13
14 IN THE MATTER OF:
15 TECHNICAL CONFERENCE
16 Joint Petition of Duke Energy Carolinas, LLC, and Duke
17 Energy Progress, LLC, for Approval of Competitive
18 Procurement of Renewable Energy Program

19
20 Volume 2

21
22
23
24

1 A P P E A R A N C E S:
2 FOR DUKE ENERGY CAROLINAS, LLC
3 AND DUKE ENERGY PROGRESS, LLC:
4 Jack E. Jirak, Esq.
5 Associate General Counsel
6 Duke Energy Corporation
7 410 S. Wilmington Street, NCRH 20
8 Raleigh, North Carolina 27601
9
10 E. Brett Breitschwerdt, Esq.
11 McGuireWoods, LLP
12 434 Fayetteville Street, Suite 2600
13 Raleigh, North Carolina 27601
14
15 FOR NORTH CAROLINA SUSTAINABLE
16 ENERGY ASSOCIATION (NCSEA):
17 Benjamin Smith, Esq.
18 Regulatory Counsel
19 4800 Six Forks Road, Suite 300
20 Raleigh, North Carolina 27609
21
22
23
24

1 A P P E A R A N C E S Cont'd.:

2 FOR NORTH CAROLINA CLEAN ENERGY

3 BUSINESS ALLIANCE (NCCEBA):

4 Karen M. Kemerait, Esq.

5 Fox Rothschild LLP

6 434 Fayetteville Street, Suite 2800

7 Raleigh, North Carolina 27601

8

9 FOR CYPRESS CREEK:

10 Steven J. Levitas, Esq.

11 Kilpatrick Townsend

12 4208 Six Forks Road, Suite 1400

13 Raleigh, North Carolina 27609

14

15 FOR FIRST SOLAR, Inc.:

16 Dan Higgins, Esq.

17 Burns, Day & Presnell, P.A.

18 2626 Glenwood Avenue, Suite 560

19 Raleigh, North Carolina 27608

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

A P P E A R A N C E S Cont'd.:

FOR THE NORTH CAROLINA UTILITIES COMMISSION:

Patrick Buffkin, Esq.

Kim Duffley, Esq.

4325 Mail Service Center

Raleigh, North Carolina 27699-4300

FOR THE USING AND CONSUMING PUBLIC:

Tim R. Dodge, Esq.

Layla Cummings, Esq.

Public Staff - North Carolina Utilities Commission

4326 Mail Service Center

Raleigh, North Carolina 27699-4300

PARTICIPANTS:

Duke Energy Progress and Duke Energy Carolinas:

William Quaintance

Mark Byrd

Edgar Bell

David Johnson

Sammy Roberts

Glen Snider

1 PARTICIPANTS (Cont'd.):

2 Accion Group:

3 Harold T. Judd

4 David E. Ball

5 Philip B. Layfield

6

7 Strata Solar/NCCEBA:

8 Brian O'Hara

9

10 Cypress Creek/NCCEBA:

11 Tyler Norris

12

13 First Solar/NCCEBA:

14 Andy White

15

16 First Solar:

17 Roger Bredder

18 Hubert Lee

19

20 Public Staff - North Carolina Utilities Commission:

21 Dustin Metz

22 Jeff Thomas

23

24

1 PARTICIPANTS (Cont'd):

2 North Carolina Utilities Commission:

3 Steve McDowell

4 Kim Jones

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 P R O C E E D I N G S

2 COMMISSIONER BROWN-BLAND: All right. We'll
3 come back on the record now. I want to remind everybody
4 or notify everybody you'll see the court reporter has
5 changed, therefore, you especially need to be sure you
6 state who you are and which party you're with. The
7 questioning is still with the Commission staff, and I'll
8 call on Mr. Patrick Buffkin. You don't have any?

9 MR. BUFFKIN: No.

10 COMMISSIONER BROWN-BLAND: He changed his mind?
11 Ms. Jones?

12 MS. JONES: Nothing on refresh.

13 COMMISSIONER BROWN-BLAND: Nothing on refresh?
14 So Mr. Dodge, I'll call on you with regard to your
15 request to clarify something.

16 MR. DODGE: Thank you, Commissioner Brown-
17 Bland. We just wanted to clarify one point on the -- the
18 formula for refresh that was discussed earlier that we'd
19 included in our May 16th comments. We -- that -- our
20 perspective on that refresh was it was limited to the
21 Step 2 evaluation process that that formula would be
22 used, and once you finish the Step 2 evaluation process,
23 that would be the -- the refresh wouldn't or the formula
24 wouldn't apply after that point to increases or overruns

1 in system upgrade costs.

2 COMMISSIONER BROWN-BLAND: And Commissioners,
3 do you have questions on the bid refresh issue?
4 Commissioner Clodfelter, as long as you don't go over the
5 questions you already asked.

6 COMMISSIONER CLODFELTER: I will not. So if we
7 -- if we were to change in Tranche 2 and go back to the
8 idea that the developer pays the upgrade cost and so we'd
9 have a bid refresh, you may then recommend and Duke may
10 select winning bidders who are then going to be carrying
11 part of the system upgrade cost. That will become part
12 of the base case for the next round or the next tranche,
13 or we presume it will be, and we -- we have to kind of
14 assume that's going to be part of the base case for the
15 next tranche, right?

16 MR. JUDD: Yes.

17 COMMISSIONER CLODFELTER: Yeah. So -- so do we
18 need to then deal with the issue of whether we've got to
19 collect any sort of financial security from the winning
20 bidder --

21 MR. JUDD: There --

22 COMMISSIONER CLODFELTER: -- at some point?
23 When, and when?

24 MR. JUDD: Great question. The structure that

1 we used in Tranche 1 was there was proposal security
2 which went up to when they executed a PPA.

3 COMMISSIONER CLODFELTER: Right.

4 MR. JUDD: There is then performance security
5 that is in place to confirm that they -- they reach COD,
6 and that's part of the PPA.

7 COMMISSIONER CLODFELTER: And so do we need to
8 cha--- I guess the question I'm really asking is do we
9 need to change that, what you did in Tranche 1, do we
10 need to change that if we're now going to also require
11 that the developer include in the bid through the refresh
12 process the upgrade cost?

13 MR. JUDD: I -- I don't see a reason to.

14 COMMISSIONER CLODFELTER: Okay.

15 MR. JUDD: In the RFPs where we've run them
16 where it's all on the developer, we still have a
17 performance security --

18 COMMISSIONER CLODFELTER: Okay.

19 MR. JUDD: -- that gets them to in service.

20 COMMISSIONER CLODFELTER: Just had to ask.

21 Thank you.

22 MR. JUDD: While I have the microphone, if I
23 might, I committed to have an answer to the question from
24 Commissioner Mitchell, and that was how many late-stage

1 projects were included in the Step 2 analysis. There
2 were three in DEC and one in DEP, and they were all
3 ultimately successful bids.

4 COMMISSIONER BROWN-BLAND: All right. Mr.
5 Jirak?

6 MR. JIRAK: Yeah. Just a really quick
7 clarification. If -- if in Tranche 2 the Commission
8 chooses to go to a structure wherein the bidder bears the
9 upgrade cost, then you would -- they would move through
10 the interconnection process -- I mean, that -- that
11 occurs for Tranche 1 as well, but in this scenario you
12 move through the interconnection process, and when
13 payment becomes due in the ordinary course under the
14 current interconnection process, that's where payment
15 would be due. And currently, that's -- I think it's a
16 signed Facility Study Agreement or maybe Facility Study
17 Report received and then payment is due.

18 COMMISSIONER CLODFELTER: In other words, the
19 answer is you don't see the need to change that process
20 if we -- if we change the Tranche 2?

21 MR. JIRAK: Correct. I think -- I think --

22 COMMISSIONER CLODFELTER: That's fine.

23 MR. JIRAK: -- it's handled through the
24 interconnection procedures.

1 COMMISSIONER BROWN-BLAND: All right. Did
2 anyone hear anything during the bid refresh section that
3 you wanted to make a comment -- a brief comment now?

4 (No response.)

5 COMMISSIONER BROWN-BLAND: All right. Good.
6 We're making progress. We're moving on to the second
7 issue, which was the need for more detailed locational
8 guidance and when that guidance should be published to
9 market participants. And I'll start with Commission
10 Staff, Ms. Jones.

11 MR. JUDD: If I -- if I could, we've arranged
12 for a panel of the -- from the Duke T&D evaluation team
13 and our transmission expert to be available to you as --
14 as a group to -- in the interest of efficiency. So with
15 your leave, Mr. Layfield will -- we can either move them
16 over here or he'll move over there. Thank you.

17 MR. JIRAK: Commissioners and Commission Staff,
18 we also have a short presentation on that question. We
19 can give it now or we'll take questions first, whichever
20 -- whatever your preference is.

21 COMMISSIONER BROWN-BLAND: Let's -- let's go
22 with the presentation, and then we'll come back to Ms.
23 Jones.

24 MR. JIRAK: We've handed out hard copies, I

1 think, to Commissioners, and I think it'll be up on the
2 screen here. For purpose of introduction, just very
3 briefly, I'll let the -- the Duke personnel introduce
4 themselves and their role with the Company.

5 MR. QUAINANCE: Good afternoon, Commissioners,
6 and visitors. My name is Bill Quaintance, and I work in
7 transmission planning for Duke Energy.

8 MR. BYRD: And my name is Mark Byrd. I'm in
9 transmission planning for Duke -- Duke Energy Progress.

10 MR. BELL: And my name is Edgar Bell in
11 transmission planning for the Carolinas.

12 MR. QUAINANCE: If you're okay, we'll move
13 into the slides.

14 COMMISSIONER BROWN-BLAND: Yes.

15 MR. QUAINANCE: Okay. So we're going to start
16 with a few comments on Tranche 1 and the grid location
17 guidance. And we concur with the Independent
18 Administrator that we felt Tranche 1 went pretty well in
19 this regard. In Tranche 1 we provided a map of the
20 constrained areas, as well as listings of lines and
21 substations that are in those constrained areas. And, in
22 fact, those are on the screen right now.

23 And we've had -- you know, everyone knows we've
24 had a huge amount of solar interconnections in the state

1 of North Carolina, which is rather unique in the country,
2 and a lot has been connected to the point where certain
3 areas have become constrained. And if -- if everything
4 in the queue today -- you know, we still have a long
5 queue that we have not gotten to, have not studied -- if
6 everything in the queue went forward today, these
7 constrained areas would grow even more so.

8 These are -- what we put out in Tranche 1 were
9 areas that we're confident are constrained. There is --
10 they're not really maybes. We've identified them. They
11 -- there have been cost upgrades assigned to specific
12 projects. And those projects, though, may not actually
13 be under construction yet and they're not committed to,
14 but they are firmly identified.

15 MR. BUFFKIN: Madam Chair? May I ask a
16 question?

17 COMMISSIONER BROWN-BLAND: Yes.

18 MR. BUFFKIN: You said those areas grow. Do
19 they grow larger or do they grow more constrained, or
20 both?

21 MR. QUAINANCE: It could be both. I was
22 intending it to mean larger, more -- more counties, for
23 example, covered and constrained. But you're right. If
24 we fix one of these zones, it's possible more generation

1 could require more upgrades in the same zone.

2 And to keep it quick, we can move on. So these
3 are some lessons learned that we -- we drew from Tranche
4 1. So there were a number of bidders that submitted
5 projects that were clearly within those constrained areas
6 on that map. And, you know, there's no judgment there.
7 I don't understand business cases for various bidders,
8 but I just thought we'd point that out.

9 There are what we call here a lot of
10 speculative projects in the queue. I -- I don't know
11 that that is -- anyone would disagree with that. And one
12 indication of that is that when we offered some of the
13 bidders the opportunity to move forward in the CPR
14 process, they dropped out, so it's obvious that, you
15 know, many of the projects aren't necessarily ready to
16 go.

17 And if -- if we were to assume that the entire
18 queue goes forward today, we also feel like that's a
19 completely unrealistic scenario. It would require
20 significant upgrades throughout our systems and -- but,
21 again, we don't feel like that's a realistic scenario.

22 And then as far as Tranche 2 goes, so between
23 now and -- and the bid close date of Tranche 2, we have
24 no idea how many additional projects will enter the

1 queue, submit interconnection requests.

2 We also don't know how many projects, which
3 projects will actually bid into Tranche 2. And it's not
4 until all of those things are determined that we even
5 have a potential base case for the Tranche 2 analysis, so
6 it's really impossible to say today what that base case
7 looks like.

8 And, again, I'll keep it brief, keep moving.
9 So our thoughts on Tranche 2 is to update the map. Yeah.
10 I think we're on the last slide. Our thoughts are to
11 update the map that you saw based on any information we
12 have learned since that map was created, both through
13 interconnection studies and Tranche 1.

14 And we're open to, you know, considering other
15 options, but, again, we feel like the -- the
16 uncertainties right now are huge in the queue and -- and
17 the bidding process, and so it's really -- if -- if we're
18 asked to say put MW values on how much generation can fit
19 in areas, we don't -- we don't feel like that is
20 something that can really even be determined at this
21 point, there are so many uncertainties.

22 And those are our initial comments.

23 COMMISSIONER BROWN-BLAND: All right, now, Ms.
24 Jones.

1 MS. JONES: If it's okay, I want to circle back
2 to a topic that Larry, I guess, put on the table this
3 morning which had to do with redefining the base case.
4 And if I understood it correctly, it would be to take all
5 the projects that don't have a Facility Impact Study done
6 and set those aside, and they wouldn't be in the base
7 that you study. And shorthand I took from that was that
8 the transmission capacity that was sort of being reserved
9 for those folks in the queue would, instead, be allocated
10 to CPRE bidders, if I get it right.

11 So -- go ahead, please.

12 MR. JUDD: Wouldn't necessarily be assigned to
13 CPRE, but would be available in the study, yes, ma'am.

14 MS. JONES: Yes. Thank you. So I'm curious if
15 we could just take a few minutes and get reactions to
16 that concept from Public Staff, NCCEBA, and the Company.

17 MR. QUAINANCE: Can I clarify the topic a
18 little bit? We feel like the red zones -- I'm sorry --
19 the constrained areas, as shown on the map, are -- are
20 rather firm as they are on that map today. It's possible
21 that it may not grow if we ignore a lot of the queue, but
22 we feel like those areas that you saw on that map are
23 still going to be there. Just a clarification.

24 MR. DODGE: This is Tim Dodge with the Public

1 Staff. I can provide a couple brief kind of insights
2 that address Ms. Jones's question. So I -- I think the
3 -- when -- when Mr. Layfield was discussing the base case
4 this morning, there were some -- some statements about
5 the -- the whole base -- I guess all the existing
6 projects in the queue being kind of put in that base
7 case, and -- and I think maybe there were -- there were
8 some categories of projects that were actually maybe not
9 included. I -- I think there were -- maybe some
10 duplicative projects were identified that might have been
11 taken out and some other categories of projects that were
12 eliminated to try to reduce that -- that base case.

13 I think the idea of looking at the projects
14 that have gotten to a Facility Study Agreement, obviously
15 those projects are -- are more viable and have a much
16 higher likelihood of moving forward and have a higher
17 priority position in the queue and should -- I mean, I
18 think it makes sense to look at -- at that category of
19 projects. Beyond that, I think you do start raising
20 questions about, you know, providing discriminatory
21 treatment to projects for CPRE purposes if you do some
22 other type of analysis that allows CPRE projects to move
23 forward, or evaluate that baseline differently and
24 potentially assign cost to or make assumptions about

1 projects in the queue that aren't part of CPRE.

2 So I think there are some concerns that would
3 have to be worked out in the interconnection process
4 still.

5 MS. KEMERAIT: NCCEBA. This is Karen Kemerait.
6 NCCEBA agrees that there are some issues that are going
7 to have to be worked out in the interconnection process,
8 but as far as the specific position of the Independent
9 Administrator and Duke, NCCEBA does not have a position
10 about either of those. We don't have an objection either
11 way.

12 MR. JIRAK: So, yeah, on behalf Duke, we -- we
13 wholeheartedly agree with the need that's been identified
14 by the IA to -- to figure out a way to make the system
15 baseline study more realistic because we know that 24,000
16 MW projects are not going to get interconnected in the
17 system. But how you do -- how -- how you slice and dice
18 that to get the right mix of projects, the real projects,
19 is a very difficult question. The proposal put forward
20 by the IA is a reasonable one, understand the intent
21 behind it, but we -- we share their concerns that there's
22 still -- you know, there are projects in the queue that
23 -- that have current LEOs that make them likely viable
24 projects that maybe have not gotten the Facility Study

1 Agreement, and those projects, if you -- if you don't
2 assume those in your baseline, you run the potential for
3 -- for the wrong -- getting the wrong results.

4 So wholeheartedly agree with the IA on the
5 intent. Think that's a good starting point to think
6 about, but also open to other ideas on how you get to a
7 realistic system baseline, which is a very difficult
8 question and one, you know, we need to -- we need to
9 solve for.

10 But any -- any solution that makes assumptions
11 about the baseline could -- those assumptions could turn
12 out to be wrong, and if they're wrong, then your results
13 could potentially be wrong, and that's -- that's the
14 reality. We were fortunate enough in Tranche 1 to find
15 projects that we could be confident in their upgrade cost
16 being accurate even with this unrealistic baseline
17 because of their location, but -- but that's not
18 necessarily guaranteed to be the case in Tranche 2, but
19 it may be, and we may find that we can still find
20 projects that we're confident in in terms of upgrade
21 cost. So that -- that -- that's some of our perspective
22 on this topic.

23 MS. JONES: Moving on, then, if that's okay.
24 So moving on to a different topic, over in the

1 interconnection procedures docket, which is still
2 pending, but there was conversation there about Duke has
3 started offering interconnection customers mitigation
4 options. You know, if their initial request, say, for 80
5 MW comes back with a lot of expensive upgrades, Duke is
6 doing a study and saying, well, if you came at 60 or at
7 50 instead, a smaller project, your upgrade cost would be
8 much, much less.

9 So my question to you all is, in this time of
10 having a real constrained transmission grid, would it
11 make sense to build into kind of this bid refresh process
12 the possibility for a mitigation piece from Duke back to
13 the bidders to say if you put in a bid for 80 MW, we
14 don't have room at that point of interconnection, but if
15 you lower it to 50 MW, we do have room and give the
16 bidders an opportunity to refresh. And I realize that's
17 a pretty big new idea to throw at you, but I would be
18 interested in your feedback.

19 MR. JIRAK: If you want to start with us, if
20 you'll give us minute, we'll probably need to just go to
21 internal dialogue on that.

22 MR. JUDD: While he's taking his moment, I just
23 want to remind you that in Tranche 1 we invited the --
24 the bidders to identify if they would reduce the size of

1 their project and hold their price by a certain percent,
2 5 percent, I think it was, 3 percent, something, but as a
3 way of us reaching the goal without having to go over or
4 putting aside a bid, because it -- it didn't match up.
5 So the concept is very workable. I just wanted to remind
6 you that we had done it already for pricing -- or the
7 size of the projects for reaching the -- the target of
8 the tranche.

9 MR. O'HARA: This is Brian O'Hara speaking for
10 NCCEBA. Based on conversations we've had around bid
11 refresh, I think that concept is not one that NCCEBA
12 would support. I think we're concerned about the ability
13 for some bidders to refresh while other bidders cannot,
14 and the ability for bidders to come in with an
15 artificially low number, knowing that they're going to
16 have a refresh option in the future. So we would prefer
17 to keep a level playing field. We think that would tilt
18 things a bit, and we would not support that.

19 MR. JIRAK: One -- and these guys are going to
20 tell me if I'm wrong, but, I mean, if you think about it
21 in a very abstract sense, you know, there's a -- you add
22 a bunch of projects to a -- to a circuit or transmission
23 network, there's one project that in theory is the one
24 that trips the need for an upgrade cost, so there's a lot

1 of projects that don't trip the need, a lot of projects
2 above that project that definitely need it.

3 So we think in theory, while we understand the
4 intent behind this, there's only a relatively few number
5 of projects that would fit in that category where like
6 they're right on the line and -- and you can downsize
7 maybe and avoid an upgrade. So given the fact that
8 there's a very small unlikely chance of that happening to
9 more than one or two or three projects out of a big,
10 large procurement, we don't think the complexity of the
11 process warrants trying to -- to solve that problem.

12 I also just observe as a general matter that
13 mitigation options are a limited procedure that's only
14 applied to distribution projects. We haven't ever used
15 it on the transmission level to date.

16 MS. JONES: Thank you. I didn't know that.

17 MR. JIRAK: And there's no plan to do so,
18 either.

19 MS. JONES: Okay. Then I'm going to move
20 along. Also over in the interconnection docket we were
21 re-reminded of the pre-application process, and wanted to
22 explore whether in this Tranche 1 if the bidders
23 typically avail themselves of the ability to request a
24 pre-application report to hone in on a good

1 interconnection spot, and maybe the same thing applies;
2 this is only a distribution option.

3 MR. JIRAK: I think -- and, again, you all jump
4 in and tell me where I'm getting off base here, but I
5 think, you know, when you come in with a pre-app, you're
6 getting an assessment based on your position as of the
7 date of your interconnection request, what's available in
8 the system. But for purposes of CPRE Grouping Study, you
9 are -- you are forfeiting that queue position and -- and
10 moving to a later position in the -- in the queue and
11 getting studied based on available capacity at that spot
12 in the interconnection queue process.

13 So in -- in -- in that spot the -- the
14 available capacity at that spot in the queue is -- is
15 totally contingent on what's in the baseline, so we're
16 kind of back to square one and what do you assume about
17 the baseline is how you would -- if you could even do a
18 pre-app for the CPRE Grouping Position Study queue
19 position, you still don't know what you would be able to
20 tell until you know what the baseline is.

21 MS. JONES: That's all good. And so then I --
22 I think I just have one more, which is the locational
23 guidance that -- that you -- you flashed up, both the map
24 and the list of constrained facilities, today, as we sit

1 here today, is that still useful or have you refreshed
2 it? How often would you have to refresh it for it to be
3 accurate? You -- you talked about the fact that it's
4 changing. What's the -- I guess the speed of that
5 change?

6 MR. QUAINANCE: I think for Tranche 2 we would
7 update it before the -- the bid window opens. That --
8 that would be appropriate and as timely as we could for
9 Tranche 2. I mean, we're always learning information as
10 we do our queue studies, and then each tranche we might
11 learn a little more, but for Tranche 2 I would recommend
12 updating it, you know, just before the bid window opens.

13 MS. KEMERAIT: And can we have an opportunity
14 to speak to that as well?

15 MR. O'HARA: We talked a little bit over lunch
16 about this, and I think the -- the timing of sharing that
17 locational guidance really matters a lot; the earlier,
18 the better. You know, there's a fair amount of
19 development time and site acquisition that goes into
20 getting a project ready. So from our perspective, I
21 think as soon as the information is available to Duke,
22 we'd like that information to be made available to the
23 rest of the market participants.

24 And in terms of -- so I think that answers kind

1 of the question on the timing. And then in terms of -- I
2 know we're talking a lot about the -- the base case and
3 what are we assuming. I think whatever we end up
4 choosing is -- to be the right answer there, what would
5 be really helpful from the market participant's
6 standpoint is to see a list of the projects that are
7 assumed to be online that then inform that -- that
8 locational guidance, because at that point bidders can
9 look at the queue, they can look at what -- what's
10 constrained and maybe make some educated guesses about,
11 you know, how constrained this edge is or whatnot.

12 So just having sort of the same level of
13 information that -- that Duke has in terms of what went
14 into that study I think would be helpful to market
15 participants.

16 MR. NORRIS: And just on that point and going
17 back to your prior question, I think, about the
18 methodology for determining what's in the baseline, I
19 think what you stated is that, and what I think was
20 confirmed is that it's any project that has executed a
21 Facility Study Agreement does, in fact, go in the
22 baseline, but it was a little unclear to me based on --
23 on your response, so it would be helpful to just confirm
24 that. Or if there's another standard or methodology

1 being used, then what is that, because I think what would
2 be concerning is if there's some sort of discretionary
3 methodology being used that -- to determine the baseline
4 that we're -- we're all unaware of.

5 MR. QUAINANCE: I'll add that in Tranche 1 we
6 assumed everything in the queue was in except for the
7 bidders and except for the late-stage bids, and -- and
8 duplicate bids were not doubled up.

9 In Tranche 2 I believe the IA has suggested
10 that we look, you know, at changing that to a Facility
11 Study cutoff.

12 MR. JIRAK: And let me clarify one point.
13 We're talking about two different things. One is what's
14 your system baseline for purposes of the CPRE Grouping
15 Study? That's one issue. Second issue is what is
16 assumed when you issue the grid locational guidance?

17 So on the first issue, what -- what was assumed
18 in the system baseline for Tranche 1, it was just what
19 Bill just described, and then we're currently discussing
20 what should be assumed for the system baseline for
21 Tranche 2.

22 For the grid locational guidance for Tranche 1,
23 what was assumed is what Bill explained in the slides,
24 which is just projects through study. So it's a view of

1 what are the current constraints on the system as of the
2 project study today. It doesn't attempt to assess how
3 the -- how the system will become constrained over time
4 as more projects are added. It's the current view. So
5 make sure as we talk about it we recognize there's two
6 different things.

7 MR. LEVITAS: May I ask a question, Madam
8 Chair?

9 COMMISSIONER BROWN-BLAND: Yes.

10 MR. LEVITAS: A very, very quick one.

11 COMMISSIONER BROWN-BLAND: You may.

12 MR. LEVITAS: I'm just curious to ask Duke, is
13 the relatively recently approved M-1 payment causing the
14 -- the size of this baseline to be reduced as projects
15 come into Facility Study and either have to put up
16 binding -- binding financial obligation or withdraw from
17 the queue?

18 MR. JIRAK: We don't know that information off
19 the top of our head. I mean, there certainly are issues
20 we're dealing with right now with -- with projects that
21 are -- have made it to IA or are close to IA and are now
22 attempting to -- when I say tread water, they're looking
23 for creative ways in the procedures to hang out there.
24 So that's an issue we're dealing with as we think about

1 the system baseline, but I'm not aware whether any
2 projects -- how many projects, if any, have -- have
3 withdrawn from the queue due to the -- due to the
4 milestone payment.

5 MR. BUFFKIN: I have, I think, one question for
6 Mr. Jirak.

7 COMMISSIONER BROWN-BLAND: Mr. Buffkin.

8 MR. BUFFKIN: What I understood, your comments
9 on this issue was that essentially there's a Goldilocks
10 principle here. You can get it just right or you can be
11 too specific and cause some problems or -- or too general
12 and -- and the guidance isn't useful; is that fair?

13 MR. JIRAK: I think in general, yeah. If we're
14 thinking about the system baseline, I -- I think that's
15 right.

16 MR. BUFFKIN: I'm sorry. I meant about the
17 locational guidance.

18 MR. JIRAK: Oh. Yeah. I think that's right.

19 MR. BUFFKIN: And maybe for the other parties,
20 do you all see the same problems with locational
21 guidance, that it's too specific? For example, some of
22 the things we heard about was driving up land -- land
23 lease prices in -- in a specific area and essentially
24 creating too much demand at a specific point on the

1 electric system.

2 MR. O'HARA: Yeah. I think we -- yes. I think
3 we think the level of detail that's provided in the
4 locational guidance now is about that right Goldilocks
5 balance.

6 MR. BUFFKIN: Thank you.

7 MS. KEMERAIT: And -- and to follow up, if it
8 does become, as -- as Mr. Buffkin mentioned, if the
9 locational guidance becomes too specific, that will be a
10 real issue for solar developers because it could drive up
11 land prices. So we want to have that -- a balance
12 between enough locational guidance, but not something
13 that's too specific that directs all market participants
14 and solar developers to areas so that the -- the cost of
15 leases will be exorbitant.

16 MR. DODGE: This is Tim Dodge with the Public
17 Staff. I just wanted to comment on that briefly, too.
18 We indicated in our March 22nd comments that we thought
19 more granular information on locational constraints would
20 be beneficial, and it would hopefully provide better
21 project locations where we could avoid some of these
22 system upgrades. So I think the Public Staff still views
23 more granular location information, to the extent it can
24 be provided, as helpful.

1 I think also just to -- I think the -- the
2 locational guidance that Duke provided was -- was
3 beneficial. There were -- there was one element that I
4 just wanted to note that Duke pointed out at least in
5 their locational guidance a couple of locations in their
6 system where there were major transmission upgrades
7 required that were known to take multiple years, and
8 earlier today we were talking about the timing of these
9 projects and being able to meet the COD deadlines for
10 Tranche 1 or Tranche 2.

11 And so to the extent that there are zones where
12 it's a no go, that project just cannot be built, you
13 know, if there are plans for upgrades to be implemented
14 or -- or constructed in that area where projects just
15 aren't feasible to be considered for tranche -- you know,
16 future tranches, it seems to make sense to try to
17 identify those areas. So I just wanted to make that
18 point.

19 Secondly, and I -- again, this is probably a
20 conversation that will continue as we build towards
21 Tranche 2, to the extent the -- there are areas that Duke
22 can identify where there are right now few constraints --
23 I mean, right now they've identified these -- these area
24 where there's thermal loading or congestion and

1 constraints, but if there are areas right now where the
2 -- the system is more open where they haven't seen as
3 much development, they could accommodate additional solar
4 and may provide potentially other benefits, system
5 benefits. If those areas, while it might increase
6 activity in those areas, I think to the extent the land
7 cost increase, but larger system upgrade costs are
8 avoided, that would still be a better outcome.

9 So I think we would be supportive of looking at
10 whether it's called a green zone or something where you
11 could evaluate areas that maybe can accommodate
12 additional development.

13 COMMISSIONER BROWN-BLAND: Thank you, Mr.
14 Dodge. Anyone else who is a party have comments on the
15 locational guidance?

16 (No response.)

17 COMMISSIONER BROWN-BLAND: All right. Let's
18 hear if the Commission has questions. Commissioner
19 Clodfelter.

20 COMMISSIONER CLODFELTER: I don't know exactly
21 where we are after this discussion, but so let me just
22 start at a random place. You want to react to the green
23 zone idea? Can you do that? Is it useful?

24 MR. QUAINANCE: Well, that -- that gets to the

1 topic of, you know, what's the base case --

2 COMMISSIONER CLODFELTER: Exactly.

3 MR. QUAINANCE: -- in determining the green
4 zone, and its -- there's so much uncertainty. We -- in
5 the map you saw, you know, again, the red zones are known
6 constrained areas. We intentionally didn't color the
7 remainder green because it's more of an unknown area.

8 COMMISSIONER CLODFELTER: Exactly.

9 MR. QUAINANCE: And it would be very difficult
10 and -- and -- and not very accurate, I would say, to try
11 to come up with real numbers in any of those areas. I
12 mean, really, it's hard for me to imagine how to do it in
13 a reliable and a useful way.

14 COMMISSIONER CLODFELTER: Well, let me come
15 back to -- if I may, let me come back, then, to this side
16 of the room. I'm a little lost with what I was hearing
17 over here, so let me ask the question this way. Tell me
18 from this side of the room precisely, very specifically,
19 what do you want Duke to do differently about the
20 guidance they give you in Tranche 2 than what they gave
21 you in Tranche 1, recognizing what we've been hearing
22 about the difficulties that they face?

23 MR. O'HARA: So we see there's three -- three
24 issues: There's the level of detail, there's the timing

1 of sharing the locational guidance, and there's the what
2 is the base case.

3 The first one, the level of detail, we think
4 we're in the zone of appropriate. That zone is -- has
5 room for movement in the more -- more granular direction,
6 but we're in the zone of appropriate.

7 The timing of sharing, we'd like that as early
8 as possible. As soon as Duke has access to it, that's
9 when we want to see it.

10 And the -- what's in the base case, I think the
11 change that we'd like to see there is give us a list of
12 the projects that were assumed to be online when you
13 developed that zone.

14 COMMISSIONER CLODFELTER: The constrained zone.

15 MR. O'HARA: Correct.

16 COMMISSIONER CLODFELTER: What do you say about
17 those three things?

18 MR. JIRAK: All right. The first one, level of
19 detail, we're kind of beating around the bush without
20 getting specific. We -- we -- there's a map. It shows
21 you the -- the physical locations of constraint, and
22 there's a list of system assets that are constrained.
23 When we hear this suggestion that we become a little more
24 granular, we don't know what that means. I mean, we

1 think that -- that's -- that's the view right now. We
2 don't know how else to be more granular, so if there's
3 ideas about what that -- when you say you want maybe a
4 little more granularity, we honestly don't know how to do
5 that. So if there's ideas -- at least I don't.

6 COMMISSIONER BROWN-BLAND: What if he's saying
7 to be as granular as you're able to and be comfortable
8 with it?

9 MR. JIRAK: I think that's what we -- that is
10 what the good constraint map is. It is the view of the
11 current constraints on the system geographically.

12 COMMISSIONER BROWN-BLAND: So I think he's -- I
13 interpret that he's saying as your level of comfort with
14 more granular increases --

15 MR. JIRAK: Yeah.

16 COMMISSIONER BROWN-BLAND: -- could you be more
17 granular? He likes the zone --

18 MR. JIRAK: Yeah.

19 COMMISSIONER BROWN-BLAND: -- but he would like
20 some improvement. That's what I hear from this side of
21 the room.

22 MR. JIRAK: Yeah. Certainly, if there's -- if
23 there's a way in which we identify to make the map more
24 granular, we would do that, but at this point we're not

1 aware of, without any specific recommendations, a way to
2 do that, so -- but we'll -- we'll keep it on our radar,
3 and if there's a way to do that, we will do so.

4 Timing, I think it's just we're willing to do
5 it. I think it's just a matter of time to run the study
6 and put it out there. I don't think there's any reason
7 why we couldn't do it sooner rather than later.

8 You all can speak to that.

9 MR. BYRD: I mean, the -- the comment was made
10 earlier that we don't really --

11 COMMISSIONER BROWN-BLAND: State your name
12 again for the --

13 MR. BYRD: I'm sorry. My name is Mark Byrd,
14 Transmission Planning, for Duke Energy Progress. And one
15 of the issues with what projects are in there is we don't
16 -- it would have to be after we know who bids, because
17 the CPRE bids will be -- not be in the base case.

18 MR. JIRAK: I think it's about they wanted --
19 they're asking for the -- what projects are assumed in
20 locational guidance, not in the base case.

21 MR. BYRD: Well, that's not what I heard, but
22 anyway --

23 MR. O'HARA: Well, Jack represented my question
24 right.

1 MR. BYRD: Okay.

2 MR. JIRAK: So you -- you all want to speak to
3 providing a list of the projects assumed in this -- in
4 the -- in the locational guidance. I -- I think we've
5 already described the criteria that needs to be met. You
6 have to either be interconnected or through the study
7 process and then you're included. Can we provide a list?

8 MR. QUAINANCE: I mean, we can -- let us take
9 that back and -- and consider what we can -- some
10 verbiage we could put in there about the assumptions that
11 go into that zone. I think -- let's see what we can add.

12 MR. JIRAK: Yeah. I think we could explain
13 that. I think once we -- once you understand the
14 criteria, we'll put it in writing for you. You can
15 obviously look at the queue report and see as of right
16 around the date that it's -- the grid locational guidance
17 is issued, you would know then which projects met that
18 criteria and which did not. So I think that would
19 probably be the easiest way to do it.

20 MS. KEMERAIT: And in response to the -- the
21 question about providing -- this is Karen Kemerait for
22 NCCEBA -- about how to provide a level of more
23 granularity, we support what the Public Staff has said,
24 that if it's possible, we'd like to see green and yellow

1 zones because that would provide some additional
2 information, if that can be done.

3 COMMISSIONER BROWN-BLAND: And we just -- we
4 just have to hope we don't have a colorblind issue.

5 MR. QUAINANCE: At this point I'm -- I'm not
6 sure how to get that granular -- that's, I guess, more of
7 a megawatt availability is maybe what you're asking. And
8 I -- I -- I'm really not sure how to come up with a base
9 case to do that calculation.

10 COMMISSIONER BROWN-BLAND: So to Duke, just as
11 a follow-up on the timing portion, in Tranche 1,
12 recognizing Tranche 1 was a beta and -- and we're here to
13 try to see if we can improve on it, were there issues
14 with regard to the timing in providing the locational
15 guidance, or why wasn't it provided sooner?

16 MR. JIRAK: I -- I don't recall the exact date
17 that we provided it. I -- I thought we provided it
18 fairly early in the process and I think well prior to the
19 60-day kickoff for the comment period, so it -- it felt
20 to us like it was provided relatively early in the
21 process. Certainly understand developers want it
22 earlier, and we'll try to accommodate that as quickly as
23 possible here for Tranche 2.

24 COMMISSIONER BROWN-BLAND: Mr. Dodge?

1 MR. DODGE: Commissioner Brown-Bland, I just
2 have one follow-up, too, and this goes back to a question
3 that Ms. Jones raised earlier about the current NCIP
4 proceeding. And I just kind of reiterate some of the
5 points that were made there, that those -- those projects
6 that are still continuing to enter into the
7 interconnection queue that are not CPRE are impacting the
8 baseline for CPRE purposes, so it's not just a matter of
9 providing better information here; it's also a matter of
10 providing better information for the NCIP process. So
11 tools like the pre-application report or other
12 information like that hopefully will help projects that
13 are looking to interconnect outside of CPRE to choose
14 better sites or avoid sites or maybe decide not to build
15 if it's likely that they're going to be constrained in
16 those locations.

17 COMMISSIONER BROWN-BLAND: All right.
18 Commissioner Mitchell?

19 COMMISSIONER MITCHELL: For NCCEBA, the -- my
20 general impression, which is sort of confirmed, I guess,
21 by the information the IA provided this morning in his --
22 in -- in -- in the report -- I'm specifically looking at
23 page 14 or slide number 14 of their presentation --
24 suggests that the grid locational guidance provided in

1 Tranche 1 didn't really -- didn't really -- didn't really
2 eliminate or -- or minimize the number of bids received
3 in what -- what we're calling the red zones. Why?

4 I mean, it looks like to me that -- I mean, the
5 -- a number of bids were submitted, more -- I mean, 26
6 for DEC, eight for DEP in the red zone. Why would
7 someone bid in a project in a -- in a constrained area?

8 MR. NORRIS: I say this not from an informed
9 perspective as a market participant who -- who took that
10 measure, but I -- I could imagine that some market
11 participants that aren't necessarily fully informed about
12 the extent of the network upgrades required in particular
13 areas might assume that there could be interdependent
14 facilities that would share an upgrade under which via
15 the pro rata application of that network upgrade to each
16 facility would be able to compete under the program. And
17 so I assume that that is -- that is what they're hoping
18 will occur, but it may not be based on an informed
19 perspective.

20 COMMISSIONER MITCHELL: Okay. So if -- if the
21 -- let's -- let's just assume -- let's assume or agree
22 that the goal is to -- to drive or encourage projects to
23 locate away from these constrained areas, thereby
24 presumably avoiding costly updates, how do you -- how do

1 you -- how do you encourage projects to do that? Aside
2 -- I mean, I've heard the green zone and the yellow zone
3 issue, but can you be a little bit more specific, because
4 it's not there?

5 MR. O'HARA: Yeah. This is Brian O'Hara again.
6 I -- I think this goes back to maybe another idea of what
7 are some other ways to get additional granularity. And
8 so I hear the challenge is -- I heard what Mr. Quaintance
9 said, is the challenge is if I make these -- whatever
10 assumptions I make, there's a level of uncertainty about
11 how accurate that's going to be by the time we get around
12 to -- to actually building.

13 But if you accept for a moment that there's
14 going to be some inaccuracies, but you make a set of
15 assumptions, we could, I assume, produce a map of the
16 Duke network, where instead of having a binary red or not
17 red by line, you could have sort of what Commissioner
18 Brown-Bland mentioned as sort of a -- or maybe it was Mr.
19 Jirak mentioned -- available MW on this line section and
20 this line section. You have maybe a color-coded map that
21 shows this section of line has significant available, it
22 gets less here, it gets less here, it's constrained here.

23 So I think the challenge is obviously the
24 accuracy and how dependable that information is, but

1 there are opportunities for getting a lot more
2 information out there and then caveating it, saying here
3 are the assumptions that went into developing that
4 information.

5 But that level of information, I think, would
6 help inform our participants in a way that doesn't drive
7 everyone to, you know, a very small green zone, then
8 drives up land prices, but gives a very accurate picture
9 of the network map.

10 COMMISSIONER MITCHELL: One -- one last
11 question. I'll let you -- if you have something to add.

12 MR. NORRIS: No. I was just going to say, I
13 mean, to the extent that there was any way market
14 participants could be aware of cases where there are
15 interdependent facilities interdependent on a -- on a
16 specific upgrade, that could be valuable because it's not
17 necessarily the case that we want zero network upgrades;
18 it's just that we want a low amount of network upgrades
19 applied to any particular project such that they're still
20 below avoided cost. And if you identified, say, it's a 5
21 or \$10 million network upgrade, but three facilities are
22 shared on it, that may actually be a good deal for
23 ratepayers. So I don't know if there's a way to do that
24 in a -- in a simplified manner, but that's just one idea

1 to -- to put into the mix.

2 COMMISSIONER MITCHELL: Yes. And Duke, can you
3 -- can you all respond to NCCEBA, please?

4 MR. JIRAK: I'm not sure I quite follow exactly
5 what the request is, and we'll give you a second to
6 restate that. But, I mean, the green zone concept,
7 again, you know, we can't say it enough, what value is it
8 if it -- if you have to make assumptions and those
9 assumptions could just as well be wrong as they are
10 right? What value is it to -- to take the transmission
11 planners who are doing studies for real projects in the
12 queue, have them go spend a bunch of time doing studies
13 that have only very questionable value because you have
14 to make assumptions about 25,000 MW in the queue that we
15 -- of which we know probably less than 50 percent --
16 probably far less than 50 percent will ever be
17 interconnected? It's just the -- the combination of the
18 lack of value of the estimate, with the cost and time it
19 would take to do it we just think argues against it. So
20 that's -- that's our position.

21 MS. KEMERAIT: And I think a response to that
22 would be is that it's very difficult, then, for market
23 participants to provide proposals in areas that will have
24 no or little upgrade cost when there is so much

1 uncertainty about what that is going to be based upon,
2 you know, information that we -- we've been provided. So
3 it's a -- it's very difficult for market participants.

4 MR. QUAINANCE: May I add -- I'm sorry. It's
5 more of an anecdote, but after that map came out or maybe
6 even before when maybe the rumor got around about some of
7 those red zones, I can say that recent requests, at least
8 in the DEP area, have been in that non-red area. It has
9 really grown in the northeastern part of DEP. I can
10 assume maybe that folks were taking this map to heart.
11 There are a lot of requests in the queue up there. Not
12 many bid. And, of course, DEP was only looking for 80
13 MW. But I think there's a lot of opportunity in that
14 zone without being able to quantify it.

15 MR. JUDD: If I might contribute. The question
16 was asked when these -- the maps were provided. They
17 were released on the website, my office just informed me,
18 on May 10th of 2018. Bidding was in October.

19 I can also say, going to the question about
20 direction, for what it's worth, in other jurisdictions
21 lightyears away, one of the ways we have dealt with this
22 question was to identify specific POIs, such as
23 substations, and say it's on you to include in your bid
24 the price of getting to that POI, and that was it.

1 Different situation than here. I'm suggesting this is an
2 issue we deal with most everywhere in the country. Some
3 folks have tried a simplistic approach of simply saying
4 here's a list of substations; all the cost is on you of
5 getting from your project to that point as opposed to
6 here, where the point of interconnection is nondetermined
7 until the bidder presents a bid.

8 COMMISSIONER BROWN-BLAND: All right.

9 Commissioner Mitchell?

10 COMMISSIONER MITCHELL: Just I want to follow
11 up with Duke. Mr. Dodge recommended some -- some
12 adjustments that could be made to the grid locational
13 guidance to provide some additional granularity. I just
14 want to make sure I'm -- I understand your -- your
15 response or your position on what the Public Staff is
16 recommending here, because ultimately the Commission is
17 interested, or at least one Commissioner is interested
18 in, you know, providing the -- the most guidance, the
19 best guidance that's -- that's possible. So please --
20 please provide a response.

21 MR. QUAINANCE: I mean, I thought Jack kind of
22 said it pretty well, but, you know, if we make an
23 assumption, that -- that would be one of, you know, a
24 thousand possible future states, and we could come up

1 with numbers, and I feel like they would be, you know,
2 unreliable numbers if we went that route.

3 MR. JIRAK: I -- I mean, I feel like I'm
4 becoming a broken record a bit, but when we hear more
5 granularity, we -- we just are not clear what that would
6 mean. We -- we've talked about showing you what's
7 constrained. We've talked about why we don't think it a
8 makes sense to do all the work required to show you a
9 theoretical view of some future state where maybe these
10 circuits "will be green." So between those two -- those
11 two extremes we don't think the green zone now makes
12 sense. We -- we're doing the red zone view. We're not
13 sure what the -- we -- we have not yet identified a way
14 to make it more granular.

15 We think the information we provided is
16 reasonable. It seemed to guide some -- some bidders in
17 looking at projects. We recognize it's not perfect, but
18 it's -- it's a function of the size of the queue and the
19 uncertainty that we have to face -- deal with all the
20 time about a problem that we don't have control over.

21 MR. NORRIS: Can I offer two specific ideas,
22 and then we'll just leave it at that? So -- so one would
23 be there must be a degree to which you can provide
24 guidance on the extent of a network upgrade that would be

1 required. And, you know, the example is a project or --
2 I think it was one project -- there may have been
3 multiple -- that was selected in the first tranche with a
4 very large bid pool that contained a \$5 million network
5 upgrade. And so presumably there -- there are projects
6 that will have network upgrades that will, in fact, be
7 competitive and will be below avoided cost, and perhaps
8 there is some way in which you can integrate the degree
9 of congestion or some notion of, you know, an estimate of
10 how large the upgrade would be. That would be the first
11 one.

12 The second one would be back to what I
13 mentioned previously, is to the extent that there are
14 interdependent projects on a single upgrade, that could
15 be valuable information from our participants because it
16 is more likely that those projects could compete if they
17 end up sharing the cost of such network upgrade.

18 Just putting two ideas there.

19 COMMISSIONER BROWN-BLAND: Mr. Jirak, your
20 response doesn't change. It's still difficult and
21 speculative in your mind?

22 MR. JIRAK: Yeah. I think that -- that
23 continues to be our concern. And to the first question,
24 I mean, in order for us -- and you all tell me if I'm

1 wrong -- in order to know what those future -- the size
2 of the upgrades, give you a sense of the scale of the
3 upgrades, we're back to the same problem of, well, you
4 only can assess that through a System Impact Study, and a
5 System Impact Study has to assume a baseline, and so
6 we're back to the same question, what do you assume in
7 that system baseline? And do you want the transmission
8 planners going off and doing a bunch of hypothetical
9 studies with baselines that are uncertain, to come up
10 with a potential system upgrade if every assumption in
11 our base case plays out the way we've assumed it? It's
12 questionable -- it's a lot of cost for questionable
13 value.

14 COMMISSIONER BROWN-BLAND: All right. I think
15 the Commission understands this issue.

16 MR. JUDD: Pardon me. If I could just correct
17 a misstatement. There was no project that has --

18 COMMISSIONER BROWN-BLAND: That was 5 million.

19 MR. JUDD: -- \$5 million. That was cumulative
20 of all of the projects that were moved to the PPA stage.
21 Thank you.

22 COMMISSIONER BROWN-BLAND: So we'll move on to
23 the third issue. We're making good time here. And
24 that's the reasonableness of the energy storage protocol

1 that is a part of the CPRE pro forma PPA. Is that you,
2 Mr. Buffkin?

3 MR. JIRAK: Commissioners, if you -- if you
4 don't mind, we have a different set of personnel coming
5 up to present on that topic and --

6 COMMISSIONER BROWN-BLAND: That's good. We'll
7 give you -- we'll give you a second.

8 MR. JIRAK: Thank you.

9 COMMISSIONER BROWN-BLAND: Mr. Layfield, you
10 could have stayed put.

11 MR. JIRAK: Again, looking to the Commission
12 and the Commission Staff's guidance, if you prefer us to
13 give the presentation.

14 COMMISSIONER BROWN-BLAND: You have a
15 presentation?

16 MR. JIRAK: Yes, ma'am.

17 COMMISSIONER BROWN-BLAND: Okay. We'll --
18 we'll keep the same process.

19 MR. JIRAK: Okay.

20 COMMISSIONER BROWN-BLAND: You go with the
21 presentation.

22 MR. JIRAK: All right. I'll -- I'll turn over
23 to Duke colleagues here who will introduce themselves and
24 their role with the Company.

1 MR. ROBERTS: Okay. Good afternoon,
2 Commissioners. For the record, my name is Sammy Roberts,
3 and I'm the Director of System Operations, Engineering.
4 I have about 20 plus years of system operations
5 experience and another 10 years of utility experience.

6 MR. JOHNSON: Good afternoon. I'm David
7 Johnson, and I am Manager Director of a group that is
8 responsible for negotiating and executing third-party
9 PPAs, managing those contracts through the life of the --
10 of the PPA, and also responsible for the REPS and CPRE
11 compliance.

12 MR. ROBERTS: All right. Thank you. I believe
13 all of you have copies of the presentation, so we'll go
14 ahead and get started. These are just the topics that I
15 want to cover, and I'll try to cover them as briefly as I
16 can to leave time for questions.

17 But why -- why do we need storage protocols and
18 looking at the Tranche 1 storage protocols which utilize
19 the Sub 148 pricing mechanisms versus the Sub 158
20 proposed storage protocols and also Tranche 2 storage
21 considerations? So next slide.

22 So I'll call your attention first to the graph,
23 and this is just a winter load shape, and we see this --
24 this type load shape in DEC as well as DEP. This just

1 happens to be a DEP curve. And so if you look at the top
2 of the curve, that represents our gross load for winter.
3 And then if you look at the yellow portion, that's --
4 that's solar output. And then if you look at the -- the
5 blue portion, that's regulating generation. And then the
6 green is -- is base load nuclear generation.

7 Before I get into the -- more description of
8 the graphic, I will say for Duke Energy in the Carolinas
9 that storage is a relatively new technology for us, and
10 so it's -- it's one that we're having to utilize some --
11 the little experience we have is associated with things
12 like the Mount Holly microgrid. We are looking at
13 installing some small batteries at Hot Springs and Rock
14 Hill, and so that will give us some more operating
15 experience.

16 We also read about what other entities that
17 have storage are doing, so we're still trying to learn
18 and gain knowledge about integrating storage onto our
19 system from an operating perspective.

20 But once again, going back to the need for
21 storage protocols, if you have battery storage and you
22 have uncontrolled charging and discharging on the system,
23 you could -- you could theoretically get it at the worst
24 time, such as during high -- high net demand ramps,

1 during excess energy windows, when you have system peak
2 energy needs and when you have large generator
3 contingency recoveries, et cetera. And I'll explain --
4 explain that briefly.

5 You can get it at just the right times. If you
6 have it to cover the peak, then that's a good thing,
7 right? If it can -- if it can help you with charging
8 during excess energy periods, that's -- that's a good
9 thing as well. But looking at this curve, what I
10 primarily need from a system operations perspective is
11 resources across that peak in the early hours, hour
12 ending 7:00, the hour ending 9:00, let's say, and then
13 across the -- going into the evening peak. Going into
14 the evening peak, my solar is ramping out, so I have a
15 high net demand ramp, positive net demand ramp, and so
16 I'm -- I'm going to need some energy as that solar ramps
17 out and going into the evening peak hours.

18 With respect to excess energy, once again, in
19 that valley when solar is at its max output, that's
20 probably when I don't want to receive discharging from --
21 from a storage so, thus, the reason for protocols. It
22 helps us with reliable operations. It helps us with
23 giving the customers value where it's needed. And also
24 it helps us with complying with NERC reliability

1 standards. So next slide.

2 So this is a typical summer load shape. And
3 once again, basically about the same load shape that's
4 seen in DEC that's seen in DEP. This just happens to be
5 a DEP load shape.

6 What I -- what I want to depict here is once
7 again, you have operational needs, and those operational
8 needs are when the solar is ramping out in the evening
9 hours and you're -- you're going up to your net demand
10 peak. What do I mean by net demand peak? Once again,
11 the gross load is the curve at the top of the shape,
12 including the solar, and then if I take the solar amount,
13 just looking at the top of the blue region, that's net of
14 solar, that's that gross load net of solar. That's what
15 I mean by net demand load.

16 And so when I'm -- when I'm going into that net
17 demand region where my solar is ramping out and I'm going
18 to the net demand peak in the evening, notice it's not
19 the actual peak that occurs around 1600. That's when I'm
20 going to need discharging from a storage device.

21 So what about Sub 148 versus Sub 158 pricing
22 windows? Well, Tranche 1 was aligned with Sub 148
23 pricing windows, and you can see it's fairly wide, it's a
24 fairly broad amount of hours. And so really the system

1 needs are more so toward those evening hours when the
2 solar is ramping out, and so it goes from -- I believe
3 it's an eight-hour window in Sub 148 to the proposed
4 four-hour window in Sub 158 which is, once again, based
5 on system needs. So next slide.

6 So this is back to our winter load shape, and
7 here, comparing Sub 148 versus Sub 158 pricing periods,
8 you can see that the winter period for Sub 148, you could
9 be discharging very close to that maximum solar output.
10 And so that -- is that -- I mean, we -- we could manage
11 it, but it's -- it's just adding to our excess energy
12 issues that we have to manage. We would prefer that it
13 discharge over that peak, those peak hours. And so Sub
14 158 establishes a premium peak window, hour ending 7:00
15 to hour ending 9:00, because we are winter peaking and
16 we're morning winter peaking. And so -- and then Sub 158
17 also proposes an evening peak window for four hours as
18 well.

19 Also, once again, after I start with a heavy
20 net demand ramp after that hour ending 9:00, if I get
21 discharging from storage or in that valley area, that's
22 really not going to help me with respect to complying
23 with NERC standards and also managing my -- with managing
24 my excess energy. So next slide.

1 So basically with Sub 158 we streamlined the
2 standard, all of our storage protocol, and the protocol
3 is really looking at being around -- based around the
4 size of the facility. For a standard offer with Sub 158
5 it's less than or equal to 1 MW, and so you're not really
6 projecting a lot of volume of battery capacity with --
7 under Sub 158. So considering that, with respect to
8 Tranche 2 where you could have a substantial amount of
9 battery capacity, that's one of the considerations that
10 we'll need to make with looking at the Tranche 2
11 protocols.

12 Also, as shown on the prior slides, you know,
13 you noticed, and as I pointed out, the peak pricing
14 periods are smaller in Sub 148, and I gave you the
15 reasons for those. And so that makes it more predictable
16 as to when you're going to get charging versus
17 discharging associated with the battery, so discharging
18 over the peak hours and charging during -- during the
19 nonpeak hours.

20 So this -- this provides the -- or meets the
21 Commission Order with respect to more granular pricing
22 periods in Sub 158, plus, as I told you with the
23 graphics, it basically enhances the reliability that we
24 maintain on the system for our customers, as well as adds

1 to customer value with respect to providing a resource
2 over those peak hours.

3 Also in that construct we look at levelized
4 facility output, and basically what that means is over
5 that three-hour period your solar plus your battery need
6 to produce a levelized output over that window, and we'll
7 -- we'll propose allowing a ten-minute ramp associated
8 with that as well which really balances the interest of
9 both the developers as well as the customers. It's fewer
10 constraints with respect to the developer, and it also
11 allows the developer to use some control logic and
12 basically levelized that output, maximize the use of
13 batteries and solar for that peak pricing period, and it
14 provides a predictable output for operations with respect
15 to the peak window. Next slide.

16 Okay. Considerations for Tranche 2 storage
17 protocol. Once again, if we look at the Sub 158 and we
18 adopted something like that for Tranche 2, that would,
19 once again, allow for more predictable storage usage.
20 And we also, you know, thought about having utility
21 control of the storage, however, there are some -- there
22 are some issues there, some reasons that it's not
23 practical at this time, is that we could be controlling
24 the battery in a manner that provides wear and tear. As

1 the developer's asset, we -- we provide control in a
2 manner that provides wear and tear and limits the life of
3 the battery.

4 Also, if the battery is connected behind the
5 inverter, which in order to ensure that the solar
6 facility is charging the battery, that would need to be
7 the case with respect to House Bill 589. We don't have a
8 good industry ANSI quality revenue meter with respect to
9 metering the battery output. And also if they were --
10 even if they were available, connecting it to the
11 customer's -- within the customer's boundary would
12 introduce some complexities with respect to installation,
13 ownership, and maintenance, and potential impact to your
14 facility while we're performing that maintenance.

15 And lastly, we have had some discussions about
16 aggregated battery control systems, but we haven't
17 developed that yet. And so we -- the specs for controls
18 with respect to Carolina system operations do not exist
19 yet. And those control -- that aggregated battery
20 control would -- would be something that would originate
21 from an energy management system, and if it's
22 distribution connected, go through our distribution
23 management system to the controller. If it's
24 transmission connected, it would go directly from the

1 energy management system to the -- the transmission
2 facility. Next slide.

3 So if we do use the -- or consider to use the
4 Sub 158 peak pricing periods in the Tranche 2 storage
5 protocol, then, you know, that would help with respect to
6 the predictability, as well as the benefit to -- that we
7 see to customers, as well as system reliability. And,
8 also, you know, we -- we could look at considering
9 options with respect to batteries -- controlling
10 batteries at a later date.

11 So just offering in summary why protocols?
12 Protocols ensure benefit to the customer. Protocols
13 ensure benefit to reliable operations. And once again,
14 Duke is continuing to learn about storage, and also we'll
15 continue to work with or work through the CPRE framework
16 to develop effective protocols to integrate storage.

17 And that concludes my presentation.

18 COMMISSIONER BROWN-BLAND: Before we move to
19 Commission Staff, does any of the parties have brief
20 pointed responses to anything you heard in the
21 presentation? Ms. Kemerait.

22 MS. KEMERAIT: I have a -- Karen Kemerait for
23 NCCEBA. I just have a question for clarification. These
24 considerations for Tranche 2 storage protocol, are they

1 designed to replace the energy storage protocol that's
2 included in Exhibit 10 of the Tranche 1 PPA? Is that
3 Duke's proposal?

4 MR. ROBERTS: Right. So -- so once again, we
5 had the proposed Sub 158 protocols for 1 MW or less
6 standard offer, and so what we would do is consider
7 looking at those protocols. We would consider adopting
8 those, which are less constraining on the storage
9 facility as compared with the Tranche 1 protocols.

10 MS. KEMERAIT: So there will be -- so there
11 will be a more specific proposal that you'll be providing
12 than what you're discussing -- than what you've discussed
13 with the considerations for Tranche 2 storage protocol --

14 MR. ROBERTS: Yes.

15 MS. KEMERAIT: -- that will be provided later?

16 MR. ROBERTS: Yes.

17 MS. KEMERAIT: Okay. But for purposes of this
18 discussion, all of the Exhibit 10 energy storage protocol
19 are considered to be overly restrictive and -- and will
20 not be included in --

21 MR. ROBERTS: No.

22 MS. KEMERAIT: -- the Tranche 2 PPA --

23 MR. ROBERTS: Yeah.

24 MS. KEMERAIT: -- is that correct?

1 MR. ROBERTS: I wouldn't say that they are
2 overly restrictive. You had two people bid in that were
3 selected to provide storage in Tranche 1, so I wouldn't
4 say that they're overly restricted. They're just what we
5 considered at the time were needed in order to, once
6 again, ensure that we're maintaining reliable operations,
7 we're maintaining NERC compliant operations, and we're
8 maintaining value for our customers.

9 MS. KEMERAIT: So not to make an argument about
10 overly restrictive, but these current -- the Exhibit 10
11 protocol are no longer going to be applicable for the
12 Tranche 2 PPA?

13 MR. ROBERTS: There's probably going to be
14 flavors of those protocols in the Tranche 2, but, for
15 example, you know, where one of them restricted to 1
16 percent of ramping, you know, you may see that percentage
17 increase to something more commensurate with other
18 entities.

19 MS. KEMERAIT: Thank you.

20 COMMISSIONER BROWN-BLAND: All right. Mr.
21 Buffkin.

22 MR. BUFFKIN: Thank you, Madam Chair. If you
23 could flip back to slide three, please.

24 COMMISSIONER BROWN-BLAND: And Mr. Roberts, you

1 pull that mic a little bit closer to you.

2 MR. BUFFKIN: Could you just briefly refresh
3 our collective recollections about what the LROL is?

4 MR. ROBERTS: Yeah. So Lowest Reliability
5 Operating Limit is a term established in the 2016 avoided
6 cost rate hearing, and basically that indicates the
7 minimum amount of synchronous generation that you need --
8 regulating generation that you need to maintain online in
9 order to handle the evening peak, the ramping into the
10 evening peak, as well as the morning peak for the next
11 morning. And so it's a capacity and a regulation
12 requirement.

13 MR. BUFFKIN: Thank you for that. And that
14 LROL is not depicted in the slides on 4 and 5.

15 MR. ROBERTS: That's correct.

16 MR. BUFFKIN: But it would be in the same
17 place, right?

18 MR. ROBERTS: It -- it changes from day to day
19 based on the -- based on the need for looking at the
20 amount of regulation needed, the amount of evening peak,
21 the amount of the next morning's peak. And also in the
22 summer, you know, you have a load shape, so it changes
23 during the summer as well.

24 MR. BUFFKIN: Would it be roughly in the same

1 place?

2 MR. ROBERTS: Yes. I would say it would be
3 roughly in the same place for that size peak.

4 MR. BUFFKIN: Thank you. Let me stay with
5 Duke, but I think this is probably for Mr. Jirak. I
6 understood your objections and your comments to the basic
7 concept of energy storage devices providing other
8 services, and -- and I understand other service roughly
9 equal to the term ancillary services that would be used
10 in the organized market. And I'll summarize.

11 I think those objections were four-fold,
12 statutory or lack of statutory authorization, valuation
13 in relation to the cost effectiveness and the
14 difficulties that that presents, and that other services
15 are in some -- some cases incompatible with provision of
16 energy and capacity, and then fourth, that this would
17 require a new contract and some time and effort involved
18 in that. So I'm interested in -- among these factors,
19 were one or more of them more important than the others,
20 or -- or is it -- well, I'll leave it at that. Was one
21 -- one of these factors more important than the other?

22 MR. JIRAK: Without having them in front of me,
23 hard to -- hard to weight them. I think it depends on,
24 you know, are we -- if the question is can we do it in

1 CPRE, obviously, the question is about whether it fits
2 within the statutory directives, CPRE is more relevant,
3 but I -- I don't know that I -- without consulting the
4 business folks I could probably -- I could tell you which
5 is more important than others. Certainly, a lot of very
6 complex technical issues there that I can speak to at an
7 extremely high level, but can't get -- get real deep with
8 you.

9 MR. BUFFKIN: Okay. Well, let me stick with
10 the statutory authorization issue, then. Other parties
11 have suggested that the Commission order a stakeholder
12 process on this energy storage protocol. If -- if your
13 view is that other services not permitted under CPRE
14 statute, what's your view on stakeholder process, then?

15 MR. JIRAK: Certainly, we're willing to
16 participate in any process the Commission sees fit. I
17 don't know that changes our perspective that paying for
18 things other than energy capacity is, you know, arguably
19 outside the bounds of what HB 589 ruled with respect to
20 CPRE. But at times when I heard discussion, the
21 stakeholder process sounded more broad than just, you
22 know, can we or can we not do this for CPRE. It sounded
23 like there was more of a desire for a general stakeholder
24 initiative generally, but certainly we defer to the

1 Commission what's the right procedural path forward, and
2 we're not going to object to the process.

3 MR. BUFFKIN: All right. I think Mr. Johnson
4 may have touched on this, maybe even answered it, but,
5 Duke, you told us in your comments you were still
6 assessing the storage protocols especially with regard to
7 ramping limitations and scheduling. Do you have any
8 updates on -- on progress as you've been assessing that?

9 MR. ROBERTS: Right. Once again, we're looking
10 at the proposed Sub 158 protocols and also, you know,
11 considering -- considering comments from developers, as
12 well as looking at the system needs from a reliability
13 and customer benefit perspective, but outside of putting
14 pencil to paper, we haven't done that yet.

15 MR. BUFFKIN: All right. Same question with
16 regard to the deadline for providing the next-day window
17 for bulk discharge start and end times, and currently
18 it's 4:00 p.m. You've heard some people object to that.
19 Have you made any progress on adjusting that?

20 MR. ROBERTS: I'm sorry. Could you repeat the
21 question?

22 MR. BUFFKIN: Sorry. Let me back up. So we've
23 heard from some other parties about the provision in the
24 energy storage protocol that requires Duke to give the

1 next-day discharge start times, and that -- and that
2 current time is 1600, 4:00 in the afternoon, but you also
3 said -- have you -- have you made any progress on
4 adjusting that? What's -- what's your latest thinking?

5 MR. ROBERTS: Yeah. I'm not aware of any
6 progress on that.

7 MR. BUFFKIN: So you still think 4:00 p.m. is
8 the right --

9 MR. ROBERTS: Do -- do I still think it's
10 appropriate with respect to providing those day-ahead
11 times associated with storage discharging? I mean, I
12 think the windows, the time windows, are going to be
13 fairly accurate with respect to the needs for winter load
14 shapes as well as the summer, and so I think we feel the
15 granularity that was requested in the Order by the
16 Commission is met with that.

17 MR. BUFFKIN: I understand. I understand your
18 view that's the appropriate time. Why -- why not
19 earlier?

20 MR. ROBERTS: Well, I mean, if -- if -- I guess
21 if you provided a longer duration battery, you could
22 provide for more discharge over the peak, but then you've
23 got to look at the cost associated with that. You've got
24 to look at the cost associated with that versus the other

1 resources.

2 MR. BUFFKIN: All right. I think I'm back to
3 the lawyers, then, if I -- if I may continue, and I'd be
4 interested in hearing from the other parties, too. Both
5 the Commission in its Orders and -- and the parties in
6 their comments have generally characterized the standard
7 of review for this pro forma PPA as reasonableness or
8 commercial reasonableness, acceptance in the marketplace.
9 What are some of the hallmarks of commercial
10 reasonableness? What -- what are the things the
11 Commission should be looking for?

12 MR. JIRAK: Yeah. I think certainly it's a
13 relevant factor to consider how other utilities have
14 handled similar issues and looking at PPA structures in
15 other utilities. I think it's also relevant to consider
16 what makes Carolinas unique, and the unique operational
17 and generation factors that influence what's appropriate
18 here as compared with -- with what -- how other utilities
19 have handled it. So I think -- I think you've identified
20 them well, but I think you can't -- in the end it's not a
21 one-size-fits-all solution, and it has to be assessed on
22 a -- you know, given the specifics of our system. I
23 don't know if Sammy has any to add to that.

24 MR. ROBERTS: I'm sorry. No. You're good,

1 you're good. Yeah.

2 COMMISSIONER BROWN-BLAND: Any other attorneys
3 want to address the hallmarks of commercial
4 reasonableness?

5 MS. KEMERAIT: Right. In -- in regard to the
6 energy storage protocol for the Tranche 1 PPA, we've
7 provided information in our comments, and we believe that
8 the -- the restrictions will make the -- a solar plus
9 storage project unfinanceable. Plus, we think that the
10 restrictions are overly restrictive and onerous.

11 And I did want to point out a clarification to
12 some information that was provided before. It was only
13 the Tranche 1 PPA that was reviewed and approved by the
14 Commission. There are a number of other documents, the
15 asset acquisition documents and the EPC Agreements. And
16 we as an industry provided substantial comments about the
17 asset acquisition documents and the EPC Agreement and
18 provided ways that they could be improved and corrections
19 to that. And only minor changes were made to those
20 agreements and they were never -- and my understanding,
21 that I think Mr. Judd might be able to clarify, but I
22 think even the Independent Administrator did not review
23 or make any changes to those agreements, and then they
24 never came before the Commission for review or approval.

1 And we have believed that they have been -- that they are
2 all commercially unreasonable documents.

3 MR. JIRAK: So can I respond to that just
4 briefly? I mean, that's a completely 180 different issue
5 than we're addressing here, but I'm glad to address the
6 acquisition documents if -- if you want to hear those
7 topics.

8 COMMISSIONER BROWN-BLAND: Well, she tied it to
9 -- came back and tied it to commercial reasonableness, so
10 if that's -- we'll hear from you.

11 MR. JIRAK: Sure. So, I mean, first of all,
12 this issue was already litigated once. Similar to the
13 market -- post-term market revenues, the Commission has
14 already heard this issue once before and issued a ruling
15 on it, so we think the same basis of facts and -- and
16 logic that led to the Commission's conclusion the first
17 time is appropriate this time.

18 Secondly, the marketplace delivered asset
19 acquisition bids that have been successful. The market
20 delivered solar plus storage bids that have been
21 successful. So the premise that they're just
22 fundamentally flawed and unfinanceable is obviously not
23 the case. Certainly understand the perspective that they
24 -- that developers think they should be different, but

1 they're not. The documents are not so unreasonable that
2 -- that bidders refuse to bid in projects. I mean,
3 that's kind of basic facts.

4 COMMISSIONER BROWN-BLAND: All right. Mr.
5 Levitas.

6 MR. LEVITAS: Yes. Thank you. I would take
7 issue with the notion that just because a couple of
8 people successfully financed documents, that that makes
9 them commercially reasonable with respect to all of these
10 types of documents. You've got two storage bids. You
11 might have gotten 50 storage bids.

12 And -- and with respect to the -- the fact that
13 -- with respect to the PPA that's been used here, yes,
14 it's been financed in the past. I've been involved with
15 those financings. I've been involved with negotiating
16 those PPAs. I don't believe the fact that that has
17 occurred necessarily is the definition of commercial
18 reasonableness. It's possible to finance a commercially
19 unreasonable document. You may have to pay more to do
20 it, you may have fewer financing parties who are willing
21 to transact with you, but it still may be possible to get
22 it done at a price or with difficulty. And --

23 COMMISSIONER BROWN-BLAND: But that some are
24 done is a factor to be considered, correct?

1 MR. LEVITAS: Pardon me?

2 COMMISSIONER BROWN-BLAND: That some are
3 financed is a factor to be considered?

4 MR. LEVITAS: I think it's a relevant fact. I
5 would agree with that. But I actually think Mr. Jirak
6 got closer to the mark when he talked about looking at
7 what's done in other jurisdictions with other utilities
8 and to kind of benchmark for -- for a measure of
9 commercial reasonableness. And I -- I would just -- just
10 to give you one example of that, the -- the PPA that
11 we're dealing with here, which is based on the PURPA PPA
12 that was negotiated, has a section that deals with
13 assignment, and that section on assignment covers lender
14 rights, so these -- these PPAs are collaterally assigned
15 to lenders as part of the security of the financing
16 package. And I will just tell you that those terms in
17 these Duke PPAs do not comport with what we see in most
18 places in the country, and in order to get lenders to
19 accept those, it takes a lot of work.

20 So I just think the -- the fact that we're able
21 to -- and I've spent a lot of time personally trying to
22 persuade lenders, yes, you should do this deal even
23 though you don't like these terms and this is not what
24 you see in other jurisdictions, so I just think the test

1 is broader than whether some parties manage to succeed in
2 getting challenging terms financed.

3 COMMISSIONER BROWN-BLAND: So in your view,
4 it's fair to say you might -- with some extra effort you
5 might be able to get the financing, but it's the extra
6 effort that is -- is sort of adverse to the process, I
7 guess?

8 MR. LEVITAS: That's right. We -- we will find
9 some financing parties who are not willing to
10 participate, given those terms, or they may charge a
11 higher cost for financing as a result of those terms.

12 COMMISSIONER BROWN-BLAND: All right. Does the
13 IA have something on this point?

14 MR. JUDD: On commercial reasonableness?

15 COMMISSIONER BROWN-BLAND: Yes.

16 MR. JUDD: We -- Commissioner, we feel the --

17 COMMISSIONER BROWN-BLAND: And the changes that
18 you did or didn't make in Tranche 1.

19 MR. JUDD: Pardon me?

20 COMMISSIONER BROWN-BLAND: And the changes you
21 did or didn't make in -- in Tranche 1 based on the
22 parties' contributions.

23 MR. JUDD: Yeah. We went through the comments
24 of the parties. We found that the final document was

1 commercially reasonable as used elsewhere.

2 May I offer an observation about storage, since
3 that is the subject that we're in this segment, or would
4 you like me to come back to that later?

5 COMMISSIONER BROWN-BLAND: Let me -- let me
6 come back to you. Mr. --

7 MR. JUDD: Thank you.

8 COMMISSIONER BROWN-BLAND: -- Buffkin, we're
9 still with your questions.

10 MR. BUFFKIN: I think I'm done with that one,
11 but I've got -- I've got just a few more.

12 COMMISSIONER BROWN-BLAND: Oh. So you're
13 moving on?

14 MR. BUFFKIN: Yes, ma'am. For Ms. Kemerait, I
15 -- I understood your objections to the ramp rate
16 provisions, and I'm looking for a little help on some
17 details or expanding on your arguments. What exactly is
18 the objection here? You feel that Duke hasn't met its
19 burden of persuasion to justify these provisions, or --
20 or is it although they brought sufficient arguments and
21 information, that -- that the Commission should just
22 order a different outcome?

23 MS. KEMERAIT: Well, I'll -- Tyler Norris was
24 going to -- is going to talk a little bit about the ramp

1 rate restrictions, but so -- so far, up until today, Duke
2 has provided no justification for the ramp rate
3 restrictions, and so what we have been -- what we have
4 been asking for is justification so that we could have an
5 opportunity to try to find a solution that would allow --
6 that would be appropriate, that would allow the energy
7 plus storage projects to be able to be bid -- to be -- to
8 be appropriate to be able to be bid into CPRE.

9 MR. BUFFKIN: So -- so, then, you just think
10 they haven't met their burden of persuasion?

11 MS. KEMERAIT: Absolutely, uh-huh.

12 MR. BUFFKIN: I understood that their
13 justification was it's commercially reasonable.

14 MS. KEMERAIT: Their -- they -- they have not
15 demonstrated that it's necessary for grid reliability,
16 and I think that that is what they need to -- to
17 demonstrate, that a restriction on energy storage must be
18 necessary to protect grid reliability. And we've
19 received -- we -- we have heard some information today,
20 but up -- but it's been very general information, and up
21 until today there's been no justification about why these
22 ramp rate restrictions are necessary for grid
23 reliability. And we've been asking for about a year for
24 that technical justification for these restrictions.

1 MR. BUFFKIN: All right.

2 MR. O'HARA: Mr. Buffkin, could I add to that,
3 if I may -- or go ahead, please.

4 So just as an example here, so one of the ramp
5 rate restrictions is a 1 percent per minute ramp rate
6 restriction while the solar facility is generating. Just
7 as an example, the state of Hawaii, which has a lot of
8 solar and storage on their grid and is a small islanded
9 grid, so presumably less capable of handling variation
10 than a larger grid like this, actually has a 5 percent
11 restriction there. So -- so 1 -- 1 percent in that case,
12 you know, doesn't seem to make a lot of sense to us,
13 given the differences in those grids, but I think the
14 bigger issue is what -- what we'd like to see is let's
15 have a definition of the problem that's -- that we're
16 trying to solve, and let's work together to come up with
17 the right solution to solve that.

18 So what -- what we see is that there's a --
19 there's presumably a problem that's being solved, and
20 what we see is -- is Duke's answer to that problem.
21 There's a lot of expertise in our industry around energy
22 storage as well, and I think if we work together, we may
23 find that there are other less restrictive or contractual
24 or, you know, other solutions to the problems, but we'd

1 like the opportunity to -- to work on those together.

2 MR. NORRIS: Yeah. And just to expand on maybe
3 some of those opportunities, so on one hand we are
4 hearing a problem definition from the Utility, which is
5 that they have a new capacity need that's, say, a three-
6 hour window on a winter morning. So we're trying to
7 develop solutions to that challenge for the benefit of
8 ratepayers, and the question is, what sort of operational
9 restrictions will best allow that? And what's been
10 proposed in the prior PPA was that a battery could not
11 ramp up to supply that need in less than 20 minutes. So
12 you'd have a 5 percent a minute ramp rate, and that's up
13 and down. So a battery would have to sacrifice the
14 ability to provide that discharge on behalf of ratepayers
15 for a total of 40 minutes, and -- and that's, you know, a
16 two- or three-hour window.

17 We appreciate that Duke has changed its
18 position and now is -- is talking about a 10 percent ramp
19 rate limitation in that scenario, but even there you're
20 losing 20 minutes of potential output that we're all
21 trying to maximize, again, on behalf of ratepayers, and
22 it's unclear to us why, especially if the battery is, in
23 fact, capable of providing that discharge for a full two-
24 or three-hour window.

1 Now, the other problem definition I believe
2 that we are starting to hear for the first time is that
3 they are concerned about a resource being able to provide
4 discharge for that full window. They're worried about,
5 say, a cutoff point or an unpredictable cutoff in a
6 period when they're expecting that capacity output. And
7 I think there's a really reasonable solution we can come
8 to, which is simply that we state in the PPA that there
9 will be no ramp rate limitation if you commit to
10 providing discharge for the full period or some -- say,
11 it's a two hour period, but I think we could come to some
12 agreement on that.

13 But, again, the -- so the -- the issue that
14 we're hearing expressed is a concern about a resource not
15 providing that output for us for a period of time. I
16 think one reasonable solution would be we just say if you
17 do provide discharge for a two- or three-hour window,
18 there's no ramp rate limitation or a substantially lower
19 ramp rate limitation.

20 So I think that's -- that's the only comment
21 I'll make for now on that issue.

22 COMMISSIONER BROWN-BLAND: Mr. Buffkin.

23 MR. BUFFKIN: Let me stay with Ms. Kemerait, if
24 I may. In looking at Protocol Provision Number 9, this

1 is something you've raised objection to in your comment
2 about the operating restrictions in Duke's, in your
3 words, "unfettered right to add additional and undefined
4 operating restrictions." I think I have the latest
5 version in front of me, and it -- it references NERC
6 standards. It references commercially reasonable manner,
7 commercially reasonable demonstration. Are -- are these
8 not limitations on Duke's ability to add new
9 restrictions?

10 MS. KEMERAIT: So Mr. Buffkin, is your question
11 that our objection to Number 9 would limit Duke's ability
12 to add additional restrictions?

13 MR. BUFFKIN: No. I understood your objection
14 was it gave them too much ability to add new
15 restrictions. And maybe to say it another way, is where
16 someone would raise objections to these undefined
17 restrictions is, you know, that they're not authorized,
18 but here we have expressly incorporated by reference into
19 this protocol what I understand to be limits on adding
20 new restrictions. For example, if it wasn't necessary to
21 comply with NERC standards, if it wasn't implemented in a
22 commercially reasonable manner, those would be limits on
23 Duke's ability to add new restrictions. Am I -- am I
24 misunderstanding the provisions of the protocol?

1 MR. NORRIS: So I think this -- this is another
2 example where just the -- the lack of information or
3 technical justification --

4 COMMISSIONER BROWN-BLAND: Be sure the mic's --

5 MR. NORRIS: Sorry about that.

6 COMMISSIONER BROWN-BLAND: -- directionally
7 aimed at you.

8 MR. NORRIS: It's just -- it's an area where I
9 think maybe we could resolve it if we -- if we sit down
10 and really walk through what a scenario like that would
11 look like. So what -- what is a -- what is a scenario we
12 can imagine where a NERC standard changes that does
13 require an additional operational restriction on the
14 batteries? And if we can really hone those in and define
15 them well and -- and for one, we can then better assess
16 whether they are, in fact, commercially reasonable, but,
17 two, it's the only way that many parties can actually
18 finance such a PPA. Because if we don't know what those
19 scenarios are or how restrictive they could, in fact, be,
20 you're not going to be able to convince a financing party
21 to step into that risk to finance such an asset.

22 So all we're saying is certainly in that
23 scenario we need to better understand what that scenario
24 is.

1 MR. ROBERTS: May I answer?

2 COMMISSIONER BROWN-BLAND: Yes, Mr. Roberts.

3 MR. ROBERTS: Thank you. So -- so I'll give
4 you a great example. In 2016, NERC changed Standard
5 BAL-001 from something that was looked at on a monthly
6 period, you had a month to dilute your performance to
7 acceptable performance, to a 30-minute window. So now if
8 we exceed what's called our Balancing Authority ACE Limit
9 for 30 minutes, which that steep net demand ramp in the
10 morning and in the evening greatly challenges that, then
11 we've violated a standard. And, of course, the fines are
12 up to a million dollars per day per event, over a million
13 now.

14 COMMISSIONER BROWN-BLAND: And, Mr. Roberts,
15 did you -- did you have any -- any response to Mr.
16 O'Hara's mentioning of the -- the restriction in Hawaii
17 versus the restriction of Duke?

18 MR. ROBERTS: Right. So -- so as I mentioned
19 earlier, that is one of the areas we're looking at with
20 respect to Tranche 2 protocols with respect to that 1
21 percent ramp rate limitation, and so hopefully we can
22 come up with something that's beneficial to all parties.

23 COMMISSIONER BROWN-BLAND: All right.

24 MS. KEMERAIT: And can I -- can I just add one

1 more comment? Karen Kemerait. I mean, what we are --
2 what we are looking for is to have is -- what we've been
3 looking for for the past year is to have a dialogue with
4 Duke, with Public Staff being part of it, so that we can
5 understand what those concerns are and to solve for them
6 so that we can have appropriate energy storage protocol
7 for -- first, we wanted it for Tranche 1, but now for
8 Tranche 2. And then also we think that this is going to
9 be a really critical precedent for PPAs elsewhere, so
10 this is a -- this is a really important issue not just
11 for CPRE, but for all interconnection projects.

12 And I think that with the stakeholder process
13 that we've asked for, I think that we can come to
14 solutions, and so we, you know, continue to ask for a
15 stakeholder process so that we can better understand what
16 we're trying to solve for, provide solutions, and then as
17 part of the stakeholder process we want the Commission to
18 consider and approve what the -- what the recommendations
19 and solutions would be so that we can have appropriate
20 policies for CPRE and then going forward for other
21 interconnection PPAs.

22 COMMISSIONER BROWN-BLAND: Thank you. Mr.
23 Buffkin --

24 MR. BUFFKIN: Well --

1 COMMISSIONER BROWN-BLAND: -- any more?

2 MR. BUFFKIN: Just one more for Ms. Kemerait,
3 and then a couple for the Public Staff.

4 COMMISSIONER BROWN-BLAND: All right.

5 MR. BUFFKIN: I'll -- I'll be brief. So on --
6 on that last point, you've all -- you all have had -- at
7 least had the opportunity to attend stakeholder meetings,
8 so dialogue is going on. Have we just reached a point
9 where you all don't agree with each other or -- I'm
10 having trouble understanding you're saying you want
11 dialogue and you haven't had dialogue, but we know
12 stakeholder meetings have happened, so -- so maybe you
13 all just don't agree.

14 MS. KEMERAIT: I would not characterize it that
15 we just don't agree. I think that we have had no
16 opportunity for that sort of discussion. We did have two
17 stakeholder meetings that we were very appreciative that
18 Mr. Judd and the Accion Group organized and included
19 Duke, market participants, the Public Staff. I mean,
20 they were -- there was quite a bit of interest and they
21 were very well participated in.

22 However, again, going into both of the
23 stakeholder meetings, we continued to ask for information
24 about the energy storage protocol, we asked for

1 justification, we asked for the dialogue, and we frankly
2 did not receive any justification from Duke. So the
3 energy storage discussion was extremely limited. We did
4 not -- we -- we -- there was no in-depth discussion or
5 analysis. So the discussion that we're having today
6 before the Commission is by far the most in depth and
7 greatest discussion that we've had about energy storage
8 since CPRE has begun.

9 COMMISSIONER BROWN-BLAND: It's my -- it's my
10 observation that I believe parties on both sides of the
11 room have heard something new out of these discussions
12 today, so we -- that's one of the hopes of the
13 Commission, is that you'll find the proceeding helpful to
14 helping us move along and progress implementation of this
15 program.

16 Mr. Buffkin, do you have any more?

17 MR. BUFFKIN: Yes, ma'am, just two more, and I
18 -- I think these are best directed to Public Staff. You
19 recommended the parties take into consideration the study
20 results by the North Carolina Policy Collaborative in
21 approaching the issues in this proceeding related to
22 energy storage. Now, Duke has told us they don't think
23 other services are permitted under the CPRE statute.
24 What's your view on statutory authorization for that kind

1 of compensation under the CPRE program?

2 MR. DODGE: So the -- excuse me -- this is
3 going to carry forward into our discussion on the
4 dispatchable PPA, I think, a little bit this afternoon,
5 but we -- I think we recognize the -- the CPRE's purpose
6 is to procure energy capacity and environmental
7 attributes, but in terms of the -- the cost cap that's
8 used for determining cost effectiveness, that's based on
9 avoided cost. And you -- as long as you're below that,
10 if they're providing the most cost effective resources to
11 -- that provide energy capacity and environmental
12 attributes, but also provide other services to benefit
13 customers, then we think that those can be recognized or
14 should be recognized as values.

15 I think in our March 22nd comments we talked a
16 little bit about the transparency of the evaluation
17 process and the net benefit to the grid as well, and that
18 to the extent that that, I think, is more -- after
19 Tranche 1 parties are able to evaluate that a bit more
20 fully and understand that that that may be -- we may see
21 more -- more innovative bids or bids that may -- may try
22 to target those that net system or net benefit to the
23 grid determination, and maybe -- that maybe help
24 incentivize additional storage.

1 MR. BUFFKIN: Thank you for that. And my final
2 question, again, I think for the Public Staff, so House
3 Bill 589 directed that that energy study by the
4 collaborative be delivered to the General Assembly, the
5 Joint Legislative Commission on Energy Policy and the
6 State's Energy Policy Council, and to my knowledge.
7 neither has acted on that study. To what extent is it
8 premature for the Commission to do so based on the
9 results of that study in the absence of any other
10 legislative direction to take action?

11 MR. DODGE: That's -- that's a good question.
12 No. I mean, it's hard to avoid storage right now. It
13 seems to be coming up in IRPs and avoided cost and CPRE.
14 It's a -- it's a theme that we keep coming back to,
15 interconnection, so it's -- it seems to be something that
16 a lot of work went into to developing that collaborative
17 report and some of the -- the potential benefits. We --
18 we also recognize that it was a report to the General
19 Assembly and whether some action would be taken there
20 first. But to the extent that there are values
21 identified in that report and that the Utilities are also
22 looking at in IRPs and -- and some of their other
23 modernization plans, I think we -- we think it's
24 appropriate for the Commission to look on a larger scale

1 at the energy storage protocol.

2 We've -- we've recommended a stakeholder
3 process for -- or not energy storage protocol, but energy
4 storage that would also include whether the energy
5 storage protocol could be modified in a way, whether it's
6 -- I mean, certainly, when Mr. Roberts attends these
7 meetings and provides information on how -- you know, how
8 reliability is key in making sure that the -- the storage
9 is integrated in a meaningful way, it's helpful, but we
10 also want to make sure that we're not overly conservative
11 in that application and that some of those other benefits
12 could be captured, if possible.

13 MS. CUMMINGS: Jeff Thomas here, our engineer,
14 has pointed out to me -- he spent quite a bit of time
15 with the study -- that there are specific recommendations
16 in the study that are for the General Assembly to act on
17 or -- or are more appropriate for the Commission to act
18 on, like changes to interconnection standards, so that
19 may be relevant in thinking about recommendations of the
20 study.

21 I would also point out from my time at the
22 Legislature, the Legislature will not hesitate to tell
23 you if you've gone too far, so...

24 COMMISSIONER BROWN-BLAND: All right. Let

1 me --

2 COMMISSIONER CLODFELTER: But until they do, we
3 can go as far as we want.

4 COMMISSIONER BROWN-BLAND: So I want to come
5 back to Mr. Judd.

6 MR. JUDD: Thank you.

7 COMMISSIONER BROWN-BLAND: He asked to make
8 comments about this general storage protocol issue.

9 MR. JUDD: Yeah. I'll be very brief. I just
10 wanted to, if I could, put this in context. Neither the
11 CPRE rules nor the underlying legislation expressly
12 states that storage should be part of this. And as I
13 opened my remarks this morning, I spoke of Tranche 1 as
14 being a beta test. Duke agreed to include the storage
15 opportunity so that we could prompt this sort of
16 discussion. What does the market need to participate?
17 How could we make it work in North Carolina?

18 I'll also note that the first time my group,
19 our group, has been involved in storage was a dozen years
20 ago, and it was brought in as an experiment by another
21 jurisdiction, another commission, saying let's give it a
22 try. And it was a small part of a much larger, much
23 larger conventional RFP.

24 Also, we have done quite a bit of work with --

1 in Hawaii as an independent evaluator. And, in fact,
2 it's not an island, sir; it's four separate island
3 systems, which you would think would make it easier to
4 bring in storage, but it didn't. And the first time we
5 had conversations with them about how can we incorporate
6 it was easily six years ago. So my point being that this
7 takes time. We walk before we run. The fact that HECO
8 -- strike that; I'm sorry -- Duke agreed to bring in
9 storage as a starting point in Tranche 1 and introduce it
10 into CPRE to see where it could go was, we thought, a
11 very good thing. And we obviously encourage that. We're
12 encouraging expansion of it.

13 And I just wanted to, if I could, put it in
14 context. They were -- it was not like they're putting up
15 ways -- a roadblock. We said let's put it out there and
16 see what the market will bring us and then let's find out
17 what we need, because each jurisdiction is unique. Thank
18 you.

19 COMMISSIONER BROWN-BLAND: All right. Thank
20 you. Commissioner Clodfelter, any questions on storage?

21 COMMISSIONER CLODFELTER: It's kind of a
22 halfway observation and a halfway question, so you can
23 take it both ways. When we teed this up this afternoon,
24 we -- we thought we were going to be talking about issues

1 that are right for the Commission to have to express some
2 viewpoint. And based on what I've heard, it sounds as if
3 there are going to be some significant new proposals for
4 the storage protocols in Tranche 2 that they haven't
5 fully formulated and you haven't seen at all. So my
6 question about this afternoon is, is it really even
7 useful for us to continue with this until there has been
8 a chance for Duke to talk to you about the new proposals,
9 for you to react to the new proposals? I think they've
10 heard you. We've clearly heard you, that it needs to be
11 a very robust discussion and exchange, and I think
12 they've heard that. And we'll probably repeat that
13 several times ourselves.

14 Is there anything useful, more useful, we can
15 do? Is there any issue that you know is not going to get
16 resolved even if you sit down and discuss a whole new set
17 of storage protocols? That's the real question. Is --
18 is there something that's just not going to get resolved
19 regardless for Tranche 2? Yeah.

20 MS. KEMERAIT: Yeah. So Commissioner
21 Clodfelter, Karen Kemerait with NCCEBA. We know of no
22 issue that won't be able to be resolved. We are -- as --
23 as I've mentioned, we're very hopeful that with a
24 dialogue and a stakeholder process, that we can work

1 together to find solutions for Duke's concerns about grid
2 reliability. And then, of course, if we -- if we can't
3 reach agreement, we'll be asking the Commission to -- to
4 make a determination.

5 COMMISSIONER CLODFELTER: Well, we'll see the
6 new PPA for Tranche 2 and the proposed new protocols and
7 it will be teed up then, so...

8 MS. KEMERAIT: And I -- it's difficult for us
9 to really respond because --

10 COMMISSIONER CLODFELTER: We're not -- I'm not
11 suggesting you do so.

12 MS. KEMERAIT: Right.

13 COMMISSIONER CLODFELTER: The very point of my
14 question is that it's not right for this afternoon.

15 MS. KEMERAIT: Right. We came -- it's not
16 right because we came prepared for the current Tranche 1
17 and --

18 COMMISSIONER CLODFELTER: I -- I respect that.
19 I understand that. I think what I've heard from this
20 side of the room is they're not going to do a repeat.

21 MR. O'HARA: Commissioner, what I think is
22 right for this afternoon --

23 COMMISSIONER CLODFELTER: Okay.

24 MR. O'HARA: -- and what you've heard from -- I

1 think from us and from Public Staff is for the Commission
2 to direct these parties to engage in a stakeholder
3 process more broadly around storage, so not limited to
4 just CPRE, with -- with some level of Commission
5 oversight on that process.

6 COMMISSIONER CLODFELTER: Yeah. Well, that's
7 -- that's -- we heard you on that. That's something,
8 though, right now we're trying to get Tranche 2 out the
9 door, and we -- we know that that's a pending suggestion,
10 proposal, from several parties that's broader than that,
11 and we understand.

12 I want to make one other observation and only
13 because of the dialogue that occurred in the last series
14 of questions, and I'm speaking only as one lawyer and one
15 Commissioner, but, you know, it's an interesting statute
16 in so many ways. The -- the way I read the statute, and
17 I think it's pretty -- pretty clear to me, at least, is
18 that the compensation structure for the CPRE program
19 contemplates payments for energy and capacity, but that
20 operationally the statute contemplates that Duke has --
21 is entitled to receive every other value stream from --
22 from these facilities that exists.

23 Now, maybe, for the reasons that they've
24 articulated, as a practical matter they can't realize on

1 those value streams right now, today, but legally the law
2 says you're entitled to get dispatch, operation, and
3 control in the same manner as if you owned it. So the
4 way I read the statute, you're entitled to those services
5 any time you're able to get them. That's one law review.

6 COMMISSIONER BROWN-BLAND: Commissioner
7 Mitchell.

8 COMMISSIONER MITCHELL: Duke, just a few for --
9 for you first. Mr. Roberts, just a very practical
10 question. For those instances in which the Companies --
11 either of the Companies has dispatch down rights through
12 existing PPAs, how do you execute on those -- how do you
13 provide those instructions and then make sure they're --
14 that the operator follows through?

15 MR. ROBERTS: Yeah. So we have filed the
16 curtailment protocols and --

17 COMMISSIONER MITCHELL: Not -- not a -- so --
18 so this would be sort of a negotiated contract where
19 you've got the right to -- and I --

20 MR. ROBERTS: Okay.

21 COMMISSIONER MITCHELL: -- and I'm sorry to
22 interrupt you. You may be going down that --

23 MR. ROBERTS: Sorry.

24 COMMISSIONER MITCHELL: -- path --

1 MR. ROBERTS: Yeah. So --

2 COMMISSIONER MITCHELL: -- but I just want to
3 make sure we're talking about the same thing.

4 MR. ROBERTS: Yeah. So in third-party
5 negotiated contracts, if that's what you're referring
6 to --

7 COMMISSIONER MITCHELL: Yes, sir.

8 MR. ROBERTS: -- we've had 10 percent
9 operational issue dispatch down rights, and the way we
10 execute those currently is through a phone call. And so
11 we will -- we'll call up that third-party control site.
12 I won't name names of vendors, but, you know, anyway.
13 We'll call up that third-party site, and we'll request
14 them to dispatch down to a minimum level, and then we'll
15 explain to them that we'll call them back and tell them
16 when they can bring their facility back up.

17 COMMISSIONER MITCHELL: Okay. And I assume
18 that there are electronic controls between your -- your
19 operations facility and the solar -- solar generating
20 facility that allow you to be certain that that facility
21 has --

22 MR. ROBERTS: So -- so we can -- we have
23 monitoring of the output of that site --

24 COMMISSIONER MITCHELL: Okay.

1 MR. ROBERTS: -- so, yes, we can -- we can
2 visually see the reduction in output from --

3 COMMISSIONER MITCHELL: Okay.

4 MR. ROBERTS: -- that site.

5 COMMISSIONER MITCHELL: Okay. Okay. And so at
6 this point in time it's just by -- through telephone
7 instruction?

8 MR. ROBERTS: That's correct.

9 COMMISSIONER MITCHELL: Okay.

10 MR. ROBERTS: For third-party negotiated, yes.

11 COMMISSIONER MITCHELL: Okay. One of the --
12 one of the points made on your slides as a potential
13 adjustment for Tranche 2 protocol is that you would
14 consider -- the Company would consider the option to
15 negotiate terms for Duke control of batteries at a later
16 date after control capabilities have been developed and
17 tested or --

18 MR. ROBERTS: Right.

19 COMMISSIONER MITCHELL: -- or -- how -- can you
20 -- can you talk a little bit more about that? How far
21 away are you from that, and what have you done, you know,
22 towards that end?

23 MR. ROBERTS: Right. So basically towards that
24 end we've just had discussion so far. We -- we have

1 discussed the technical aspects of what would need to be
2 -- take place with the EMS coding with infrastructure
3 with respect to communication protocol between EMS and
4 DMS for cybersecurity reasons. EMS is Energy Management
5 System; DMS is Distribution Management System. To go to
6 distribution connected batteries, and then for
7 transmission connected batteries it would be directly
8 from the Energy Management System to the transmission
9 connected facility.

10 And so it -- is it feasible? Yes. Have we
11 laid out the entire engineering design? No. We still
12 have a little ways to go on that.

13 COMMISSIONER MITCHELL: And -- and so can you
14 give me a sense of how much time, like what, you know --

15 MR. ROBERTS: Yeah. So --

16 COMMISSIONER MITCHELL: -- how far away are you
17 from that?

18 MR. ROBERTS: So one of the things we are
19 discussing putting in place is getting some operating
20 experience through sending a signal from the Energy
21 Management System through the DMS that's supposed to go
22 live sometime later this year to the -- I believe it's
23 the Rock Hill site, and just get some operating
24 experience with controlling that battery once it's

1 installed.

2 COMMISSIONER MITCHELL: And the Rock Hill site,
3 that is a -- is that a Company site?

4 MR. ROBERTS: Yes.

5 COMMISSIONER MITCHELL: Okay.

6 MR. ROBERTS: Yeah. That's correct.

7 COMMISSIONER MITCHELL: Okay. Are there any
8 third-party batteries or energy storage facilities
9 operating on either of your systems at this point in
10 time?

11 MR. ROBERTS: There may be on a --

12 COMMISSIONER MITCHELL: I'm sorry. Utility
13 scale. I'll be more specific.

14 MR. ROBERTS: Yeah. Utility scale? No. Once
15 again, there -- there -- there may be some connected to
16 some wholesale PODs that I'm not aware of, but...

17 COMMISSIONER MITCHELL: Okay. But you're not
18 aware of any solar plus storage facilities --

19 MR. ROBERTS: No.

20 COMMISSIONER MITCHELL: -- at this time?

21 MR. ROBERTS: No.

22 COMMISSIONER MITCHELL: Okay. Okay. And do
23 you know -- you may not know this information, but if --
24 but if anyone on the Duke side knows this information,

1 please -- please answer the question. But do you know if
2 any solar plus storage facility has been -- has been --
3 has made it through the interconnection study process and
4 will be interconnected at some point in the future from
5 outside of the CPRE process?

6 MR. ROBERTS: I'm not aware. I guess Bill
7 Quaintance could probably --

8 MR. QUAINANCE: No, none that are as far along
9 -- none that are into IA.

10 COMMISSIONER MITCHELL: Okay. Okay.

11 MR. JOHNSON: I would say -- I would add --

12 COMMISSIONER BROWN-BLAND: Madam court
13 reporter, could you get that?

14 MR. JOHNSON: Oh, I'm sorry.

15 COURT REPORTER: I did. Thank you.

16 COMMISSIONER BROWN-BLAND: All right.

17 MR. JOHNSON: Dave Johnson here. I -- I'd add
18 that we know of at least one large PPA, negotiated PPA,
19 where there is storage included.

20 COMMISSIONER MITCHELL: But that project is not
21 yet online?

22 MR. JOHNSON: It's not online, no.

23 COMMISSIONER MITCHELL: Okay. And that would
24 be a project that is not involved in the CPRE process?

1 MR. JOHNSON: That's correct. It's a -- it's a
2 solar plus storage.

3 COMMISSIONER MITCHELL: Okay. I have a few
4 questions for the IA. So in this Tranche 1 you all
5 received four bids that included an energy storage
6 facility. Three of those were selected as successful or
7 winning bids. Can you -- can you sort of describe how
8 you perceive that? Was that -- is that a success or do
9 you -- did -- did that -- did that fall short of your
10 expectations? Help us understand sort of the relative
11 significance of that number.

12 MR. BALL: There were four in one --

13 MR. JUDD: Go ahead. Go ahead.

14 MR. BALL: Excuse me. Yes. The -- there were
15 four bids submitted with storage. One of them dropped
16 out, and then so there were just three that were left for
17 evaluation, and two of those were selected.

18 COMMISSIONER MITCHELL: Okay. I'm sorry. So I
19 stand corrected. Okay.

20 MR. JUDD: Permit me to answer it this way. In
21 other jurisdictions, other RFPs, we've gotten a more
22 robust response. In fact, we have run solicitations that
23 are strictly for storage for a specific purpose, such as
24 in the LA Basin we do it to avoid new transmission.

1 The response rate and the success rate is not
2 out of line with some other jurisdictions. And I'm being
3 circumspect simply because some information that -- we're
4 -- we're still working through some RFPs elsewhere that
5 that information is not public. At the same time, we
6 completed one in Colorado last year. It had a very
7 robust response with storage. But there were different
8 criteria, including, and I think this is an important one
9 I want to share with you, because we are bringing in
10 storage to CPRE where it must be for a 20-year term a
11 renewable resource, which would mean the storage must be
12 recharged from the renewable asset. In other
13 jurisdictions we permit the storage after a term of years
14 to be recharged from the grid. Typically, it's five
15 years because the developer captures all of the ITC
16 value, then we have a different product when you can
17 charge it from the grid. You know, they can charge at
18 2:00 in the morning and deliver it peak time in the
19 afternoon, by way of example.

20 So we have constraints here in CPRE that should
21 be recognized as may have had a factor in determining the
22 -- the response.

23 COMMISSIONER MITCHELL: Well, we -- we would
24 appreciate your helping us understand what those

1 constraints are, so thank you for -- for that
2 information.

3 MR. JUDD: And we can provide more if -- in
4 fact, we did provide some as part of the stakeholder
5 process that was referenced earlier, where we had a list
6 of all the ways we have used storage in other
7 jurisdictions. I'll make sure that your staff gets that.

8 COMMISSIONER MITCHELL: Okay. One last
9 question for the -- for the IA. You indicated that you
10 -- you all perceive Tranche 1 as a beta for the CPRE
11 process in general. And you -- you -- you suggested
12 that, you know, you -- storage is kind of part of that;
13 you wanted to see what you would get, including storage
14 in the -- in the process. And I -- and I think I heard
15 you say that you're encouraging the expansion of -- of
16 storage. Can you -- can you explain what you mean by
17 that or --

18 MR. JUDD: We're -- thank you. If -- I may not
19 have been clear enough in trying to be brief in my
20 remarks. We are encouraging Duke to revise the
21 protocols. We were hoping in the comment period that
22 preceded Tranche 1 that we would have gotten more
23 direction from the marketplace as specifics that they
24 would like changed in the protocols. From what I've

1 heard today, I'm hopeful that we will get some of that.
2 It's more helpful to have specific -- you know, the ramp
3 rate, we'd like it to be 10 percent instead of 1 percent,
4 as opposed to we don't like the ramp rate. And I
5 understand. It was all rather vague, and it came in in
6 the process, but with more of that we think that we can
7 help refine the protocols, and with that we are hopeful
8 that we can get more expansion of offers for storage.

9 I -- the point I made just a moment ago about
10 the recharge of storage, we have been -- I will share
11 with you, we have been exploring whether there's a way to
12 at some point bifurcate, if you will, the storage to make
13 it so it could be separated from the renewable process.
14 We don't see a way to do that in CPRE and stay within the
15 confines of the legislation. That's a -- that's a huge
16 one in other jurisdictions. I -- I will share that with
17 you. But we are looking for ways.

18 We have found, in all candor, Duke and the
19 parties in interest to be interested in working together
20 to come up with revisions. We have more time now. When
21 we rolled out storage before, I think it caught some
22 folks a bit by surprise. It was new. We gave it a try.
23 We're going to do better.

24 COMMISSIONER MITCHELL: Okay. Thank you. For

1 -- let's see. For the Public Staff -- actually, I'm
2 going to ask NCCEBA a few and then I'll come back to the
3 Public Staff.

4 Can you give us -- can -- can NCCEBA provide
5 its -- its explanation or its position on for the
6 relative significance of the storage numbers from Tranche
7 1? Let me -- let me be a little bit clearer with my
8 question. Under what circumstances could the response
9 have been more robust?

10 MS. KEMERAIT: So this is Karen Kemerait on
11 behalf of NCCEBA. Our opinion is, is that the energy
12 storage response was not robust at all. There were four
13 projects that were bid in out of 78. And I did want to
14 share that Mike Wallace with Ecoplexus, Ecoplexus had the
15 two winning storage plus -- excuse me -- solar plus
16 storage projects. And he wanted to be here, and I
17 mentioned he was ill, because he wanted to convey to the
18 Commission that even though Ecoplexus did bid in projects
19 to CPRE and did have the two winning projects, that
20 Ecoplexus has very significant concerns about the energy
21 storage protocol.

22 So our view is, is that the vast majority of
23 the solar developers did not even bid any storage
24 projects into CPRE, even though there is a substantial

1 amount of interest in solar plus storage projects among
2 the market participants. So I think that if we can fix
3 the energy storage protocol and, you know, work together
4 with Duke to find good solutions, my expectation is, is
5 that for Tranches 2 and 3 there will be much more
6 substantial participation with storage projects.

7 MR. NORRIS: I'll just add a couple of
8 comments. Part of the inherent challenge is that the
9 avoided cost rate structure is not particularly valuable
10 for storage resources. And as -- as Duke has accurately
11 sort of portrayed, this is a relatively emerging
12 technology, it's still nascent, and the rate structure is
13 not very supportive.

14 Now, the Sub 158 proposed rate structure in
15 DEP, it is more supportive and especially in those winter
16 morning periods. Of course, the challenge is that the
17 CPRE procurement on DEP is extremely minimal, and so
18 we're unlikely to see a whole -- a whole lot of DEP
19 storage capacity in Tranche 2 or ever.

20 And the DEC rate structure, while being a
21 slight improvement of Sub 148 and Sub 158, may not be
22 enough to -- to support this if we're only valuing energy
23 and capacity. And, hence, the -- the question, I think,
24 that was asked previously, would it be appropriate to

1 consider the possibility of -- of valuing other value
2 streams, I would just submit to the Commission that the
3 South Carolina Legislature just required all utilities in
4 that state to submit a revised avoided cost methodology
5 that does account for ancillary services, and so I
6 believe that filing will be forthcoming soon from Duke
7 and may be worth taking a look at it, and there may be an
8 opportunity to take advantage of some of those other --
9 those other value streams in a way that could make
10 storage more creative.

11 And just one final point is because the rate
12 structure is -- is not quite supportive, all of these
13 little aspects, they matter a lot because it's very much
14 on edge. And so a difference of a ramp rate of 5 percent
15 or 10 percent really does make a difference overall on
16 whether those resources can be cost effective.

17 COMMISSIONER MITCHELL: So just so I
18 understand, Mr. Norris, I mean, are you -- because, you
19 know, we -- we were talking about the operational
20 limitations and parameters that are set forth in the
21 protocols, and you've discussed the rate design that's
22 now at issue in the avoided cost docket. So is the rate
23 design more conducive to pairing storage with the solar
24 or -- I mean, what's more important, to the extent one is

1 more important than the other?

2 MR. NORRIS: I think it's difficult to say.
3 Certainly, the -- the fundamental rate structure, I
4 suppose you could argue, is the most important on a
5 marginal basis. And so, for example, the difference
6 certainly between the Sub 148 and Sub 158 capacity value,
7 and especially for those winter mornings, that -- that is
8 accretive, and so I think, you know, if you did see a
9 substantial amount of CPRE procurement in DEP, you
10 probably would see more storage bids in Tranche 2, but,
11 again, especially in DEC because it's so on edge
12 everything adds up, and I would say those -- those ramp
13 rate restrictions certainly do factor in.

14 COMMISSIONER MITCHELL: Okay. Okay. Thank
15 you. Just for the Public Staff, just very quickly. Will
16 you summarize the Public Staff's position on -- on energy
17 storage at this point? I mean, you -- you all have
18 recommended now for -- for some time in this docket in
19 particular that the Commission order the parties to
20 engage in discussion or workshopping. I mean, is that
21 still your recommendation? Can you just provide me the
22 -- the specifics?

23 MR. DODGE: Sure. I'd be happy to. I mean, I
24 think the -- the dialogue today kind of exemplifies

1 there's a lot of learning still going on in this, and I
2 think we're hearing information that's been shared from
3 the Utilities today about some further evaluation that
4 they're making of how the energy storage protocol may be
5 applied in -- in the future.

6 I think in general, we -- we don't have the
7 expertise necessarily to comment on the reasonableness of
8 the ramp rates or the discharge window specifically. I
9 think we've tried to, through other dockets such as the
10 avoided cost docket, to find ways such as targeting
11 specific hours where the -- we're providing better price
12 signals that might incentivize storage or make those --
13 those other more attractive.

14 So I think we have tried to work, and -- and
15 whether it's in interconnection or avoided cost, to find
16 ways to, to the extent storage can add value and provide
17 additional benefits to customers, to make that possible.

18 We -- I think with regard to the stakeholder
19 process, I think we did recommend that last fall
20 initially for energy storage when energy storage protocol
21 was first being considered, and we did repeat that
22 recommendation in our March 22nd comments. I think
23 there's -- there's still a lot of, again, a lot of
24 learning going on and a lot of information that can be

1 shared.

2 For Tranche 2, I think, again, there may be --
3 if things are moving on a time frame that provides time
4 for further discussions to take place on a Tranche 2
5 energy storage protocol and maybe some further
6 information sharing, it may be appropriate to limit it to
7 that purpose, but I think at some point it -- it makes
8 sense for this -- the questions of energy storage and the
9 value proposition that it provides to be more broadly
10 considered by the Commission.

11 That wasn't quick. I'm sorry.

12 COMMISSIONER BROWN-BLAND: All right. We've
13 worked our way through three issues. We have one left.
14 I'm going to take a break here in a minute. Before we do
15 that, hearing no objection, we will -- the Commission
16 will allow Commissioner Patterson to read in the rest of
17 this technical conference that he was unavoidably not
18 able to be here for the afternoon session. And I think
19 we will now take a brief break until 4:05, and then we'll
20 take up the final issue on the dispatchable PPA. And Mr.
21 Judd, if -- if the other two gentlemen -- if you don't
22 need them by your side, they're free to sit a little more
23 relaxed in the back, but I don't think we're ready to let
24 you leave yet.

1 (Recess taken from 3:56 p.m. to 4:06 p.m.)

2 COMMISSIONER BROWN-BLAND: We are so close, we
3 do not anticipate coming back tomorrow. We still want to
4 end this by 5:30, if at all possible. Everybody bear --
5 or sooner -- and everybody please bear that in mind.

6 So we're down to the fourth issue, which is the
7 reasonableness of the dispatchable PPA proposed by First
8 Solar for the purposes of the CPRE program. And a little
9 bit different in this section. We're going to start with
10 First Solar, and I believe they have a presentation for
11 us.

12 MR. BREDDER: All right. Thank you very much.
13 Roger Bredder from First Solar. And as the Commissioner
14 indicated, I'm going to talk about the issue of
15 curtailment. I'm actually not going to go through the
16 slides in light of where we are in the day. I want to
17 just hit a few points and let's get into a discussion
18 because I think it's a fairly, you know, meaty topic.

19 And, also, I think it fits really well with
20 having just gone through the storage issue, because the
21 way I really think about curtailment and flexible solar
22 is it's a great intermediate step before you even need
23 storage. If you're operating these -- these assets in a
24 more flexible way, it allows to resolve some of the

1 issues that Mr. Roberts was talking about in terms of
2 thinking about solar as being this very inflexible asset
3 that I've got to manage around instead of the way we like
4 to flip it around and look at solar as saying it's the
5 most flexible asset you have on your system because it
6 can ramp, it can load follow, it can dispatch up and down
7 faster than in any other asset, and so it's all these
8 capabilities, but if it's under a must take contract
9 construct, you lose all those -- all those benefits.

10 And so what we're proposing is -- is basically
11 moving to a structure where you're looking at a capacity
12 payment rather than, you know, having a, you know, even a
13 limited curtailment, which is what we have on -- on
14 Tranche 1. So when you have a 5 and a 10 percent
15 curtailment rate, there's kind of two things that happen
16 with that. One is, from a developer perspective, we
17 price in assuming that full right is going to be
18 utilized. So if Duke doesn't end up needing 5 percent or
19 10 percent in the case of DEP, they essentially have
20 overpaid for something they didn't end up using to have
21 that option.

22 Conversely, it's a 20-year contract, so was 5
23 and 10 percent the right numbers? I mean, it's -- you
24 know, people took a stab at what they thought they needed

1 in flexibility, but it might be right or wrong 10 years
2 from now, right? So it doesn't have enough flexibility
3 in our mind.

4 When you move to a capacity base structure,
5 what that introduces is the ability to manage your system
6 much more robustly, get, from a Duke perspective, the
7 complete ability to act like that asset is their own and
8 decide when they need to -- to ramp it. It allows them
9 to ramp down certain gas assets that otherwise they have
10 to keep on min load. So from an emissions perspective,
11 you're going to have lower emissions.

12 And, you know, the interesting thing -- and
13 this is a study folks haven't -- aren't familiar with it.
14 We did a study with Tampa Electric where we took their
15 system and looked at if they operated it with solar as a
16 must take, all the way down to a situation where it's
17 completely flexible like we're, you know, indicating here
18 like it's as a capacity payment, and what came out of
19 that was the system cost actually went down, not up, in
20 having that completely flexible system that -- that they
21 could -- they could operate in -- in the best mode.

22 So from a developer's perspective, what that
23 does for us and why we're advocates of it, because it --
24 from a pure contracting perspective, as I mentioned, you

1 know, we can handle the 5 or 10 percent, we just have to
2 gross up for it, so we can -- we can work around that.
3 But what we're after is in the long term if the Duke
4 system, everybody's system is going to be able to support
5 more solar in their system, having it in a flexible,
6 fully dispatchable way about doubles the amount of solar
7 that you can support in the system before you, you know,
8 you've -- you've run into any curtailment issues, and
9 that's even before having even to think about battery
10 storage.

11 So there's certainly, you know, an important
12 place that batteries and storage play in the system, but
13 we think coupling that with this, you know, kind of
14 intermediate step on the contracts of -- of having a more
15 flexible contracting format in place, you can forestall
16 when you need batteries or limit the amount you need.
17 And, obviously, batteries are getting cheaper every year,
18 so if you can push back a few years when you need to
19 introduce those, then, you know, they become a better
20 long-term solution as you start to look down the road.

21 So that's -- that's basically the, you know,
22 the key points I just wanted to open up with to get the
23 conversation going.

24 COMMISSIONER BROWN-BLAND: All right. Thank

1 you. Did Duke have a presentation on this issue?

2 MR. JOHNSON: We do.

3 COMMISSIONER BROWN-BLAND: All right. We'll
4 hear that at this time. He needs his mic back.

5 MR. BREDDER: Yeah. Sorry.

6 MR. JOHNSON: My name is David Johnson, again.
7 And so what I want to start with on the First Solar
8 proposal, the First Solar proposal, as compared to the
9 Tranche 1 PPA, there's two main differences. One is
10 pricing, the pricing structure and, two, the
11 dispatchability.

12 So for the Tranche 1 PPA structure, Duke has a
13 dollar per MWh rate, and that's paid to the seller based
14 on the energy delivered, so that's a very important fact.
15 Under the First Solar proposal, it's a fixed price, so
16 you pay \$1.00 per MW month or kW month. It's a fixed
17 price. You know the capacity, so you know the megawatts,
18 so you -- it's a fixed payment. And, of course, you --
19 they do have a -- the ability to apply a performance
20 standard and adjust the price or create a penalty if they
21 don't deliver in accordance with a theoretical calculated
22 value.

23 The Tranche 1 PPA that we have, we have built
24 in there what we call dispatch down curtailment, and

1 we've built in there percentages based on analysis that
2 we've done in house, taking into account how many
3 megawatts of solar that we have currently operating, how
4 much we are expecting to be operating in the future,
5 including CPRE, and we've run sensitivities on that. And
6 so we came up -- we had logic behind the 5 and 10 percent
7 dispatch down, and that's, of course, 5 and 10 percent of
8 the total estimated annual energy production.

9 MR. JUDD: Your slide is off.

10 MR. JOHNSON: I'm sorry. Okay. The other
11 point I was going to make on Tranche 1 -- the Tranche 1
12 PPA is we've built in controls so that we can actually
13 send a signal. Based on the language in the PPA, we can
14 send a signal to the facility remotely from the operating
15 center, and it's different from what Sammy mentioned
16 earlier. So under the previous larger negotiated
17 agreements we have to make a phone call. Well, under
18 this we decided let's put the control language in the
19 PPA. So now we can -- you know, when the time comes in
20 2021 or so, we can hopefully push a button and dispatch
21 that unit down, and when we need to move it back up, we
22 simply give that instruction.

23 And the last point I'll make about Tranche 1 is
24 we felt like, as the IA has talked about, we felt like

1 that Tranche 1 was successful in awarding approximately
2 600 bids, 600 MW of bids, well under the AC avoided cost
3 cap.

4 So some of the concerns we have with the First
5 Solar proposal, the fixed price payment structure, that
6 -- we see that as shifting the risk from -- from the
7 developer, from the seller to the Duke customer because
8 of the fixed priced nature, and you're -- and you're
9 using a theoretical value of energy to adjust the -- the
10 price. For instance, the risk of sun availability,
11 that's all going to be borne by the Duke customer instead
12 of by the seller. Under -- again, under the Tranche 1
13 PPA we pay based on what's delivered, so the seller has
14 that risk. Other items, equipment degradation, that gets
15 locked in when you're talking about a fixed price as far
16 as performance measures, and then facility configuration.
17 So there's a number of issues that the risk shifts from
18 the seller to Duke customers.

19 PPA performance measures, I mentioned that just
20 a little bit ago. Those would require continuous
21 monitoring. You'd be using theoretical calculations that
22 are, you know, complex. They create cost, administrative
23 -- more administrative burden, and because you're using
24 these theoretical values, it's going to create more

1 disputes than I think what we have today under the PPA.

2 The potential value of additional control or
3 dispatchability proposed by First Solar above the Tranche
4 1 levels that we have, that value, we think, is
5 uncertain. We think -- we question whether it's
6 necessary.

7 The dispatch down levels, as I mentioned
8 before, in Tranche 1 are based on analysis that we've
9 done and the needs that we've projected. And also the
10 control of the third-party facility for dispatch down is
11 allowed in Tranche 1 so, effectively, we can control the
12 facility. The only difference is we don't put it on
13 automated generation control where it's automatically
14 swinging. What slide am I on here? Thank you.

15 The risk of fixed price. From a recovery
16 standpoint we do have some risk in South Carolina in
17 wholesale. Presumably, in North Carolina if we went
18 forward, we would get approval to include a fixed price
19 structure, but we do have other jurisdictions we'd have
20 to recover.

21 We're not -- we're not clear at this point of
22 how we would apply the avoided cost cap for a fixed price
23 bid as -- which is required under House Bill 589. I
24 think I heard Roger mention earlier that storage was not

1 considered under -- under this proposal, and one of the
2 comments we were going to make is we could not tell, but
3 if you did have storage, you'd have to have separate
4 measures. It would have to be separate, really, from the
5 solar facility.

6 And then lastly, our concern with full control,
7 I mentioned AGC or automated generation control, it's
8 very difficult with a solar facility. We typically use
9 coal -- coal units or combined cycle or simple cycle CT
10 gas units, and it's very predictable swinging up or down,
11 versus if you have a solar on automated generation
12 control, you may be able to predict it swinging down at a
13 certain point, but the swinging back up is unpredictable
14 because of sun. So we just think as compared to what we
15 currently use that would be uncertain, more uncertain.

16 So in conclusion, I would say our -- our
17 positions are the Tranche 1 PPA is tried and true. It's
18 a tried and true method for procuring from solar
19 resources. It provides us with what we need for dispatch
20 curtailment, as we've analyzed. It allows for control to
21 dispatch down. We've built in the controls in the PPA.
22 The Tranche 1 results, as I mentioned, as well as
23 historical use of the same -- similar PPA, proves
24 viability of the PPA structure. And as I mentioned

1 before, the PPA price structure under the first solar
2 proposal shifts the risk from the developer to the Duke
3 customer.

4 And then the last point is we just think it's
5 not advisable to test this completely new PPA structure
6 for a 600 MW competitive procurement in Tranche 2.

7 That's all my comments. Thanks.

8 COMMISSIONER BROWN-BLAND: Mr. Johnson, could
9 -- outside of this CPRE could you ever foresee the
10 dispatchable PPA structure or the ability to test it, see
11 if it can be proven? Can you -- can you see a scenario
12 like that? Or does the overall, you know, summary of --
13 of your presentation mean you -- you never see that in
14 the future?

15 MR. JOHNSON: Yeah. That's -- that's a good
16 question. The TECO study that First Solar provided as
17 part of their proposal, that had four different modes of
18 dispatchability. The fourth one was -- the fourth being
19 the most flexible, the automated generation control. The
20 third was a dispatch down option, which is what we have.
21 And that paper actually talks about levels of -- of solar
22 generation being on the order, I think, of mid to high 20
23 percent range, and I believe right now we're at somewhere
24 around 4 percent, I think I heard.

1 So if we got, you know, out -- out in time to
2 those kind of levels, then I would think we would
3 consider, but I just don't think we're there yet.

4 COMMISSIONER BROWN-BLAND: All right. Mr.
5 McDowell?

6 MR. MCDOWELL: Yes. Hi. Steve McDowell with
7 Operations. Most of my questions are going to be
8 directed to First Solar, and then I know Mr. Buffkin has
9 some in addition to this.

10 First Solar has made a case for the value of
11 flexible solar. Would you agree that some of that value
12 proposition is already provided for in the development of
13 avoided cost? The fact that solar production has zero
14 fuel cost and can provide capacity value is included in
15 the avoided cost methodology; is that correct?

16 MR. BREDDER: Yeah. I -- I think, you know,
17 our agreements are so much around, you know, that part of
18 the value system; it's more geared around the operation
19 and the robustness of how the solar asset can be used in
20 the system.

21 MR. MCDOWELL: Right. However, some of that
22 value stream that you've just mentioned and discussed and
23 offer insights from certain studies is not presently
24 accounted for in the avoided cost calculation; is that

1 your position?

2 MR. BREDDER: Yeah. That's correct.

3 MR. MCDOWELL: Such as emissions reductions,
4 ancillary services, frequency voltage, those are not
5 accounted for in avoided cost, and that is your position,
6 then, correct?

7 MR. BREDDER: Yeah. Those are incremental
8 values that aren't fully captured unless you really can,
9 you know, fully operate the, you know, the plan at its
10 full capability.

11 MR. MCDOWELL: So First Solar's proposal, this
12 capacity based PPA structure, possibly relies on the
13 rates to be developed to properly represent all these
14 value streams; is that correct?

15 MR. BREDDER: You know, I don't -- I don't
16 think that's necessary to -- I mean, certainly, it's
17 inherent to -- to kind of what values, but we're not
18 looking for some increase to avoided cost to make this a
19 viable concept at all. It's -- the only thing I would
20 say is, and what we're doing right now with the 5 and 10
21 percent dispatch, right, we're putting that in, and
22 inherently everybody is pricing up and artificially
23 making their price 5 or 10 percent higher, and they
24 shouldn't be burdened with that in comparing it to the

1 avoided cost.

2 MR. MCDOWELL: Okay. Thank you. So as a
3 developer, does the proposal that First Solar has put
4 forth, does that proposal work for you if Duke were to
5 develop fixed rates without attempting to value these
6 things like emissions reductions and ancillary services?
7 Does it work for First Solar as a developer?

8 MR. BREDDER: It does.

9 MR. MCDOWELL: Okay. Are you familiar with
10 Duke's proposed integration service charge in the avoided
11 cost docket, E-100, Sub 158?

12 MR. BREDDER: I'm not personally. I don't know
13 if others are.

14 MR. WHITE: I have familiarity with it.

15 MR. MCDOWELL: Okay.

16 COMMISSIONER BROWN-BLAND: Wait a minute. You
17 need the mic. Could you repeat?

18 MR. WHITE: Yes. Some --

19 COMMISSIONER GRAY: Please pull the mic to you,
20 sir.

21 MR. WHITE: Yes. This is Andy White with First
22 Solar. I have some familiarity. Thank you.

23 MR. MCDOWELL: So are you also aware that the
24 Public Staff and Duke filed earlier this week a

1 Stipulation of Partial Settlement regarding solar
2 integration service charge?

3 MR. WHITE: Yes. I was aware.

4 MR. MCDOWELL: So let me read from page 6 of
5 the Settlement, as filed, "The Stipulating Parties agree
6 that it is appropriate to consider the ancillary services
7 cost of adding incremental solar and the potential
8 applicability of the integration services charged to
9 solar generations solicited in CPRE Tranche 2 and other
10 future CPRE tranches." Do you accept that as an
11 appropriate statement of what was in the Settlement?

12 MR. WHITE: I'll -- I'll take your word for it.
13 I don't have the Settlement in front of me. Thank you.

14 MR. MCDOWELL: At a high level, I guess the
15 parties recognize that there is a real cost for
16 integrating distributed generation. In other words,
17 nonflexible distributed generation creates additional
18 cost and system operation space. You accept that?

19 MR. WHITE: Could you repeat the question one
20 more time, please?

21 MR. MCDOWELL: So at a high level, I guess the
22 parties recognize that there is a real cost for
23 integrating distributed generation. In other words,
24 nonflexible distributed generation creates additional

1 cost and system operations space.

2 MR. WHITE: Nonflexible resources that you
3 indicate, yes, there would be additional cost, although
4 what we are proposing is to --

5 MR. MCDOWELL: Understand.

6 MR. WHITE: -- increase the flexibility of
7 those types of systems served.

8 MR. MCDOWELL: Yes. And so First Solar's
9 proposal that promotes fully dispatchable assets will
10 provide system operations additional tools needed to
11 minimize this impact; is that a fair statement?

12 MR. WHITE: I wouldn't necessarily characterize
13 it as minimizing, but creating additional value streams
14 that -- that create -- enhance value, not necessarily
15 just to -- to mitigate some of the -- the challenges that
16 you outline.

17 MR. MCDOWELL: So this is a -- this is a value,
18 then, that Duke should recognize in developing fixed cost
19 rates required for First Solar's proposal?

20 MR. WHITE: That's why we're here today, is to
21 consider that very -- that very proposition.

22 MR. MCDOWELL: But you also said that those
23 additional value streams didn't have to be recognized for
24 this to make sense for First Solar. Your proposal works

1 with or without those; is that correct?

2 MR. WHITE: That's correct, yes.

3 MR. MCDOWELL: Okay. First Solar's position,
4 as stated on page 6 of your comments, is that
5 "Dispatching utility-scale solar can provide measurable
6 system cost savings." Is the dispatch that you're
7 referring to -- and this may have been addressed in the
8 comments from Duke earlier. Is the dispatch that you are
9 referring to different than that provided for in the PPAs
10 associated with CPRE Tranche 1 projects?

11 MR. WHITE: I'm sorry. I'm going to have to
12 ask you to ask that question one more time --

13 MR. MCDOWELL: Okay.

14 MR. WHITE: -- because I was referencing page
15 6.

16 MR. MCDOWELL: So page 6 --

17 MR. WHITE: Thank you. Uh-huh.

18 MR. MCDOWELL: -- it says, and I quote,
19 "Dispatching utility-scale solar can provide measurable
20 system cost savings."

21 MR. WHITE: Great. So I was reading -- reading
22 the previous statement, so now that I've found my
23 place --

24 MR. MCDOWELL: Okay.

1 MR. WHITE: -- if I could have you reframe the
2 question, please.

3 MR. MCDOWELL: So then the question is, is the
4 dispatch that you're referring to different than that
5 provided for in the PPAs associated with CPRE Tranche 1
6 projects?

7 MR. WHITE: The -- the dispatch is -- is
8 different than what's provided for in -- in the Tranche
9 1, correct.

10 MR. MCDOWELL: Can you speak to that, and
11 especially if it reinforces what comments were made
12 earlier by Duke?

13 MR. WHITE: Sure. Roger, do you want to
14 address that?

15 MR. BREDDER: Yeah. It's just, you know, what
16 we're advocating is a -- a fully dispatchable approach
17 where you're not -- have a hard stop at 5 percent. If
18 Duke had a particular window where they needed 7 percent,
19 they could go to 7 percent because it -- it optimized,
20 you know, the cost of the system, because we're really
21 looking at the overall reduction of the cost of the
22 system rather than a single plan because that's
23 ultimately the goal.

24 MR. MCDOWELL: So let me probe that just a

1 little bit further relative to the actual hardware and
2 software. First Solar states on page 5 of its comments
3 that "Dispatchable contracting structures for utility-
4 scale solar facilities are possible due to advances in
5 technical capabilities of utility-scale solar control
6 technology." And then it goes on to say "Utility-scale
7 solar developers are increasingly including these
8 technologies in their projects today." Are you with me
9 there?

10 MR. BREDDER: Correct.

11 MR. MCDOWELL: Okay. So in that the PPAs
12 associated with Tranche 1 include provisions for -- for
13 the projects to immediately and fully comply with all
14 system operator instructions, does this suggest that the
15 technologies you are referring to are already necessary
16 to the CPRE Tranche 1 projects?

17 MR. BREDDER: Yeah. I can't speak to how
18 various developers are going to achieve that requirement.
19 I can tell you from a First Solar perspective even
20 without those requirements, every plant that we build,
21 you know, has a -- a SCADA and a plant controller that
22 provide that whole robust capability that you'd have on
23 any thermal asset in the -- in the system.

24 MR. MCDOWELL: Does Duke understand there to be

1 something additional to support what First Solar was
2 proposing in terms of its dispatchability different than
3 is required in CPRE Tranche 1?

4 MR. JOHNSON: Our understanding is that the
5 First Solar proposal includes a full, flexible AGC,
6 automated generation control, where you would simply put
7 the unit on automation and it would follow your load.
8 And we do that currently with our coal units and gas
9 units. And -- and my point before was that's very
10 reliable, whereas if you do it with a solar facility, you
11 don't know if you're going to be able to swing because
12 you don't know when the sun from moment to moment is
13 going to be out or in.

14 MR. MCDOWELL: Do you have that capability with
15 the projects that will be developed, the winning projects
16 from CPRE Tranche 1?

17 MR. JOHNSON: No. We were -- we were not --
18 our plan is not to put those projects on AGC. It's
19 simply to, as Roger mentioned, to use the plant
20 controller, and we have requirements built into the PPA
21 where we can actually control the facilities through the
22 plant controller from our operating center and send
23 messages, send orders to dispatch down. And what I --
24 what I mean by that, you can -- you can reduce about 10

1 percent, 20 percent, you know, whatever you want to do,
2 or you can go all the way down, turn it all the way off.
3 Currently, that's our mode, is on or off, but under CPRE
4 we can turn it down with this logic, but you've got to
5 give the order. You've got to give an order to go down,
6 then you've got to give an order to go up remotely.

7 MR. MCDOWELL: So do you require something
8 additional at your plants if you're a winning bid under
9 your proposal than Tranche 1?

10 MR. BREDDER: No. Absolutely not. And we've
11 got a -- a study that we did with NREL that speaks, you
12 know, quite a lot to this point, where they asked us to
13 load follow and showed how a solar plant could precisely
14 follow much more accurately than any thermal plant could
15 a load dispatch profile, frequency control, same thing.
16 You know, our plant actually in California had the
17 capability, and the Utility said don't need you to do
18 that, so we sat back with the full capability.

19 And then they had a system of instability
20 because one of their nuclear plants -- because they said
21 we've got this big nuclear plant on the line, we don't
22 need you guys, they actually called us up and said turn
23 it on, we need you to do this, and we were able to
24 completely stabilize the line for them. So it's -- it's

1 an interesting study. If you haven't gotten hold of it,
2 I'm happy to provide it for everybody.

3 MR. MCDOWELL: I think it's attached to your
4 attached to your -- to your filing, yes. To enable the
5 proposal offered by First Solar, Duke will have to
6 determine the components of fixed rate, including energy,
7 capacity, and any other value streams you can agree to?

8 MR. BREDDER: Well, I think, yeah. I think
9 from a CPRE 2 process they would simply value based on
10 the -- on the bid price and compare it to avoided cost.

11 MR. MCDOWELL: So in Duke defining what that
12 fixed rate would have to be to establish that, the
13 Utility would have to make some assumptions relative to
14 the energy output, how they would actually dispatch it,
15 how many megawatt hours there would be associated with
16 that plant? Otherwise, somebody gets too much or
17 somebody gets too little, right?

18 MR. BREDDER: Well, I think you'd -- you'd look
19 at it as fully, you know, the full output of the plant,
20 just like when you're putting a, you know, a gas plant or
21 some other asset in rate base.

22 MR. MCDOWELL: But to -- to determine the fixed
23 rate that you're asking for, they wouldn't necessarily
24 calculate a fixed rate and be paying for, say, energy

1 that wasn't being provided for.

2 MR. BREDDER: Well, they'd be -- they'd be
3 making a capacity payment. That would be just a fixed
4 capacity payment, and then it would be subject to
5 adjustment, to the extent that the plant either failed to
6 perform as it was supposed to in terms of dispatch or
7 just didn't have the capability that it said it -- it
8 had. So if it had a, you know, 100 MW capacity and you
9 ran a test and it didn't have that capacity, then there
10 would be a -- a discounting to the -- to the capacity
11 payment. So it would work from kind of deducts --

12 MR. MCDOWELL: Okay.

13 MR. BREDDER: -- rather than --

14 MR. MCDOWELL: Right. Thank you. Let me get
15 Duke to respond to the same question about calculating of
16 fixed cost based on this proposal. Do you think that you
17 have to somehow assume model a certain dispatch of those
18 units in order to get a proper assessment of what fixed
19 rate should be?

20 MR. SNIDER: Glen Snider. I'm Director of
21 Resource Planning and Analytics, heavily involved in our
22 avoided cost IRPs. Yeah. You would absolutely -- I
23 mean, what you're really looking at is if you're not
24 going to get full energy output for various reasons, it

1 could be, you know, soilage, degradation, snow cover,
2 cloud cover, you need to use it to curtail because you
3 start getting a lot of solar on the system and you have
4 these LROL issues.

5 If you're paying a fixed capacity payment on
6 one hand that assumes you're getting full output as
7 though it's capacity, but then only getting, let's say,
8 70 or 80 percent of that in the energy that was used to
9 derive the fix capacity payment, you're, in essence,
10 overpaying the avoided cost value that you assumed when
11 you established that fixed payment. So for 20 years you
12 live with that fixed payment, irrespective of the output,
13 and how the output of that unit performs is subject to so
14 many factors that were listed in these presentations,
15 that you're then going to have to sit and try and
16 litigate for the next 20 years as to was this a natural
17 occurrence that the customer should bear or was this the
18 market participants' issue that they should bear. And so
19 you can spend the next 20 years litigating that or you
20 can just pay for the megawatt hours you get.

21 And, you know, I think it's important to note
22 that that's -- the structure in Tranche 1 does that, and
23 I think Tranche 2 it's the way we're providing as well.
24 We're also going to even more granular avoided cost. If

1 you think about the direction I heard this morning from
2 the previous Order out of the Commission, it's let's get
3 more granular. Let's not have three price buckets.
4 Let's have more granular price buckets. Now we're going
5 to go backwards. We're going to have a single price
6 bucket, and it's not even a price bucket per megawatt
7 hour. It's just pay me \$1.00 per month whether I deliver
8 or not.

9 That just, as Dave pointed out, pushes all that
10 risk to the consumers for a two-decade period. We just
11 don't think that that's a good risk/reward balance or the
12 direction that, you know, the Commission established in
13 148 that the parties talked to today about getting more
14 granular.

15 MR. MCDOWELL: I think that's all the questions
16 I have.

17 MR. BREDDER: Speak to that last -- last point.
18 Just to -- to be clear, we're not saying you get paid no
19 matter what you do. There's adjustments that occur, so
20 that -- and this is done, you know -- you know, across
21 the board. I mean, if you look at every thermal plant,
22 how it's contracted historically, you have an energy
23 payment and a capacity payment. Solar is actually the
24 outlier that we move to this pure energy payment

1 structure, and that's just simply because there's no fuel
2 cost, so it -- it moved that direction.

3 But, you know, what we're suggesting here is no
4 different than any PPA that utilities all over the
5 country have been executing for many, many years with a
6 capacity and energy payment. And then obviously, you
7 know, criteria that holds you, that you've got the
8 capability to do what you said you were going to do.

9 MR. WHITE: And, again, this is Andy White with
10 First Solar. And I would also kind of redirect or -- or
11 sort of recharacterize or -- or correct the
12 characterization of -- of the PPA structure that was
13 before by -- by Mr. Snider, where, you know, if there are
14 certain -- certain circumstances that cause the facility
15 to -- to degrade as -- as not expected or -- or there are
16 certain -- certain soilage, et cetera, that's where we're
17 proposing to shift from an energy only model to that
18 where -- where the accuracy of the output and the
19 availability is key here and measuring the -- the
20 availability of the facility. And we've included a
21 number of -- number of metrics to make sure that -- that
22 the pure measure of the -- of the facility is not its
23 ability just to -- to put energy on the system, but its
24 -- but its true capacity.

1 And so there is -- there is both a measure of
2 the theoretical energy output of the facility and also a
3 mechanism by which the Utility can true that up on the
4 Utility's demand at certain points, I think, with two or
5 three days' notice as called for in the PPA. So I -- I
6 would take -- I would kind of recharacterize how you --
7 how you put forward the -- the PPA as -- as having these
8 -- these certain scenarios that would result in a lesser
9 degree of output from the facility that would then be,
10 you know, imputed upon the -- the consumer. We -- we
11 have included those provisions to account for -- prep for
12 that and allow for the Utility to -- to call on the IPP
13 to be able to -- to make sure that, you know, we're
14 delivering as required by the contract.

15 MR. SNIDER: So, you know, we've structured
16 deals like this for, you know, a lot of years with gas,
17 but you're not trying to differentiate there. It's --
18 it's the same issue that -- that we talked about earlier.
19 It's a known quantity, and so you measure commercial
20 availability based on 200 -- let's say a 200 MW CT, they
21 guarantee you 200 MW 24/7, with a small window for
22 maintenance outages. You then measure commercial
23 availability and say did you earn that capacity payment.
24 You're not trying to delineate with that CT, well, how

1 much of the CT wasn't there due to cloud cover versus
2 maintenance, how much was soilage versus maintenance, how
3 much was degradation, how much was this, was that? It is
4 simply you're commercially available and dispatchable
5 with a known quantity. That's why it's called a capacity
6 payment, because you're there with a known quantity.

7 No matter how many controls you put on a solar
8 facility, it's still an intermittent facility. We'll see
9 one day 500 MW on the system, the next day 2,000. That's
10 not capacity. That's non-firm energy. And it has value.
11 I mean, non-firm energy, that's why we have an avoided
12 cost that specifies the value of non-firm energy, but it
13 is not a capacity dispatchable resource that you can
14 depend upon for AGC because if I need 2,000 MW tomorrow
15 and it's going to be cloudy, I'm only going to get 500
16 MW, and so that's very different than 2,000 MW of CT
17 where I'm paying a fixed price because they're
18 guaranteeing me 2,000.

19 So what this contract does do is it says, yeah,
20 if we don't -- if our panels break or something, we'll
21 fix them, and that outage is on us. But you're having to
22 delineate was it -- did you have, you know, 30 of your
23 panels out or was it just cloudy, and then we're going to
24 do a theoretical calculation to try and figure out what

1 was panel performance versus what was cloud cover to see
2 what portion of that fixed payment you got, and we're
3 going to do that for 20 years. That's a -- you know, I
4 structured deals for 10 years prior to being in the IRP,
5 you know, group, and I've never seen a non-firm energy
6 product in my 10 years of doing that receive a fixed
7 monthly capacity payment. So to say this is standard is
8 comparing apples and oranges.

9 COMMISSIONER BROWN-BLAND: What -- what do you
10 say, Mr. Snider, to the, you know, the must take versus
11 the flexibility? Is it -- is there not a savings or a
12 benefit?

13 MR. SNIDER: No. I think what's really
14 important for the Commission to understand when you start
15 looking at the studies, I'll take a little dispute with
16 it actually provides more value. All these high levels
17 of penetration is what causes the need for the additional
18 ancillaries. So if I didn't first have the need, I
19 wouldn't need the AGC to help control it. So what we're
20 saying is at high, high, high levels, 15, 20 percent,
21 you're going to need to have active control just to be
22 able to have a stable system. But it would have been
23 cheaper, from a systems operations perspective, not to
24 have all that intermittency in the first place, so you

1 are helping to mitigate the intermittency?

2 It's not a solution that is better -- you know,
3 even though they can respond faster, you're creating the
4 issue in the first place that you then have to solve.
5 And, yes, it does mitigate it. And it's important to
6 note that we can do it today. We're not limited to 5 or
7 10 percent in these contracts. I want to be very clear.
8 It's just we have to pay customers, if we go to 12
9 percent, have to pay for that extra 2 percent. Well, in
10 this example they're paying for it -- whether you use it
11 or not, you're paying a fixed capacity payment that would
12 include a value stream for that. We can do that today
13 under the existing contracts. We can curtail 15 percent
14 of the time. We just compensate the extra 5 percent.
15 That gets you to the same place you are with the fixed
16 energy payment without all of these theoretical
17 calculations for 20 years.

18 And it also sends, you know, these much more
19 discrete price signals to say here's when, you know,
20 capacity and energy have different price values. And
21 we're going to get a lot into that, I'm sure, in the --
22 in the 158 proceeding, but we've gone from three price
23 periods to nine under the Stipulation to -- to provide,
24 you know, a very specific, more granular price signal.

1 This is two big steps in the opposite direction where it
2 doesn't matter when in the day you produce because you're
3 just getting a fixed payment.

4 So if we have nine price buckets and you say
5 you're going to produce in the most high period hours
6 because you're going to figure some way, well, now I've
7 got to contractually figure out how to guarantee not only
8 total energy, but you need this much in this bucket, this
9 much in this, and this much in this, whereas, if we just
10 price avoided cost that way, you're delivering those
11 hours, you get paid high dollars in the high hours, less
12 dollars in the lower value hours, and you're right at
13 your, you know, your avoided cost. And now we're going
14 to try and contractually, you know, engineer that in, you
15 know, hundreds of pages of contract that you've got to
16 live with for 20 years. It just does not seem -- I've
17 never seen it on a non-firm energy resource be a
18 successful way to contract.

19 COMMISSIONER BROWN-BLAND: All right. Does
20 Commission Staff have questions?

21 MR. BUFFKIN: I do.

22 COMMISSIONER BROWN-BLAND: Be mindful of the
23 time, please.

24 MR. BUFFKIN: Yes, ma'am. So you all, First

1 Solar, were in the room earlier when we were talking
2 about the energy storage protocol and I asked for the
3 folks here to offer some views on what exactly the
4 hallmarks are of commercial reasonableness, and you all
5 argue that your PPA is reasonable and complies with House
6 Bill 589 so you didn't weigh in at that time. Do you
7 have any thoughts on what -- what the Commission should
8 look for to determine whether a proposal is reasonable?

9 MR. BREDDER: Reasonable with respect to
10 storage or...

11 MR. BUFFKIN: No. Whether it ought to be
12 approved. We heard things like -- like Duke suggested do
13 other utilities do it, is it accepted in the marketplace,
14 was it successful in -- was it accepted in Tranche 1?
15 These were some of the factors that these folks suggested
16 that the Commission weigh in determining whether or not
17 this is a reasonable proposal. Did they leave anything
18 out? Do you agree? What's -- what's the standard we
19 should be applying here?

20 MR. BREDDER: For overall just reasonableness
21 of contract. I'm sorry.

22 MR. BUFFKIN: Uh-huh. That's right.

23 MR. BREDDER: Yeah. I think you -- you know,
24 there's obviously -- you've got to look at the whole set

1 of facts of -- of, you know, is it producing the lowest
2 cost result for the -- for the consumer, you know, the
3 environmental aspects of is it, you know, providing, you
4 know, benefits on -- on that end? You know, I think
5 those are...

6 MR. BUFFKIN: Okay. Those in addition to the
7 other things we discussed earlier?

8 MR. BREDDER: Yes.

9 MR. BUFFKIN: Thank you. I understood your
10 argument about the dispatchable PPA being consistent with
11 62-110.8(b), the provision that requires providing the
12 Utility the right to dispatch and control the facility.
13 What about the other goals of the CPRE statute, for
14 example, cost effectiveness, diversification of the
15 location and distributed resources, and reliably meeting
16 the needs of the electric consumers?

17 MR. BREDDER: Yeah. I think, you know,
18 locationally it should not, you know, really change what
19 happens. That's kind of a neutral. But, you know, with
20 the other aspects I think it has a positive, you know,
21 impact on -- on those.

22 MR. BUFFKIN: All right. And might there be
23 periods of time -- under this dispatchable PPA, might
24 there be periods of time when the Utility has to pay you

1 all a pay -- excuse me -- pay the renewable generator in
2 the absence of any energy being delivered to the Utility?

3 MR. BREDDER: Yeah. I mean, that's the whole
4 point of making it dispatchable. Now, the reality is
5 solar is the cheapest resource on the system, so a lot of
6 this is theoretical, that you really shouldn't be needing
7 to curtail. Really, kind of the irony of the -- the --
8 the TECO study is by having the flexibility, you actually
9 use it less. It's just inherently knowing that you've
10 got that capability that you use it.

11 In terms of operationally, I think what the
12 TECO study showed is these solar assets were, in fact,
13 not getting curtailed, so, you know, a lot of the
14 concerns around all these calculations, you know, those
15 are really on the margin that they need to -- need to
16 happen. The most part of the energy is just going to be
17 called on, you know, whenever it's available.

18 MR. BUFFKIN: Okay. So I think you said, yes,
19 there's time periods when the Utility is going to pay the
20 renewable generator even though energy isn't delivered.

21 MR. BREDDER: Right, which would be --

22 MR. BUFFKIN: Is that consistent with House
23 Bill 589?

24 MR. BREDDER: You know, I -- I -- what I'd say

1 is it's consistent with any other asset that gets rate
2 based, right, that -- that, you know, when a plant gets
3 added to the system, you have a peaker. The peaker
4 probably is only going to, you know, see, depending on
5 the, you know, the -- the load scenario, maybe 40 or 50
6 percent load.

7 MR. WHITE: And, also, to -- to add -- again,
8 this is Andy White with First Solar. One of the -- you
9 know, not -- not to lose sight of -- of one of the key
10 elements of what I would contend of -- of 589's
11 legislative directive was that the -- that the renewable
12 assets could be operated as though they were owned by --
13 by the Utility themselves and to the highest degree of
14 operational flexibility that could be afforded to the
15 Utility, and -- and that's specifically called out in the
16 legislation. I think that that's a key component of --
17 of sort of evaluating the -- the effectiveness of -- of
18 the -- of a PPA, as you suggest, you know, some of the
19 various metrics.

20 I would also include, because it goes back to
21 your prior question as well, where it's -- evaluating
22 where it's also deployed, I would -- would recognize we
23 did point out some examples as to where this type of
24 contracting model is in place elsewhere in the US, so

1 this would not be a wholly new concept overall in terms
2 of US energy policy here. We have -- we have seen it --
3 this deployed in Hawaii, for example, as well to a
4 different, but a similar -- similar means in Nevada as
5 well.

6 MR. BUFFKIN: So let's talk about that a little
7 bit. Are there practical differences with how the
8 electric system is operated in Hawaii and -- and in some
9 of those other places that were in organized markets that
10 the Commission should -- should the Commission take that
11 into consideration in reviewing this dispatchable PPA?

12 MR. BREDDER: Each -- each market has to be
13 analyzed, you know, given its distinct characteristics.
14 You know, Hawaii has obviously an island or several
15 islands, as -- as was pointed out, has some unique
16 challenges to it. I think what we can do is we can learn
17 from some of the jurisdictions, you know, like
18 California, that have had much higher levels of solar
19 penetration in trying to get ready for what's going to
20 happen next because, you know, to the point of you can
21 say, okay, let's wait until we get to that point when
22 we've got, you know, 15 or 20 percent energy, you know,
23 penetration of -- of renewables on our system before,
24 then we've got to do something. It's really hard to play

1 catchup.

2 It's -- it's much better to jump in early on
3 and lay the foundation so you have a robust flexibility
4 that, you know, as you move up to those levels, which
5 inherently I think we will, whether through the flexible
6 solar storage getting added, our system is moving
7 directionally, that it's going to be 25, it's going to be
8 50 percent renewable, a lot of the challenges I know you
9 guys are going to have to deal with, you're pointing up,
10 you know, are the reality of -- of where the economics
11 are going to drive utility systems over the next, you
12 know, 10, 15 years.

13 MR. BUFFKIN: Okay. So Duke says it's unclear
14 if First Solar's proposal addresses solar plus storage.
15 Can you help me clarify that? Does -- this dispatchable
16 PPA could be used in the absence of storage with a solar
17 PV facility only, or with solar PV plus storage only, or
18 both?

19 MR. BREDDER: Yeah. You can -- you can work in
20 the same concepts that -- in the -- in the mark-up we
21 provided it was really just marking up the PV only
22 contract, but the same concepts, and to some extent more
23 so, work with storage where we've seen a number of
24 jurisdictions go to a capacity payment for storage,

1 because inherently on storage, once again, over the next
2 20, 30 years where that peak load moves and all that,
3 it's going to change around.

4 If it's a capacity payment, the Utility can use
5 that asset and that storage capability to precisely match
6 what they need as opposed to in Arizona they went with an
7 approach that was a targeted payment structure. You got
8 paid a bunch more money if you provided power in certain
9 periods of time. And, you know, it's an elegant solution
10 because it -- it tells people exactly what problem
11 they're trying to solve, but the problem they're trying
12 to solve today might be a different problem 10 years from
13 now, and the system has been designed so that it only
14 prices up power in certain periods when the Utility may
15 be saying, oh, that's not the right period I'm solving
16 for anymore. They've got to go renegotiate that contract
17 if that happens.

18 MR. BUFFKIN: Okay. Now, I've -- I've got your
19 mark-up here in front of me, and it looks like you did
20 not update Exhibit 10, the energy storage protocol.

21 MR. BREDDER: We did not. We really wanted to
22 use this to get the conversation going on this topic and,
23 you know, given, you know, given the complexity of -- of
24 introducing, we thought that the first place to start was

1 to just mark up the, you know, the contract itself and --
2 and kind of show what sorts of changes would be needed to
3 be made.

4 MR. BUFFKIN: That being the case, if the
5 Commission wanted to approve this contract, could it do
6 that since it's essentially incomplete?

7 MR. BREDDER: I -- I think there would need to
8 be some, you know, review and discussion among the
9 parties and, you know, it's -- it's -- it's basically,
10 you know, it's -- it's -- it's a beta in terms of, you
11 know, introducing the concept of what it would look like.
12 And I would think that folks would want to, as you say,
13 include storage and -- and -- and give it a similar, you
14 know, treatment.

15 MR. BUFFKIN: Final question, do you agree with
16 the characterization that the dispatchable PPA shifts
17 risk from the independent power producer to the Utility's
18 customers?

19 MR. BREDDER: No. You know, I think it comes
20 down to putting the right checks and balances in the
21 contract structure so that the, you know, owner/operator
22 is being held to the same, you know, level standard that
23 you -- you'd expect to perform or be able to perform. We
24 do all these things inherently in our plants because we

1 need to model 8760s. We need to know how much energy we
2 have. We need to understand degradation. All these
3 things, we have plant models and systems that -- that we
4 already do.

5 So, you know, is it complex? I take the point,
6 absolutely, there's -- there's more complexity, but in
7 our view, the long-term benefits of doing it outweigh
8 taking on the brain damage right now to -- to put those
9 provisions in place that create the right checks and
10 balances.

11 MR. BUFFKIN: Thank you.

12 COMMISSIONER BROWN-BLAND: Commissioner
13 Mitchell?

14 COMMISSIONER MITCHELL: Has the Public Staff
15 had an opportunity to review this proposal and develop a
16 position or any recommendations?

17 MR. DODGE: Yes. Thank you, Commissioner
18 Mitchell. So I think we -- we have just had a few
19 discussions about this. We haven't looked deeply. We
20 have met with First Solar on one occasion and walked
21 through this presentation, and they answered some
22 questions as well, and it's -- it's been a helpful
23 discussion. I think we do agree that the dispatchable
24 PPA approach proposed by First Solar is arguably more

1 consistent with the language in House 589 in that it does
2 seek to allow the Utility the right to dispatch, own, and
3 control the facility in the same manner as the Utility's
4 own generating resources.

5 It's not just comparing it to the Utility's own
6 solar generating resources, but the Utility's other
7 resources, maybe, you know, peaker plants or other things
8 that the -- the Utility would be receiving certain types
9 of benefits from. And so I think we think that that
10 aspect of it has merit.

11 It does require a high level of coordination,
12 though, between the Utilities. We've heard about some of
13 the -- the coordination, both -- some technical
14 challenges that -- that may need to be addressed. I know
15 there have been some discussions maybe of -- recently of
16 some attempts to put solar facilities in North Carolina
17 on some type of automatic control system that have maybe
18 not been as successful as hoped, so I think there's some
19 -- I'm not sure if Mr. Roberts or maybe Mr. Metz from --
20 Mr. Metz, if you want to address that.

21 MR. METZ: Good day. Dustin Metz of the Public
22 Staff. As we're meeting with the Company as they host
23 the TRSG meetings, the Technical Review Standards Group,
24 there was general conversations brought in the last TRSG

1 meeting where their company is trying to roll out and
2 incorporate AGC like controls. I wouldn't go as far as
3 AGC. They're more looking at putting on a plant computer
4 on the front-end component and looking at more of an
5 automation system to do dispatch down without the need of
6 picking up the telephone call.

7 Some of the conversations that were at least
8 echoed through the TRSG meeting, that the Utility, even
9 though it's in its infant stage, are having some
10 difficulties in incorporating that technology. Most
11 notably, I think one of them was dealing with multiple
12 inverters. As we roll forward, as you have a
13 communication protocol going to different inverters,
14 well, the Utility has to have -- maintain their
15 cybersecurity, so they have to go through their buffer
16 programs, but when you look at deployed across the fleet,
17 well, every plant controller has to talk to a different
18 inverter manufacturer. Some of them are just different
19 communication protocols. And that creates unique
20 challenges.

21 MR. ROBERTS: May I make a statement?

22 COMMISSIONER BROWN-BLAND: Just a minute. Mr.
23 Metz, what kind of meeting was that you were saying?
24 Could you spell it out?

1 MR. METZ: Technical -- Technical Review
2 Standards Group, as we talked about in the NCIP
3 proceeding. I believe Mr. Williamson had testified on
4 that, that basically it's a stakeholder group that Duke
5 Energy hosts about every quarter, and we bring up general
6 topics at it at an engineering level. No lawyers
7 allowed.

8 COMMISSIONER BROWN-BLAND: All right.

9 MR. METZ: Just trying to work through the
10 system.

11 COMMISSIONER BROWN-BLAND: Mr. Dodge, were you
12 complete with -- with that answer to Commissioner
13 Mitchell's question?

14 MR. DODGE: I -- I had a few other points, but
15 I didn't know if Mr. -- if you wanted to let Mr. Roberts
16 address the question of these recent discussion or...

17 COMMISSIONER BROWN-BLAND: Mr. Roberts, you
18 want to go now or you want to hear the rest of what Mr.
19 Dodge has to say?

20 MR. ROBERTS: I'll go ahead and make a
21 statement for the record.

22 COMMISSIONER BROWN-BLAND: All right. Go
23 ahead.

24 MR. ROBERTS: Sammy Roberts, Duke Energy. So I

1 just wanted to make a statement that we haven't seen the
2 need to put DEP on solar on a AGC-like control, so -- I
3 mean, one thing that concerns me from an operational
4 perspective is if you issue automated dispatch down, and
5 then you want to -- you need it to come back up to full
6 power or cloud cover has come over, you're not -- it's
7 not truly a dispatchable resource, so just wanted to make
8 that statement for the record.

9 COMMISSIONER BROWN-BLAND: All right. Mr.
10 Dodge.

11 MR. DODGE: And -- and I would just agree with
12 Mr. Roberts in that it's not what I would consider a -- a
13 dispatchable resource. I -- I think part of this model
14 is kind of just maintaining it in some steady kind of
15 strategic curtailment, whether -- and building in some
16 foot room or head room that allows the -- the system to
17 operate in a more flexible fashion. It certainly does, I
18 think, have the potential to provide flexibility.

19 From a consumer protection perspective, I think
20 we wanted to also make a point that, you know, there's
21 talk about shifting risk because it provides rate
22 certainty, revenue certainty to the project developer,
23 but it -- and may shift some of that to customers, so we
24 certainly have an interest in ensuring that the system,

1 once -- if the Utilities and the project developer were
2 to agree to a dispatchable PPA along these lines, that
3 the system does then end up operating in the most cost
4 effective fashion and that it's operating in the way that
5 it was designed to when it was selected through the
6 process.

7 So there are some -- you know, there may be
8 some incentive for the -- reduced incentive for that
9 system to operate as efficiently as might be provided
10 through a -- kind of a must-take PPA paid on a per
11 megawatt hour basis. And so while there are performance
12 metrics that are included in there, going back and doing
13 some of that analysis from the, you know, theoretical
14 output to the actual production does require a lot of
15 coordination.

16 So I think there's a lot of -- I mean, it has
17 some merit, but there's some -- some aspects of it that I
18 think need to be further evaluated and fleshed out, you
19 know, where in terms of if the Commission were to
20 consider moving forward with something along the lines of
21 a dispatchable PPA model like this, maybe -- it may make
22 sense to do it on a more limited scale. So whether
23 that's through some kind of pilot or some smaller carve-
24 out or something from the CPRE process to allocate some

1 portion and -- and take a look at how that performs
2 relative to a must-take PPA.

3 I know -- we spoke to the Independent
4 Administrator about this model as well, and there may be,
5 you know, may -- it's hard -- it may be harder to compare
6 different kinds of models or different kinds of PPAs.
7 You know, if you start having multiple pro forma PPAs,
8 that you -- you're not -- you're not providing quite as
9 simple a process.

10 So those are our main -- main points that we
11 wanted to address.

12 COMMISSIONER BROWN-BLAND: Limited in scale and
13 limited in length of the contract?

14 MR. DODGE: Well, if it's -- if it's under
15 CPRE, it would be a 20 -- 20-year term, so if it's under
16 that purpose. If it's under some other than -- you know,
17 outside of CPRE, then a different term may be evaluated.

18 COMMISSIONER BROWN-BLAND: All right.
19 Commissioner Mitchell? No more? Commissioner
20 Clodfelter.

21 COMMISSIONER CLODFELTER: Thank you. Mr.
22 Dodge's comments and remarks saved me a lot of Q and A,
23 so thank you for that. So I just have a couple -- couple
24 things in there. Because of your helpful comments, most

1 of what I got are comments rather than questions, but I
2 -- I want to ask the First Solar folks, it strikes me
3 that -- and I understand you, that you think this is --
4 the value proposition works here for solar without
5 storage, but it strikes me that an awful lot of the
6 system benefits value comes if this is applied to solar
7 plus storage, that the value proposition is much, much
8 greater on a system basis. Would you agree with that?

9 MR. BREDDER: Yeah. I think our -- our view is
10 there is value --

11 COMMISSIONER CLODFELTER: It -- it works
12 without storage, but -- but would you agree with me that
13 if -- if this is applied, this concept is applied to
14 solar plus storage, the value -- system values are much,
15 much greater?

16 MR. BREDDER: That ultimately it -- I guess the
17 way I'd phrase it is I think it -- it -- first of all,
18 forestalls when you need storage --

19 COMMISSIONER CLODFELTER: Right.

20 MR. BREDDER: -- but ultimately when you get to
21 storage --

22 COMMISSIONER CLODFELTER: Right.

23 MR. BREDDER: -- it absolutely becomes a -- a
24 much better solution than without having a capacity based

1 alternative.

2 COMMISSIONER CLODFELTER: All right. The last
3 thing is a couple of observations, and -- and just
4 really, I'm not sure that for some of the practical
5 reasons that the parties have discussed we're quite ready
6 for full rollout of this or full adoption of this. Maybe
7 what Mr. Dodge suggests is -- is something the Commission
8 can discuss and consider. But -- but I want to make a
9 couple of observations.

10 The CPRE statute is a capacity procurement
11 program. It is not an energy purchase program. There
12 are some compensation structures in here that are keyed
13 off of the amount of energy delivered, but it is not a
14 program for the purchase of must-take energy. It is a
15 purchase of capacity. So what First Solar is proposing
16 here is a compensation structure that recognizes that
17 that's what you're buying. That's exactly what you are
18 buying. That's what the Legislature has directed you to
19 buy is to buy capacity, and they've given you three ways
20 to buy.

21 They've said you can buy it from -- the
22 facility for somebody -- from somebody else. If you do
23 that, you've got an all-in total acquisition cost. And
24 then you allocate that out, you see how much per megawatt

1 it costs you to acquire the capacity you've bought.
2 That's essentially the concept here. That's functionally
3 the concept here. The difference is you won't own the
4 facility under their models; a third party owns it.

5 Now, I -- I hear you about the complexities
6 that creates about the owner of the asset is not you, and
7 that does create some complexity. But conceptually what
8 they're talking about is exactly what's provided in
9 (b)(1). You build -- you buy your own -- you buy a
10 facility that somebody else has built, and then you have
11 all the same risks about the energy output from that
12 facility that you have in your own facility. That --
13 that strikes me as -- as not an -- not an issue here.

14 Same is true with the second methodology, is
15 you can build your own facility, then you own it and
16 operate it and you've got the same risks about energy
17 availability. What's the energy output of that facility
18 going to be? And you've got to manage it. It's the same
19 concept as exactly what they're talking about. And so it
20 strikes me that, conceptually, what these guys are
21 talking about may be a closer fit to 589 than an energy-
22 based PPA product.

23 Now, we've got energy-based PPA products in
24 here. That's allowed. That's the third option, right?

1 I get it. But it's -- one of the things in listening to
2 this discussion that struck me as really curious is that
3 if you go out and build the solar facility, own it and
4 operate it, there is no cost cap in the statute. Isn't
5 that interesting? If you buy the facility from somebody
6 else, there is no cost cap in the statute. The only cost
7 cap that applies -- the only time avoided cost comes in
8 is if you're buying the energy and capacity from a third-
9 party owner, the third branch.

10 So, you know, I want to come back and put some
11 context on this, is I think what these guys are -- are
12 suggesting here really is worth exploring because it
13 actually fits the statute a lot better. It fits the
14 statute a lot better.

15 Now, practically, I don't think you can -- I --
16 I don't think -- I mean, we're probably not there
17 practically to do what they'd say, you know, across the
18 board, but they're not so far off. They're not so far
19 off. That's -- that's my observations.

20 COMMISSIONER BROWN-BLAND: The Commissioner
21 made a -- made a comment and gave his view. Does -- does
22 Duke want to respond at this time?

23 COMMISSIONER CLODFELTER: Something to think
24 about.

1 MR. JIRAK: Yeah. Interesting -- interesting
2 thoughts, and getting the perspective, I think a couple
3 of points I make is the projected avoided costs we use
4 have a capacity value in the years in which there's a
5 capacity need, and we purchase under the -- under the --
6 the Power -- the PPA we are purchasing all of the energy
7 and the capacity; it's just priced on an energy basis.
8 So I -- I -- it's sort of -- it's sort of nomenclature in
9 some respects, but we -- we are acquiring all the
10 capacity to the CPRE resources, but the way in which
11 payment is tied to is it includ--- the avoided cost
12 includes the capacity value --

13 COMMISSIONER CLODFELTER: Absolutely.

14 MR. JIRAK: -- where we have a capacity need.

15 COMMISSIONER CLODFELTER: Absolutely. And so
16 if you -- if you did what these guys are suggesting,
17 you'd take that capacity that you bought and you'd pay it
18 out over a 20-year period in fixed monthly installments,
19 but you'd aggregate it and you'd derive a present value
20 for what -- the capacity you bought. You'd do the same
21 thing if you built the facility. You'd take your all-in
22 cost and you sort of calculate what's the per megawatt
23 cost to us of that. So it -- it's really not
24 functionally very different, not -- not at all.

1 MR. JIRAK: Yeah. Yeah. I understand the
2 perspective.

3 COMMISSIONER BROWN-BLAND: All right. If I
4 don't hear anything else, I think we've come towards the
5 end. All right. I -- I apologize that we had to take
6 shorter breaks and shorter lunch than we normally do, but
7 we had a goal. Seems like we've met it. I was a little
8 apprehensive about this proceeding, but I found it very
9 helpful, and I hope you have, too. Everyone is still
10 learning. You know, we started out with a beta. We're
11 still trying to develop this, but -- and perhaps that is
12 the reason folks have been a little reticent to come out
13 with absolute statements or -- or deal with each other,
14 but the Commission would encourage you to be open in your
15 communications with each other. I think we witnessed
16 some of that here today, and I think that it's made a
17 difference.

18 In the beginning, in particular, there were a
19 number of requests for information or volunteer to follow
20 up. Looking for my note here. I would ask that you
21 follow up and make filings with that additional
22 information within seven days of today, if you're able
23 to. If not, let us know, but I think that will be a
24 reasonable time frame.

STATE OF NORTH CAROLINA

COUNTY OF WAKE

C E R T I F I C A T E

I, Linda S. Garrett, Notary Public/Court Reporter, do hereby certify that the foregoing hearing before the North Carolina Utilities Commission in Docket Nos. E-2, Sub 1159 and E-7, Sub 1156, was taken and transcribed under my supervision; and that the foregoing pages constitute a true and accurate transcript of said Hearing.

I do further certify that I am not of counsel for, or in the employment of either of the parties to this action, nor am I interested in the results of this action.

IN WITNESS WHEREOF, I have hereunto subscribed my name this 9th day of June, 2019.

Linda S. Garrett

Linda S. Garrett
Notary Public No. 19971700150