

1 PLACE: Dobbs Building, Raleigh, North Carolina
2 DATE: Tuesday, April 19, 2022
3 TIME: 2:30 p.m. - 3:46 p.m.
4 DOCKET NO: M-100, Sub 163
5 BEFORE: Chair Charlotte A. Mitchell, Presiding
6 Commissioner ToNola D. Brown-Bland
7 Commissioner Lyons Gray
8 Commissioner Daniel G. Clodfelter
9 Commissioner Kimberly W. Duffley
10 Commissioner Jeffrey A. Hughes
11 Commissioner Floyd B. McKissick, Jr.
12
13

14 IN THE MATTER OF:

15 Investigation Regarding the Ability of North
16 Carolina's Electricity, Natural Gas, and
17 Water/Wastewater Systems to Operate Reliably
18 During Extreme Cold Weather
19

20 VOLUME 2
21
22
23
24

NORTH CAROLINA UTILITIES COMMISSION

1 A P P E A R A N C E S:

2 FOR DOMINION ENERGY NORTH CAROLINA:

3 Mary Lynne Grigg, Esq.

4 Lauren Wood Biskie, Esq.

5

6 FOR DUKE ENERGY CAROLINAS, LLC, AND

7 DUKE ENERGY PROGRESS, LLC:

8 Jack Jirak, Esq.

9 Jason Higginbotham, Esq.

10

11 FOR PIEDMONT NATURAL GAS COMPANY, INC.:

12 Jim Jeffries, Esq.

13

14 FOR FRONTIER NATURAL GAS COMPANY:

15 Jim Jeffries, Esq.

16

17 FOR PUBLIC SERVICE COMPANY OF NORTH CAROLINA, INC.:

18 Mary Lynne Grigg, Esq.

19

20 FOR PUBLIC STAFF:

21 Lucy Edmondson, Esq.

22 John Little, Esq.

23

24

NORTH CAROLINA UTILITIES COMMISSION

1 P R E S E N T E R S:

2 FOR DOMINION ENERGY NORTH CAROLINA:

3 Jacqueline Vitello - Director of Power Generation

4 J. Scott Gaskill - General Manager of Regulatory

5 Affairs

6 Mike Barmer - Manager of Electric Transmission

7 System Operations Planning

8 Wesley Walker - Senior Assistant General Counsel

9 Chris Dibble - Director of Power Generation

10 Operations

11

12 FOR DUKE ENERGY CAROLINAS, LLC, AND

13 DUKE ENERGY PROGRESS, LLC:

14 Sammy Roberts - General Manager, Planning and

15 Operations Strategy

16 Joe McAllister - Managing Director of System

17 Optimization

18

19 FOR FRONTIER NATURAL GAS COMPANY:

20 Fred Steele - President

21 Taylor Younger - Regulatory Compliance Manager

22

23

24

NORTH CAROLINA UTILITIES COMMISSION

1 P R E S E N T E R S Cont'd.:
2 FOR PIEDMONT NATURAL GAS COMPANY, INC.:
3 Bruce Barkley - Vice President, Rates and Gas Supply
4 Adam Long - Vice President, Gas Pipeline Operations
5 Neil Moser - Director, Gas Engineering & Asset
6 Planning
7 Jeff Patton - Manager, Gas Pipeline Services
8 Sarah Stabley - Managing Director, Gas Supply
9 Optimizations & Pipeline Services
10
11 FOR PUBLIC SERVICE COMPANY OF NORTH CAROLINA, INC.:
12 Bill Raynor - Manager, Engineering Projects
13 Scott Swindler - Director, Gas Operations
14 Rose Jackson - Director, Gas Supply Services
15
16 FOR PUBLIC STAFF:
17 Jordan Nader - Engineer, Energy Division, Natural
18 Gas Section
19 Dustin Metz - Engineer, Energy Division, Electric
20 Section
21 Bob Hinton, Director, Economic Research
22
23
24

1 P R O C E E D I N G S

2 CHAIR MITCHELL: Let's come to order and
3 go on the record, please, ma'am. We've got PSNC on
4 the stand. So would you-all please introduce
5 yourselves for the record.

6 MS. JACKSON: Hi, good afternoon. I'm
7 Rose Jackson, Director of Gas Supply on behalf of
8 PSNC.

9 MR. SWINDLER: I am Scott Swindler. I'm
10 Director of Gas Operations for DENC.

11 MR. RAYNOR: Hey, good afternoon. My name
12 is Bill Raynor, I'm the Manager of Engineering
13 Projects and I'm responsible for our LNG plant in
14 Cary, North Carolina.

15 MS. JACKSON: Good afternoon, Chair
16 Mitchell and Commissioners. During February of
17 2021, Texas experienced an unprecedented winter
18 weather event. North Carolina had previously
19 experienced Polar Vortex events in January of 2014,
20 February of 2015, and January of 2018. As a result
21 of these extreme winter weather conditions in North
22 Carolina, Public Service Company of North Carolina,
23 Inc., d/b/a Dominion Energy North Carolina or PSNC
24 had implemented many of the recommendations of the

NORTH CAROLINA UTILITIES COMMISSION

1 FERC and NERC report related to the Texas event.

2 I appreciate an opportunity to present a
3 summary of PSNC's responses in Docket Number M-100,
4 Sub 163, and I'm happy to answer any questions with
5 my colleagues Mr. Bill Raynor and Mr. Scott
6 Swindler. Please feel free to ask questions
7 throughout the presentation.

8 The deregulated environment of Texas
9 incentivizes energy providers to reduce generation
10 and operating costs in order to compete. The
11 regulated environment of North Carolina focuses on
12 reliability which allows utilities to acquire firm
13 capacity to ensure deliverability and emphasizes
14 preventative maintenance.

15 I would also like to identify some
16 distinctions, obvious as they are, about natural gas
17 utilities versus electric utilities.

18 First, gas utilities do not generate the
19 product we sell with the exception of liquified
20 natural gas or LNG, which removes a lot of the
21 winter prep gas utilities are required to do when
22 compared to electric utilities.

23 Second, virtually all of the delivery
24 infrastructure of gas utilities are underground,

NORTH CAROLINA UTILITIES COMMISSION

1 safe from the freezing rain, wind and ice that can
2 accompany a cold weather event. Although winter
3 preparation is just as important to gas utilities as
4 electric utilities, our presentation will be
5 different from what you've heard from our electric
6 colleagues.

7 And with that, our presentation is up. We
8 did something similar to what our electric
9 colleagues did, we broke down the presentation based
10 on a segment of questions. The first question in
11 the general category was related to changes that
12 PSNC had implemented due to lessons learned from the
13 February 2021 Texas weather event. And as you can
14 see here the plant that we have, the Cary LNG plant
15 is the only plant where we generate the product that
16 we sell.

17 We did in an assessment of our spare parts
18 inventory focusing on temperature sensitive
19 equipment and emergency response equipment. We also
20 evaluated the heat trace equipment and added to our
21 winter preparation -- our winter preparedness
22 inventory, we added valve positioners. And we're
23 also -- we have a consideration of weather factors
24 that were identified as part of that Texas weather

1 event for planned plant improvements.

2 The next section is weather and load
3 forecasting. And there's two different types of --

4 CHAIR MITCHELL: Ms. Jackson, I'm going to
5 stop you because I want to follow up with you on the
6 LNG facility.

7 MS. JACKSON: Okay.

8 CHAIR MITCHELL: So, will you go back one
9 slide, please, ma'am? Can you talk about electric
10 service at that facility?

11 MS. JACKSON: I will defer to my colleague
12 Mr. Raynor.

13 CHAIR MITCHELL: Okay.

14 MR. RAYNOR: I understand we're on a
15 distribution service at that facility, a general
16 service-type service. We do have backup power
17 there; that's an important feature of the plant.

18 CHAIR MITCHELL: Okay. So tell me about
19 that backup generation?

20 MR. RAYNOR: Yes, it is a diesel powered
21 backup generator that supports our critical
22 functions of vaporization and holding.

23 CHAIR MITCHELL: Can you to the extent
24 that you're able to answer this question, what

1 happens to that facility if it loses power?

2 MR. RAYNOR: Well, we would automatically
3 switch to our backup power system, and if we were
4 vaporizing it would probably require a restart of
5 our vaporization process, so it would be suspended
6 for, you know, momentarily until we got our backup
7 power reestablished and checked out all of our
8 equipment and put everything back online.

9 CHAIR MITCHELL: Okay. And the holding
10 tank, I mean, what happens to the material in the
11 holding tank?

12 MR. RAYNOR: That's a great question. Our
13 boil-off compressors are what maintains the pressure
14 coming off the tank and there's a, I'm going to just
15 call it, sponginess that you have some lag time as
16 far as the pressure that you can build in our tank
17 in between. Once -- those boil-off compressors
18 don't have to run continuously. We manage the
19 pressure in a tank within a range so for a brief
20 power interruption there wouldn't be any concern.

21 CHAIR MITCHELL: And can you quantify
22 briefly for me if you can?

23 MR. RAYNOR: As far as the --

24 CHAIR MITCHELL: Power --

1 MR. RAYNOR: Be without power about maybe
2 six hours or so, something like that.

3 CHAIR MITCHELL: Okay. And I assume that
4 the backup generator there is subject to testing
5 protocols?

6 MR. RAYNOR: Yes. We run it weekly. We
7 have quarterly inspections and annual inspections as
8 well.

9 CHAIR MITCHELL: Okay. Thank you.

10 MR. RAYNOR: That's a key part of our
11 operation, yes.

12 CHAIR MITCHELL: Thank you for that.

13 COMMISSIONER McKISSICK: Let me ask a
14 quick follow up to the Chair's questions. When
15 you're going to that backup generation system, I
16 mean, how many hours is it prepared to function,
17 operate until electricity is restored?

18 MR. RAYNOR: We have an 8,000 gallon
19 diesel tank.

20 COMMISSIONER McKISSICK: Okay.

21 MR. RAYNOR: And it sort of depends on the
22 load, I guess, that's on the unit at the time. I
23 would estimate maybe three or four days maybe before
24 we had to refuel --

1 COMMISSIONER McKISSICK: Okay.

2 MR. RAYNOR: -- before we had to refuel.

3 COMMISSIONER McKISSICK: Excellent. That
4 gives me some idea, you know, because I mean by that
5 power -- time, you would expect reasonably
6 anticipated it would be restored. I just didn't
7 know if it was a matter of hours as opposed to a
8 matter of days. And when it is functioning you have
9 full capabilities to do everything you would
10 normally do as if electricity was being provided?

11 MR. RAYNOR: That's a really good subtle
12 point there. We can -- holding mode which would run
13 our boil-off compressors right, which run pretty
14 much year-round.

15 COMMISSIONER McKISSICK: Sure.

16 MR. RAYNOR: Vaporization which is when
17 would we be vaporizing to put gas back on the
18 system. We can run both of those functions with our
19 backup power system. We don't have enough power
20 generation to liquefy.

21 COMMISSIONER McKISSICK: I see. Okay.
22 Well, that certainly clarifies it. Thank you.

23 MS. JACKSON: But during this type of
24 weather event, if I could follow up on that comment,

1 we would typically be vaporizing and not liquefying.

2 MR. RAYNOR: True.

3 MS. JACKSON: Because we would be
4 withdrawing from a tank in order to supply customers
5 rather than injecting gas to prepare for that
6 scenario.

7 COMMISSIONER McKISSICK: Got it. And I
8 think in your response you also talked about adding
9 spare positioner boards for essential control
10 equipment. What do those boards consist of?

11 MR. RAYNOR: I probably should have
12 characterized it better, a valve positioner. One of
13 the things that we observed with the Texas event was
14 that the mechanical failures were largely
15 attributable to frozen equipment.

16 COMMISSIONER McKISSICK: Yes.

17 MR. RAYNOR: So, we just took the few that
18 we were going to look at our plant equipment and
19 what we had in inventory and see if we saw a gap or
20 if we didn't have something that we thought we
21 needed from a past experience, and we identified a
22 valve that has a certain type of positioner on it
23 and moves the valve, that we didn't have any spares
24 in our inventory. So, we made the decision to get

1 that and provide another layer of reliability to our
2 operation. But these are valves that -- this
3 particular valve positioner controls the flow of LNG
4 from our tank, our pump skid, up to the vaporizers
5 which push the gas out into the system. So, others
6 are in critical pieces of --

7 COMMISSIONER McKISSICK: Pieces of
8 components. I see. That helps a lot as well.
9 Thank you.

10 MR. RAYNOR: You're welcome.

11 MS. JACKSON: The next section of
12 questions was related to weather and load
13 forecasting. The Company performs two types of
14 forecasting. The first one is our long-term
15 forecasting, and you're probably most familiar with
16 that, because in preparation for our annual prudence
17 filing we work with our resource planning group that
18 evaluates the weather all the way up into this last
19 winter system. They use a statistical modeling
20 program that estimates our design day demand, which
21 is going to be the amount of our demand on the
22 coldest scenario. So, we go back and look at the 70
23 years of weather history that we have, we use the
24 heating degree days from the coldest day that has

1 occurred on the system and we apply those heating
2 degree days to the current mix of customers that we
3 have on the system.

4 That long-term forecast evaluates what our
5 firm customer need is. We do not forecast for
6 interruptible load because we're not required to
7 serve that load. And so the result of the long-term
8 forecast, we take that and we compare it to our
9 asset stack to evaluate what our reserve margin is
10 going to be and if we need to go out and find
11 additional assets to meet that demand.

12 So, typically when we make our filing on
13 an annual basis, we're looking out five years but
14 the actual model itself goes out further than that.
15 We evaluate 10-years because as you're well aware of
16 in the past we could say three to five years is the
17 timeline for new pipeline capacity now that's seven
18 plus, and the timeline associated with any new
19 projects is very uncertain.

20 So, we use that, that long-term
21 forecasting to handle what type of assets we may
22 need in the future and also to evaluate our system
23 planning for our distribution system.

24 Where did we see the growth on our system?

1 What geographic areas we're going to see that growth
2 in? So, our gas supply team that I manage along
3 with the engineering and operations team works
4 together to identify where our future needs are
5 going to be.

6 Now, with regard to the short-term
7 forecasting, the Company does not forecast weather.
8 As you have heard from our electric colleagues, we
9 do not handle our own weather forecast. We don't
10 have a meteorologist assigned to us. We rely on
11 third-party services. Primarily, DTN is our weather
12 provider and what happens is we get forecasts in
13 from DTN twice a day. Our gas control group takes
14 that and forecasts heating degree days, well takes
15 the heating degree days forecasted by DTN. They
16 match up actual historical usage based on the
17 weather parameters that have been identified by DTN
18 and the heating degree days, and then they send that
19 forecast to my gas supply group and we evaluate what
20 type of assets will be needed to supply customers,
21 firm customers, on that day.

22 With that, you may have seen some
23 questions about like the weekends. We buy supply
24 over the weekend but then we evaluate on a daily

1 basis do we use storage or do we buy daily gas, so
2 that enables us to do so. Any questions on weather
3 or load forecasting?

4 (Pause).

5 Okay. The next section of
6 questions was related to load shedding or
7 curtailment planning. The first section
8 related to customer outages or curtailment. We
9 typically don't call it load shedding. That's
10 more of an electrical term, electric term. But
11 with regards to customer outages, firm
12 customers are only interrupted due to outages
13 such as third-party damage. So, if we have a
14 third party that hits a line customers may lose
15 service in that regard.

16 If PSNC encountered some type
17 of pressure or a gas deliverability issue from
18 Transco, that would probably be considered our
19 catastrophic event and that would be the time
20 when we would be faced with having to curtail
21 customers or asking customers to voluntarily
22 cooperate with us to meet that reduced volumes
23 of gas that we are seeing coming into our gas.
24 But, to date, we have not seen that type of

1 catastrophic event. Typically, it's related to
2 third-party damage.

3 In the event that that type of
4 interruption were to occur, we would rely on
5 the Company to relight first and then we would
6 call on our Dominion Energy affiliates and also
7 other utility resources that we have through
8 the Southern Gas Association to restore
9 service.

10 The most typical types of
11 curtailments that you will hear about on our
12 system is related to interruptible customers.
13 These customers pay a lower rate in exchange
14 for their obligation to interrupt if needed in
15 order to ensure that we can meet the firm
16 customer's needs.

17 So, the procedures that we have
18 are laid out in Rider A of the Company's
19 tariff. In the event that we are required to
20 curtail a customer, we enter that curtailment
21 into our electronic bulletin board which
22 generates an email that goes to the emergency
23 contacts that the customer has provided to us
24 and then if the individual account manager for

1 that customer curtailed will follow up with
2 that customer via a phone call to ensure that
3 they have received a message. If the customer
4 is a transportation customer, their pooler is
5 also notified via email through the electronic
6 bulletin board.

7 One of the big changes in our
8 system after the Polar Vortex events of 2014
9 and '15, we realized as a Company that we
10 needed more tools in our toolbox to be able to
11 balance supply versus demand other than
12 curtailment.

13 Prior to our rate case in 2016,
14 curtailment was really the only tool we had to
15 ensure that interruptible customers would go
16 off natural gas in order to protect firm
17 customers and ensure their priority of service
18 on our system. But with the approval of our
19 rate case in Docket Number G-5, Sub 565, we
20 were able to implement operational orders which
21 enables the Company to require poolers to
22 balance receipts and deliveries within a
23 specified tolerance. So, in the event that a
24 pooler is able to bring gas to the system then

1 we redeliver that gas to their customers. It
2 also allowed customers to participate in that
3 aggregation into a pool, so if you have one
4 customer that's long and one customer that's
5 short they can net those differences and
6 provide that valuable balancing service within
7 the pooler's pool.

8 Just to follow up on some of
9 the questions earlier, the power generation
10 companies on our system are actually considered
11 not only customers but poolers. So, in the
12 event they are able to get gas to our system,
13 we make every opportunity to redeliver that gas
14 to their plants.

15 There is penalties imposed for
16 noncompliance prior to operational orders being
17 in place. There was no type of incentive to
18 ensure compliance in the event that we were to
19 encounter this type of cold weather event. The
20 procedures are identified in Article 5 of our
21 Transportation Pooling Agreement within our
22 tariff. And in the event that there is an
23 operational order, we post that on our
24 electronic bulletin board and it's followed up

1 with an email that goes out to all the poolers
2 affected.

3 Also, a number of our
4 interruptible customers have converted to firm
5 transportation, our firm sales, since the Polar
6 Vortex events of 2014 and 2018. A number of
7 those customers identified issues with
8 obtaining their alternate fuel during such
9 weather events. So, we have seen a dramatic
10 change there on our system as well. Any
11 questions?

12 CHAIR MITCHELL: I just want to follow up
13 on the power gen comment that you made. So, are you
14 aware of whether any of the power generators that
15 the Company serves are on interruptible contracts,
16 interruptible service of any kind?

17 MS. JACKSON: There is an interruptible
18 service provision. But, once again, because they
19 are acting as their own poolers if they are able to
20 deliver the supply, then, we'll make every
21 opportunity to redeliver that supply to the power
22 plant. There may be an instance where - I can't
23 imagine - it would be something highly unusual on
24 the system like a pressure issue or some type of

1 third-party damage that may impact it. But, once
2 again, it's a transportation agreement so if they
3 can deliver the supply we're going to do our best to
4 get it to the plant.

5 CHAIR MITCHELL: So why are they -- why
6 does interruptibility come into this at all? I
7 mean, why is that term important to the -- or
8 included in this arrangement you have with the power
9 generators?

10 MS. JACKSON: It's just to protect the
11 system in the event we were to have that type of
12 catastrophic situation or that unusual operating
13 circumstance where we couldn't redeliver all of
14 their volumes. When we have a firm obligation such
15 as we have to firm and commercial customers, we plan
16 for that and we take that into consideration. But
17 the power plants as discussed earlier have the
18 ability to use alternate fuel where our firm
19 residential and commercial customers do not.

20 CHAIR MITCHELL: Are these -- are the
21 pooling arrangements reduced to writing? Are there
22 written agreements among the poolers and PSNC?

23 MS. JACKSON: Yes, ma'am. There are
24 actually contracts that are in our tariff that

1 states all the requirements that they're obligated
2 to perform.

3 CHAIR MITCHELL: Okay. Thank you.

4 MS. JACKSON: Uh-huh (yes). Okay. The
5 next section is related to plant performance and
6 that's in regards to Questions 12 through 13. We
7 identified the peak day for each of the last three
8 winters which is not an indication of the total, the
9 top three days the system has encountered, so I
10 wanted to clarify that. During the last three
11 winters we curtailed one to two interruptible
12 customers. The last three winters really have not
13 been colder than normal. They've been more normal
14 weather. During 2014, 2015 and 2018, we saw more
15 curtailments during that time period. But, once
16 again, once the operational orders were in play that
17 allows us to issue operational orders to ensure that
18 supply and demand are in balance and it protects the
19 system.

20 And then as I stated in my opening remarks
21 with regards to the FERC and NERC report
22 recommendations, the Key Recommendation 6 lists the
23 recommendations related to natural gas
24 infrastructure. And many of those measures have

1 already been implemented by our Company as a result
2 of the actual winter, extreme winter conditions we
3 went through in that 2014-2015 timeframe.

4 So, that concludes our prepared remarks,
5 but we're available for any questions you might
6 have.

7 CHAIR MITCHELL: Let me check in with
8 Commissioners. Questions for PSNC? Commissioner
9 McKissick?

10 COMMISSIONER McKISSICK: You explained how
11 your modeling is done in terms of considering what
12 type of peak demand you're concerned about, but how
13 does that -- and I guess what I'd like to know, I
14 know that you indicated the coldest day was in 10
15 years is what you're looking for, but how does that
16 compare to what happened out in Texas in terms of
17 that type of event that occurred?

18 MS. JACKSON: We actually go back 70 years
19 of historical data and we pulled -- which I think
20 our peak day was in 1970 -- our peak gas day.

21 COMMISSIONER McKISSICK: Peak gas day.

22 MS. JACKSON: We pulled the heating degree
23 days on that actual weather event.

24 COMMISSIONER McKISSICK: Right.

1 MS. JACKSON: But then we take that, those
2 heating degree days, and we apply it to the
3 estimated demand for our current mix of customers.
4 So, let's say that we have it by rate category and
5 our forecast model takes into effect and applies the
6 heating degree days on that actual coldest day ever
7 and determines what that design day need is going to
8 be for our customers, for the customers.

9 COMMISSIONER McKISSICK: Coldest day ever.

10 MS. JACKSON: Yes, sir.

11 COMMISSIONER McKISSICK: And if they use a
12 similar type of planning paradigm out in Texas, what
13 would it have predicted? You know, I mean, I'm just
14 trying to see if the weather out there was so
15 extreme that it deviated from say whatever that
16 coldest day had been in an equivalent timeframe
17 coldest day ever for them?

18 MS. JACKSON: Commissioner McKissick, I
19 really think that the bigger issue in Texas was
20 related to their regulatory structure, the fact that
21 they are deregulated.

22 COMMISSIONER McKISSICK: Yes.

23 MS. JACKSON: Those companies do not have
24 the same oversight that we do as regulated

1 utilities. And they're also incented to reduce cost
2 any way they can in order to compete in that
3 marketplace. We, as regulated utilities, have to
4 come before you all once a year to show you that we
5 are prepared for our design day. So, I'm not
6 certain that any of those utilities in Texas are
7 required to do any of that. I'm just not as
8 familiar with the requirements that they have, but I
9 do know in a deregulated environment it's vastly
10 different from what we have here in North Carolina.

11 COMMISSIONER McKISSICK: Sure. And I
12 agree with your assessment about that. It was just
13 more of a matter of curiosity more than anything
14 else. Thank you.

15 MS. JACKSON: You're welcome.

16 CHAIR MITCHELL: Okay. I have a few
17 questions for you-all. Anybody can answer them so
18 I'll just direct them to the group. Talk some about
19 the Company's curtailment procedures. Just walk us
20 through in the event that the Company got there and
21 had to begin curtailing customers, how would that
22 take place?

23 MS. JACKSON: We -- typically, it's
24 related to interruptible customers. And we have --

1 our gas control group plans as far as their winter
2 prep they train for curtailments on the system. So,
3 in the event we have -- we receive a forecast that
4 determines that we may need to curtail interruptible
5 customers, we identify those customers and as stated
6 before we send out an email to the customers
7 affected. We send out an email to their pooler if
8 they're on transportation and their individual
9 account manager follows up with a phone call to
10 ensure that that email has been received.

11 Also, during those time periods we are
12 probably going to have an operational order on our
13 system as well and Transco was going to have an
14 operational flow order on its system, also. So the
15 penalties associated with Transco's OFO, our
16 operational order, it's going to -- those
17 incentives, those penalties are in place to ensure
18 compliance. So, it would be some type of
19 catastrophic event on Transco before we would begin
20 curtailing firm customers.

21 CHAIR MITCHELL: Understood. And so then
22 let's assume a catastrophic event occurs so then
23 what would the process be?

24 MS. JACKSON: It would be based on the

1 Commission Rules that we have in place, but it's
2 also going to be based on location. Let's say that
3 we had some type of catastrophic failure off of a
4 point on Transco that would only affect the west,
5 like the Asheville region, then we would begin
6 curtailing -- we would begin contacting customers,
7 asking for a voluntary curtailment and then we would
8 follow up by looking at that local area trying to
9 determine which customers we would have to curtail.
10 If it's only some type of event that would impact
11 the west, we're certainly not going to curtail
12 customers in the east unless we absolutely have to.
13 If it could impact system-wide, then we would
14 evaluate that at that time.

15 CHAIR MITCHELL: And you touched on this
16 just a minute ago, but how is the Company training
17 for this? Are system operators trained to handle
18 this type of situation should it occur?

19 MS. JACKSON: Yes, ma'am. Our gas control
20 group actually manages gas control for both South
21 Carolina and North Carolina. In North Carolina,
22 because we have most of our industrial load as
23 transporting we don't have as many curtailments
24 because they've contracted with a pooler to bring in

1 their gas. In South Carolina, we actually have
2 a lot of customers on interruptible sales so that
3 group curtails annually for South Carolina. So,
4 they are very proficient at the process they go
5 through. But, as stated before, we have a winter
6 prep meeting that involves engineering, gas supply,
7 and gas control every year and then subsequent to
8 that meeting the gas controllers are trained on the
9 requirements they're going to have for the upcoming
10 winter season which includes curtailments.

11 CHAIR MITCHELL: Okay. Going back just a
12 minute, you were describing the process for
13 curtailment in the event of a catastrophic event or
14 failure on the system and you described how the
15 Company would try to limit the impact of
16 curtailments based on location. So, as you're going
17 through, let's say you've gotten to that point and
18 you're in a specific location on the system, who
19 gets curtailed first? I mean talk about, sort of,
20 order of priority of customers.

21 MR. SWINDLER: I can give you an example.
22 So, we had a pipeline issue out in the western part
23 of the State and we were going to lose pipeline all
24 the way out to Bryson City. And we needed to set

1 big loads, so we worked with the key accounts folks
2 and they called all those customers and they told
3 them what the situation was. All of them went off
4 and it gave us enough time to keep from depleting
5 that whole system to where we got down to no
6 pressure. Because on a gas system what you've got
7 to do as soon as you go to no pressure you have to
8 start the process of shutting it in and then go
9 through the process of getting all the air out of it
10 and then go through another process of where all
11 your customers are shut in and then you've got to
12 get the air out of their system. So, you take
13 measures to try to keep from getting to that point.

14 So, we talk about a curtailment process,
15 if you ever got to the point where you had to do
16 residential customers or commercial customers, the
17 real small ones, you would probably be in a point of
18 system preservation and you would be sacrificing
19 pieces of the system where you would actually be
20 valving off parts of the system and shutting those
21 off to keep the main supply lines gassed up so you
22 wouldn't have to re-purge the whole system out. So,
23 it would be a systematic process of you may have to
24 shut some system off to do that.

1 CHAIR MITCHELL: Okay. And Ms. Jackson,
2 you've mentioned the winter planning meeting. I
3 assume that's an annual meeting --

4 MS. JACKSON: Yes, ma'am.

5 CHAIR MITCHELL: -- that occurs. Any
6 other regular training or simulations that occur
7 related to winter weather preparedness or system
8 failure preparedness?

9 MS. JACKSON: Mr. Raynor or Mr. Swindler
10 can talk to their -- the requirements for gas
11 operations. But certainly in terms of gas supply
12 and gas control, we have a monthly meeting where we
13 evaluate what the upcoming month, we look at what
14 the short-term forecast is projecting for that month
15 and we work with our resource planning group that
16 does a monthly forecast. They are the same group
17 that does our design day forecast. But gas control
18 also does a forecast and we compare the two and then
19 we evaluate how to set up for the upcoming month and
20 that occurs on a monthly basis. It also includes a
21 number of folks from our risk group but also from
22 our accounting group as well.

23 MR. RAYNOR: I'll just offer up at the LNG
24 plant in Cary prior to winter we get our gears up to

1 temperature, get our pumps and our piping cooled
2 down, do a -- have a test run of vaporization prior
3 to December 1; that's our practice.

4 CHAIR MITCHELL: And that's an annual --
5 those are annual?

6 MR. RAYNOR: Yes, ma'am.

7 MS. JACKSON: We also have customer
8 meetings with our large account group. And in
9 preparation for the winter season that customer
10 group sends out notifications to all of our
11 industrial or interruptible customers to just remind
12 them that the winter heating season is upon us to
13 make sure that they test their alternate fuel
14 equipment and remind them of the curtailment
15 provisions in our tariff.

16 CHAIR MITCHELL: Is that a post Polar
17 Vortex practice?

18 MS. JACKSON: No, ma'am, we've always done
19 that. I think that our customers are now more
20 in-tuned as to what type of ramifications a Polar
21 Vortex event could have because of the price of
22 natural gas that was charged as part of those
23 penalties.

24 MR. SWINDLER: And there's one more

1 process I'd like to add, it deals with the
2 engineering side of it. So, there's also a meeting
3 every year, it's a system enhancement meeting where
4 they pull all the weather data, how the system
5 performed, and then they also take the models and
6 they apply the design day models to it, and we look
7 on the system and proactively find places that may
8 be weak and get them corrected before they become a
9 problem. And the typical pressure is a 30 pound, so
10 even at 30 pounds there's typically, you know, if it
11 overshoot it some there's some reserve there, too, so
12 that's the process.

13 CHAIR MITCHELL: Okay. A question about
14 the operational orders. In the data that the
15 Company provided in response to Question 12, it
16 appears that the tolerance limits for the
17 operational orders increased by 5 percent every year
18 between 2019 and 2021. Can you just help us
19 understand that?

20 MS. JACKSON: Yes, ma'am. Originally,
21 when the operational orders were put into place, we
22 only had one static percentage that we could apply.
23 But then Transco began to implement what we call
24 bracketed operational flow orders where not only did

1 they have us protecting on the short side, they said
2 not only you have to have a tolerance on a short
3 side but also on the long side so, in effect, the
4 shippers on their system are balancing Transco's
5 system. Because we have to stay in our lane, if you
6 will, we might have a 5 percent tolerance on the
7 short side and a 10 percent tolerance on the long
8 side. So depending on what our assets look like we
9 have to implement operational orders on our system
10 to ensure compliance with Transco's operational flow
11 orders, and that's generally what drives our
12 operational orders.

13 CHAIR MITCHELL: Okay. And then -- okay.
14 A question about the coordination with your electric
15 power providers. Do you-all -- I mean, based on
16 what you have told us today about the service
17 provided to the facility in Cary, you're taking
18 service at the distribution level. Does the Company
19 have any compressor stations that are electric as
20 opposed to gas powered?

21 MR. SWINDLER: No.

22 MS. JACKSON: No, they are all gas.

23 CHAIR MITCHELL: Any other critical
24 infrastructure that would be electric versus gas

1 powered?

2 MR. RAYNOR: Not that I'm aware of.

3 MR. SWINDLER: The flow control stations
4 and all they all have generator backup, those type
5 of things. The compressor stations generally are
6 gas driven and they have for the accessories and all
7 they have generator backup on them.

8 CHAIR MITCHELL: Okay. Can any of you
9 talk to the coordination in which you engage with
10 your -- with the electric company for service that
11 it provides to PSNC or that the electric companies
12 provide to PSNC?

13 MR. SWINDLER: I remember in -- you know,
14 it was 10-years or so ago we were asked about
15 facilities, critical facilities, that might would be
16 impacted by a brownout and we provided some
17 information then with the account numbers and
18 everything. So --

19 MR. RAYNOR: I can't say personally
20 whether we're still under that protected service or
21 not. It's something I need to follow up on.

22 CHAIR MITCHELL: And would that be within
23 your purview of responsibilities?

24 MR. RAYNOR: Yes, I'll follow up.

1 CHAIR MITCHELL: Okay. Let me pause and
2 see if there are questions from other Commissioners.
3 Commissioner Clodfelter?

4 COMMISSIONER CLODFELTER: I have a
5 question about coordination with the electric
6 utilities as well, but it doesn't involve
7 coordination with respect to the service you provide
8 to each other, it relates to the service that you
9 both provide to customers. And I'll -- because I
10 can think concretely about it and it's real in my
11 head I'll use myself as an example, but scale it up.
12 So the question is really about what if you scale
13 this up.

14 So, if you were to have either a physical
15 event that caused an interruption in my gas supply
16 or you had to curtail me, I'm not interruptible, I'm
17 a residential customer, but if I were an
18 interruptible customer, sales customer, or you had a
19 physical event for me as a residential customer, I'm
20 going to convert to my emergency electric backup
21 supply which is going to change the load Duke
22 experiences.

23 So, let's say the case that you had out
24 there where you were about to have a major problem

1 going out from Asheville to Bryson City, are there
2 protocols and mechanisms in place for you to say to
3 Duke Progress, hey guys, get ready, you may
4 experience a rather substantial change in your load
5 because we're about to have either a curtailment or
6 a physical interruption to our service.

7 It can also work vice versa. I've had
8 situations where I've been able to increase my use
9 of gas service when I've had problems with electric
10 service, because they've used backup generation to
11 convert from one type of water heating to another
12 type, so the load changes. The customers have fuel
13 choice, not just between, sort of, oil and gas is
14 what we've been talking about with electric
15 customers, but customers can choose between electric
16 and gas. And so do you guys talk to each other
17 about how your load -- your decisions might affect
18 the demand or the load on the other?

19 MS. JACKSON: Typically, you're going to
20 see more impact to gas utilities in the event that
21 there is an electric outage because --

22 COMMISSIONER CLODFELTER: Sure.

23 MS. JACKSON: -- if you have -- let's say
24 that your home has HVAC that's electric and a gas

1 pack, I mean, a gas -- I mean, a heat pump --

2 COMMISSIONER CLODFELTER: Right.

3 MS. JACKSON: -- and the power goes out
4 but you have gas logs in your home --

5 COMMISSIONER CLODFELTER: Right.

6 MS. JACKSON: -- they're going to crank
7 those gas logs up.

8 COMMISSIONER CLODFELTER: Well, it's a --
9 I agree, it's absolutely right. It's a two-way
10 thing.

11 MS. JACKSON: Right.

12 COMMISSIONER CLODFELTER: And my question
13 really is focused on what mechanisms do you have in
14 place for each to talk to each other about those
15 kind of events that's going to shift the customer
16 utilization of the two different fuels?

17 MS. JACKSON: I don't think there's formal
18 communication, but we typically know because we
19 serve, excuse me, the power plants in our area, so
20 we typically know if there's some type of outage
21 because they will send over what their requirements
22 are on a daily basis and we're prepared for those
23 changes in demand and they are typically short term
24 in nature.

1 COMMISSIONER CLODFELTER: Okay.

2 MS. JACKSON: So you may see increases
3 when one utility has an outage that goes to the
4 other. But I don't think they're going to be long
5 term in nature and I don't think there will be
6 tremendous volumes that would be impacted.

7 COMMISSIONER CLODFELTER: And would you
8 typically have a way of knowing if you're about to
9 experience an interruption due to say damage to a
10 pipeline? Will they typically know that?

11 MS. JACKSON: Typically, everybody knows
12 it because it's broadcasted on the news. (Laughing)
13 I mean, I hate to say that, but with today's social
14 media and the instantaneous news feed that we all
15 have, you typically find out about it through social
16 media to be honest.

17 COMMISSIONER CLODFELTER: Okay.

18 MR. SWINDLER: And if you're an impacted
19 customer you're probably going to get a door tag.
20 We would have created orders that are standing by
21 and the local operations would have already -- would
22 have started phone calls to you and everything to
23 talk about what the process is going to be.

24 COMMISSIONER CLODFELTER: Okay. Thank you

1 for that. I appreciate it.

2 CHAIR MITCHELL: Commissioner Brown-Bland?

3 COMMISSIONER BROWN-BLAND: Good afternoon.

4 MS. JACKSON: Good afternoon.

5 COMMISSIONER BROWN-BLAND: I apologize
6 that I -- it was definitely my loss not to be here
7 and hear from Ms. Jackson, as she regularly appears
8 in our annual review of cost proceedings and I'm
9 sure the rest of you who have not served on that
10 panel had an opportunity to see just how
11 knowledgeable she is. But I did have just one
12 question I wanted to ask you. Do your LNG storage
13 facilities require electricity to convert LNG to
14 usable gas?

15 MR. RAYNOR: Yes. We do have backup power
16 there but it doesn't carry every process at the
17 plant to convert pipeline gas into liquid. We do
18 have to have commercial power to drive that
19 equipment.

20 COMMISSIONER BROWN-BLAND: And in terms of
21 cold weather preparation, does that bring anything
22 else into play for you?

23 MR. RAYNOR: Well, typically, we are
24 liquefying it in the non-winter part of the season

1 so it doesn't affect us in that regard. I mean, our
2 backup power generation, our diesel backup generator
3 provides the power that we need for our vaporization
4 and our start holding mode if we're not making or
5 sending out gas, so it covers those two processes
6 but not the liquefaction process.

7 MS. JACKSON: So it won't interrupt us in
8 the event we need to withdraw LNG from the tank but
9 it could impact us in the summertime when we're
10 trying to inject.

11 COMMISSIONER BROWN-BLAND: Thank you.

12 MR. SWINDLER: I always found it
13 interesting, too, the LNG plant, the liquefaction
14 process is about four million a day in and the plant
15 can put out about a hundred million a day out on the
16 vaporization side for cold weather support.

17 MS. JACKSON: Or 4,000 dekatherms
18 injected, a 100,000 dekatherms withdrawn.

19 MR. SWINDLER: Yeah, I'm a cubic feet.
20 (Laughing)

21 MS. JACKSON: Engineering versus gas
22 supply. (Laughing)

23 CHAIR MITCHELL: Any additional questions
24 from Commissioners? Public Staff?

1 MR. NADER: Absolutely. Jordan Nader with
2 the Energy Division - Public Staff.

3 Can you all hear me alright?

4 MS. JACKSON: Yes, sir.

5 MR. NADER: So, we sent you data
6 responses, let's see here, data requests on March
7 29th, and my question is related to Question 8.

8 Going back earlier you referenced pressure
9 issues on the system. And in a situation, going to
10 what Commissioner Clodfelter was referencing of the
11 interoperability between these two utility systems,
12 if there was an unexpected trip with the electric
13 system, let's say, cold weather/ice storm knocks out
14 a distribution circuit, the brunt of this question
15 is are there emergency backup generators connected
16 to your system that are behind meters that you don't
17 necessarily have visibility of that could increase
18 flow and cause pressure issues?

19 MR. SWINDLER: Our system is designed and
20 when, you know, we know that when the meter and
21 everything was put in it would be designed to
22 support that as a firm load.

23 MR. NADER: And so if a customer, let's
24 say, a commercial customer goes in at one point, 10

1 years down the line the building gets sold, a new
2 customer comes in, they're worried about backup
3 generation and they don't communicate to you that
4 they've installed a natural gas-fired generator,
5 what -- I mean, would there -- is there enough
6 headroom in the system that it doesn't present any
7 concerns?

8 MS. JACKSON: Typically, the accounts --
9 the medium account groups would be in contact with
10 that customer.

11 MR. NADER: Okay.

12 MS. JACKSON: And they work closely with
13 them as they make those type of changes.

14 MR. NADER: Okay.

15 MS. JACKSON: So, I'm not sure --

16 MR. SWINDLER: And it's an -- it's kind of
17 an interesting process that happened. So, when you
18 have a winter, say, electrical outage, well just
19 imagine you have your furnace at home and you have
20 an electrical outage, you're not pulling gas, so
21 typically you've already shed off some, you know, so
22 the generators and all wouldn't make up that
23 difference on what you let out. So, there's kind of
24 a little bit of a balance there that some is going

1 to naturally shed and then others is going to come
2 on. I mean, it is possible that somebody adds a
3 load that we don't know about and causes some
4 problems. It may would cause more issues on their
5 meter set and our facility is supplying them because
6 we didn't know about it, so it may be a localized
7 issue that it would cause.

8 MR. NADER: Okay. Very good. Thank you.

9 MR. LITTLE: That's all from the Public
10 Staff.

11 CHAIR MITCHELL: Checking in one last
12 time. Thank you very much guys. You are -- you may
13 all step down.

14 MS. JACKSON: Thank you.

15 MR. SWINDLER: Thank you.

16 MR. RAYNOR: Thank you.

17 CHAIR MITCHELL: Thank you for your
18 participation today. We appreciate your
19 participation today.

20 Next up, we've got Piedmont.

21 Good afternoon, gentlemen, would you
22 please introduce yourselves for the record?

23 MR. LONG: Good afternoon, Chair Mitchell.
24 My name is Adam Long. I'm the Vice President of

NORTH CAROLINA UTILITIES COMMISSION

1 Pipeline Operations representing Piedmont Natural
2 Gas.

3 MR. MOSER: Good afternoon. I'm Neil
4 Moser, Director of Engineering & Asset Planning.

5 MR. PATTON: Good afternoon. I'm Jeff
6 Patton, Manager of Pipeline Services.

7 MR. JEFFRIES: And, Chair Mitchell, in
8 addition to our primary presenters, we also have
9 Mr. Bruce Barkley who's Vice President of Rates and
10 Gas Supply for Piedmont, and Ms. Sarah Stabley who's
11 the Managing Director of Gas Supply Optimization and
12 Pipeline Services.

13 CHAIR MITCHELL: All right. Well, good
14 afternoon, everyone. You-all may begin.

15 MR. LONG: Chair Mitchell, what you'll see
16 up on the screen is a footprint for Piedmont Natural
17 Gas in North Carolina and a few statistics.
18 Piedmont is very happy today to talk with the
19 Commission on our responses to your questions. We
20 would ask that at any time during this presentation
21 if you have a question please do stop us and we'll
22 be happy to address your questions.

23 Piedmont has a rather large footprint in
24 North Carolina, just under 800,000 customers, over

1 17,000 miles of distribution line of pipe and more
2 than 2,500 miles of transmission pipe.

3 To answer all of the Commission's
4 questions we put all of our reliability topics into
5 six sections as shown up on the screen. We'll start
6 with the Texas event and go into load forecasting,
7 curtailment, restoration services, coordination with
8 our electric generators, and then system planning
9 and its criticality for reliability.

10 Cold weather is really the primary threat
11 to Piedmont's system. As PSNC stated, our assets
12 are underground and not subject to the same issues
13 that an electric provider would have with wind and
14 ice. Our critical equipment is maintained and
15 tested annually and designed to be reliable to a
16 temperature below 0° Fahrenheit.

17 After the 2021 Texas event, Piedmont
18 Natural Gas took it upon themselves to work with
19 other utilities in North Carolina and interstate
20 providers to do a self assessment of how our
21 equipment would work at extreme low temperatures.
22 In that self assessment, Piedmont worked with
23 Williams - Transco as well as PSNC to evaluate all
24 of our LNG facilities, our pressure station

1 facilities and pipeline facilities to see if there
2 were lessons learned by Williams in their Gulf Coast
3 operations or by the other utilities to see if there
4 was something we could learn and benefit from for
5 cold weather operations. After that assessment,
6 Piedmont decided that there was no changes warranted
7 to our system, that we had already incorporated
8 those best practices and other design features in
9 previous cold weather events.

10 Piedmont maintains redundancy of our
11 critical equipment in our operations. All of our
12 critical electric needs for our system are backed up
13 either by a generator or a UPS system with a battery
14 supply.

15 We have an Emergency Operating Plan that
16 does not require electricity, internet or
17 telecommunications for our system to work. And we
18 have simulator training for our control room and
19 they are trained on how to deal with emergencies as
20 well as day-to-day operations.

21 COMMISSIONER CLODFELTER: Question for
22 you, sir. What applications do you use battery
23 backup? When do you choose to use battery backup?

24 MR. LONG: So, we would have battery

1 backup at a facility that monitored only pipeline
2 stations so we could see pressure or temperature or
3 flow, and that battery backup is good for more than
4 24-hours. It's monitored live by our control room
5 so we can see when the power is off, the status of
6 the battery backup system, and an alert before it
7 starts to fail so we can respond.

8 COMMISSIONER CLODFELTER: But you have a
9 24-hour capability --

10 MR. LONG: Yes.

11 COMMISSIONER CLODFELTER: -- discharge for
12 24 hours?

13 MR. LONG: For more than 24 hours.

14 COMMISSIONER CLODFELTER: Thank you.

15 MR. LONG: When we talk about load
16 forecasting, as Piedmont submitted in our question
17 to the Commission, we used the GasDay Program to
18 produce daily and hourly natural gas demand
19 forecasts. This system is used by more than 40
20 companies in 32 states. And the forecasted weather
21 is entered into the GasDay hourly system from 7 a.m.
22 to 5 p.m. each day. Piedmont gets what we believe
23 is very high quality weather data that goes into our
24 GasDay to make it very accurate. And even though

1 weather forecasting is not perfect, I like to refer
2 to meteorologists as weather guessers most of the
3 time, but we have tools to meet our peak day demand
4 such as our three on-system LNG storage facilities
5 in North Carolina as well as peaking supply
6 resources and interstate storage.

7 For curtailment, Piedmont has actually
8 never curtailed any firm customers. Generally,
9 seasonable winters have resulted in limited recent
10 curtailments of only interruptible customers. When
11 we curtail interruptible customers or firm customers
12 we do it in conjunction with Commission Rules
13 R6-19.2. Interruptible customers are always, of
14 course, interrupted first and in order of lowest
15 margin. Firm customers, even though we've never
16 done it before, would be interrupted in order of
17 lowest margin first. Residential customers are
18 always the last to be interrupted and to date has
19 never happened on Piedmont's system.

20 The Company communicates directly with our
21 interruptible customers every year. We validate
22 those contacts annually to ensure that we have the
23 latest information and contact names.

24 In the very unlikely event that we ever

1 had firm curtailment, Piedmont puts together a
2 communication plan as part of our Incident Command
3 System that would include an overall emergency
4 response, and then we disseminate that message over
5 television, radio and social media.

6 When it comes to restoring natural gas
7 customers it is a little bit different than our
8 electric part of the Company. Restoring natural gas
9 to customers is fairly time consuming. The Company
10 has very good internal resources from our other
11 operating areas. We operate in five states, and the
12 technicians in those states are eligible to come
13 work in North Carolina in the event that we need
14 extra manpower because they are familiar with our
15 system, our procedures and our equipment.

16 In addition, we're members of SGA,
17 Southern Gas Association, and AGA, the American Gas
18 Association, and subscribe to their mutual assistant
19 agreements that are validated every year.

20 A widespread restoration has never
21 actually occurred to Piedmont to date, but to
22 restore customers we have in the presentation the
23 steps you'd have to take to restore a residential
24 customer. It's very time consuming and very labor

1 consuming, which is why we have resources outside of
2 the State to help us if it was ever needed and the
3 mutual assistance with neighboring utilities.

4 COMMISSIONER DUFFLEY: I have a quick
5 question. If that were ever to happen, you say time
6 consuming and extensive, what does time consuming
7 mean? Can you -- days, weeks?

8 MR. MOSER: So, as an example, we had
9 third-party damage some period of time ago in
10 Farmville, east of here. We had a third-party
11 damage that resulted in the outage of that
12 community. I think the number was somewhere around
13 1,400 customers impacted. As described here, the
14 first step, of course, to make the situation safe,
15 but to valve off and contain the leak; go to every
16 subsequent downstream customer and valve those off
17 so that the system can be purged, repressurize and
18 then we're to go back and relight all those
19 customers.

20 In that event, I think from the time of
21 damage until we had full restoration service
22 restored, it was somewhere in the 36 to 48-hour
23 range. So, as you look, for as much as you would
24 increase that number particularly depending upon

1 geography, those times definitely are measured in
2 days if not longer.

3 COMMISSIONER DUFFLEY: Thank you.

4 MR. LONG: For electric generation,
5 Piedmont does serve five interruptible electric
6 generators and then 10 firm service electrical
7 generators in North Carolina.

8 We have frequent communication with our
9 generators in addition to normal daily communication
10 and then extra communication during critical times
11 of severe weather.

12 CHAIR MITCHELL: Mr. Long, I'm going to
13 ask you a question about just following up there. I
14 just heard you say that the Company serves five
15 power gen customers on interruptible service.

16 MR. LONG: Uh-huh (yes).

17 CHAIR MITCHELL: And that may be
18 inconsistent with what we heard earlier today, it
19 may not be. I just am hoping you can help me
20 understand what the Company means when it says
21 "interruptible service".

22 MR. LONG: So, we serve multiple power
23 providers such as Duke Energy Carolinas, Duke Energy
24 Progress and then independent power providers -

1 Southern Company. These companies have different
2 contracts. Most of them have firm service
3 contracts. Some of those companies have
4 interruptible service contracts for units on their
5 property. They are interruptible service contracts.

6 I believe Mr. McAllister was talking about
7 interruptible service, and for all of the firm
8 contracts that Duke Energy has, when they redeliver
9 gas to our system, we redeliver that on a firm
10 basis, and we have never not redelivered that firm
11 gas. But there are units on that system that are
12 interruptible that if we get a time of interruption
13 and they were scheduled that they would not run.

14 CHAIR MITCHELL: Okay. I may need you to
15 go through that one more time. So, it sounds like
16 the Company, Piedmont, has the right to interrupt
17 service for certain of these customers.

18 MR. LONG: Based on their contract.

19 CHAIR MITCHELL: Based on the contract.

20 MR. LONG: Uh-huh (yes).

21 CHAIR MITCHELL: But that redelivery is
22 always for --

23 MR. LONG: So they -- to make it simple
24 there's two types of contracts. There's firm

1 contracts. Piedmont has always delivered on our
2 firm contracts. There are interruptible contracts
3 and they are standard interruptible contracts. But
4 if we called it curtailment, that we would curtail
5 those contracts to those units. And there are five
6 plants that have that type of contract.

7 CHAIR MITCHELL: Okay. Five power
8 generating facilities. Okay. Thank you.

9 MR. JEFFRIES: And Chair Mitchell, to the
10 extent it's helpful, Piedmont's response to Public
11 Staff Data Request 9(a) has the details of those
12 plants.

13 MR. LONG: So, if we had to interrupt firm
14 customers, although it has never happened, it is
15 done on a lowest margin basis in accordance with
16 Commission Rule R6-19.2.

17 Piedmont participates in Duke Energy's
18 review of the 2021 Texas event. Went through that
19 with Duke Energy and again found no changes for the
20 Piedmont system were warranted.

21 When we look at system planning there's
22 two critical aspects that deal with reliability.
23 One is the interstate capacity and the other is
24 Piedmont's actual infrastructure system.

1 For interstate capacity, we have a design
2 day of an average of 8.69° Fahrenheit and that's
3 based on actual weather day January 21st of 1985,
4 the coldest day in our service territory in the
5 last 40 years. The demand is determined using a
6 regression analysis to project our firm customer
7 usage on that day. We annually review in the gas
8 cost prudence review and the NCUC has ordered
9 the review and consideration of five potential
10 modifications for Piedmont's process, which we are
11 looking at.

12 For Piedmont's infrastructure, we do a
13 detailed model of future considerations while
14 looking at project growth and the design day
15 weather. Our planning horizon is a minimum of five
16 years looking at system growth and how our system
17 will react. Our planning model is reviewed and
18 updated routinely throughout the year. It's not a
19 static model, it's dynamic, and we look at it. And
20 our infrastructure is designed and constructed --
21 new infrastructure is designed and constructed to
22 the model forecast and insufficiency for our firm
23 customers.

24 That concludes our prepared remarks.

1 We're open to any questions from Commissioners.

2 CHAIR MITCHELL: Let me check in with
3 Commissioners. Questions for Piedmont?
4 Commissioner Brown-Bland?

5 COMMISSIONER BROWN-BLAND: Good afternoon.
6 Just a few questions. And I think that you probably
7 heard at least a portion of these with PSNC, but
8 could you discuss your natural gas curtailment
9 procedures and the protocol to curtail the various
10 classes of customers?

11 MR. LONG: So, for our IT customers, we
12 would curtail an impacted system in order of margin
13 for the customers on that system. And we do that on
14 not an annual basis, on a regular basis based on
15 weather conditions. For firm customers, we've never
16 had to curtail before. But in the event that we
17 would have to curtail on a particular gas system and
18 just like Commission Rule R6-19.2 requires, we would
19 curtail in order of the lowest margin for those firm
20 customers.

21 COMMISSIONER BROWN-BLAND: And your
22 highest priority is?

23 MR. LONG: Highest priority, the last
24 customer to ever be curtailed is residential

1 customers.

2 COMMISSIONER BROWN-BLAND: And if
3 curtailment is necessary, do you treat your electric
4 generators the same as any other transportation
5 customer or is there some other preferential
6 treatment?

7 MR. LONG: No. In accordance with the
8 Commission Rules, they would be treated as a firm
9 customer and then be curtailed based on their
10 margin.

11 COMMISSIONER BROWN-BLAND: All right. In
12 response to the Commission's Question 1, the Company
13 stated that it conducted a review of its low
14 temperature operating requirements for critical
15 equipment in order to validate its operability in
16 extreme cold weather. Could you walk us through the
17 steps involved and what you did for that review?

18 MR. LONG: Of course. So, first, we
19 reached out to other utilities in North Carolina and
20 then our interstate natural gas provider Williams -
21 Transco, and then we looked at critical facilities
22 for all three companies, did site visits, and looked
23 at manufacturer recommendation temperature ranges
24 for that equipment. We looked at our inventory of

1 parts, our training, and then our annual maintenance
2 practices for all of that equipment. Then after
3 site visits and talking with the manufacturers for
4 Piedmont specifically, we determined that we'd
5 already incorporated all of those maintenance
6 activities. That equipment was set up to work at a
7 temperature below 0° Fahrenheit. And there were no
8 maintenance or operating practices that we saw at a
9 peer utility or an interstate utility that would
10 have benefited us, so we maintained our current
11 annual maintenance and operations there.

12 COMMISSIONER BROWN-BLAND: Without -- you
13 didn't see the need for any tweaking or any changes
14 at all, just kept it the same?

15 MR. LONG: It's the same operating plan.
16 The most we did is one of our -- one of the
17 utilities we have in Southern Ohio and Northern
18 Kentucky realized temperatures down to negative 14°
19 Fahrenheit. We have similar equipment, similar
20 maintenance practices. We asked what do you do
21 different from what we do and we did not glean
22 anything important that we would need to do that
23 they're currently doing. And they are reliably
24 operating at those temperatures.

1 COMMISSIONER BROWN-BLAND: So, we're able
2 to benefit here in North Carolina from the knowledge
3 that you have in the other even colder weather
4 states?

5 MR. LONG: Yes, ma'am.

6 COMMISSIONER BROWN-BLAND: And then in
7 your response -- your response to Question 3, you
8 stated that the GasDay model is provided by
9 Marquette and that the GasDay model is licensed by
10 40 other LDCs in 32 states. Do you know how many
11 other LDCs are in the southern region?

12 MR. PATTON: I'm aware that, I believe,
13 from memory, I think Frontier might use Marquette
14 GasDay, based on their filings, but I can't speak
15 offhand which ones are in the southern region.

16 COMMISSIONER BROWN-BLAND: And do you have
17 any info or feedback as to whether the error rates
18 for their last three winter peaks in the -- for the
19 three days before the winter peaks in that region?
20 Do you have any idea what that might be?

21 MR. PATTON: I do not.

22 COMMISSIONER BROWN-BLAND: All right. And
23 then finally, with regard to the FERC/NERC
24 recommendation that the electric utilities at least

1 annually perform simulations of emergency load, does
2 Piedmont conduct simulation training of a load
3 shedding event for control room operators?

4 MR. LONG: So, in our normal control
5 operations we balance load daily. And it is part of
6 our training profile to do training on what an
7 emergency situation would be as well as daily
8 operations.

9 COMMISSIONER BROWN-BLAND: And you stated
10 the gas grid operation and balancing is part of the
11 normal control room operation and is conducted
12 during operator qualification training at least
13 every three years. Is that the industry approach?
14 Is that optimal for the industry or are you
15 exceeding industry or --

16 MR. LONG: So, I can't speak to what the
17 industry does. I will say that the approach we use
18 is used by other utilities, but whether it exceeds
19 industry basis I don't know that our industry has
20 baselines, that type of function.

21 COMMISSIONER BROWN-BLAND: Is there -- do
22 you know the Company's reasoning for why three years
23 is sufficient or why three years versus any other
24 period of time?

1 MR. LONG: I can go back and check to see
2 if we documented why we chose three years.

3 COMMISSIONER BROWN-BLAND: Okay. Thank
4 you.

5 CHAIR MITCHELL: Any additional questions
6 for the Company?

7 (Pause).

8 Public Staff?

9 MR. NADER: Good afternoon. Jordan Nader,
10 Public Staff. I'll pose to you the same question I
11 posed before on Question 8 from our data request,
12 concerns about unknown electric backup generators
13 that are tied into your system. Your response I
14 appreciate. Is there anything within your customer
15 data files that you -- like this or in surveys with
16 key accounts or anything like that to know that
17 these generators exist or do you assume you have
18 enough headroom if a firm customer turns on their
19 emergency generator because the electric grid went
20 down?

21 MR. MOSER: I think you'll find our answer
22 very similar to that offered by PSNC. We size for
23 connected load at time of customer and for the
24 largest customers there is the major accounts

1 liaison and it occurs for those customers. With
2 that said, I think Mr. Swindler hit on a point, the
3 size of meter set is likely going to be a limiting
4 factor. So, if the customer adds load without
5 contacting us, that meter set could limit their
6 deliverability, it could isolate that and keep it --
7 keeping interruptions, a section of that load
8 confined to that customer.

9 MR. NADER: So it would be a physical
10 limitation of the pipe running to the property?

11 MR. MOSER: Correct.

12 MR. NADER: Okay. Very good. No further
13 questions.

14 CHAIR MITCHELL: With that, I believe we
15 are -- there are no additional questions for
16 Piedmont, so you-all may step down. Thank you very
17 much.

18 Next up, we will hear from Frontier
19 Natural Gas.

20 MR. JEFFRIES: Chair Mitchell, presenting
21 today for Frontier Natural Gas are Mr. Fred
22 Steele who's the President and General Manager of
23 Frontier, and along with Taylor Younger who's the
24 Regulatory Compliance Engineer for the Company.

1 CHAIR MITCHELL: Good afternoon,
2 Mr. Steele and Ms. Younger. You all may proceed.

3 MR. STEELE: Thank you, Chair Mitchell.
4 Chair Mitchell, Commissioners, we would like to
5 thank -- Frontier would like to thank you for the
6 opportunity to participate in today's technical
7 conference to answer your questions relating to
8 Frontier's operational reliability during extreme
9 cold weather.

10 Frontier was not affected by the February
11 2021 Texas weather event. To assist in your
12 understanding of the Frontier Natural Gas system,
13 we'd like to offer the following further support to
14 the previously submitted data request responses.

15 Frontier has never experienced a system
16 outage due to extreme weather conditions. Frontier
17 conducts a cold weather preparation system review
18 annually. Frontier utilizes Marquette Energy
19 Analytics to assist us in a development of our
20 design day or load temperature operating
21 requirements and determining its natural gas system
22 supply planning.

23 Frontier secures enough natural gas supply
24 annually to meet the forecasted design day natural

1 gas load for its customers. The design day
2 methodology and calculations for the customer load
3 is described annually in Frontier witness testimony
4 of the Company's annual review of gas costs.

5 In the event of an emergency curtailment,
6 Frontier would communicate with its interruptible
7 customers via telephone, text message and emails.
8 Frontier also utilizes local news, radio, social
9 media outlets, and contacts the -- contact the local
10 emergency agency if curtailment of firm customers
11 were to become necessary.

12 With that, I mean, that really concludes
13 our prepared remarks. We are willing to offer a
14 presentation after this conference in that we did
15 not come with one prepared. So, with that, we're
16 willing to answer questions.

17 CHAIR MITCHELL: Thank you very much. Let
18 me check in with Commissioners. Questions for
19 Frontier? Commissioner Brown-Bland?

20 COMMISSIONER BROWN-BLAND: Actually, I
21 don't have much for you but I do have a couple. So,
22 has Frontier communicated with its customers that
23 use electric generators and rely on natural gas,
24 have you communicated with them about the

1 appropriate switching capabilities and operating
2 requirements in case you did have to curtail?

3 MR. STEELE: We do have communication with
4 those interruptible customers that we know that have
5 alternative means of energy. So, yes, we have
6 communicated with them and we try to do that
7 annually.

8 COMMISSIONER BROWN-BLAND: And when you
9 communicate or do you have specific policies and
10 procedures that are in place for them, those with
11 the electric generators?

12 MS. YOUNGER: For the electric generators
13 we don't. We do keep track on our feasibility
14 model. So, when our sales people go out and sign
15 people up, we do keep track if they have an electric
16 generator at that, you know, at that time. But we
17 do not have that data readily available in a
18 database that we can just pull and know exactly
19 where those generators are in the field. We haven't
20 signed any big customers up with that. I know
21 sometimes they'll come through and they're mostly
22 small commercial or residential, so.

23 COMMISSIONER BROWN-BLAND: Do you have
24 any, you know, general applicable, generally

1 applicable policies that you share with them or that
2 you would have them to -- procedures to go through
3 with respect to being prepared to curtail?

4 MS. YOUNGER: So the curtailment policies,
5 we do share those with our transportation customers,
6 but that's a little separate from the generator
7 customers. So, we do not have anything available
8 for the generator customers at this time.

9 COMMISSIONER BROWN-BLAND: All right. So,
10 no you don't have like a standard. It's more of a
11 case-by-case or whatever is needed.

12 MS. YOUNGER: Right.

13 COMMISSIONER BROWN-BLAND: Okay. And it
14 does get pretty cold in your territory, doesn't it?

15 MS. YOUNGER: It does.

16 COMMISSIONER BROWN-BLAND: So, you're
17 comfortable with operating at generally colder
18 temperatures than the other two LDCs that we heard
19 from?

20 MS. YOUNGER: We prepare our heaters. We
21 have kind of a winter preparedness, preparedness,
22 that we go through. So, we make sure our heaters
23 are ready. We supply them with like, um, different
24 procedures, so, annually.

1 COMMISSIONER BROWN-BLAND: And your
2 customers, as I recall you serve some farm customers
3 and it's critical to them that they not be without
4 heat?

5 MR. STEELE: That's correct.

6 COMMISSIONER BROWN-BLAND: So you oversee
7 or somehow advise them regarding their backup or
8 understand that they do have adequate backup.

9 MS. YOUNGER: They understand that if we
10 ever did have to curtail them, they do understand
11 that they are not interruptible so we're never going
12 to go and curtail them. I mean, but they might --
13 you know, we might have an outage through Transco,
14 but they are -- they do know that they are not a
15 transportation customer. So, if there is an outage,
16 there is an outage whether they have alternative
17 fuel or not, you know, we told them, so.

18 MR. STEELE: Some of the poultry farmers
19 do have backup some do not.

20 COMMISSIONER BROWN-BLAND: All right.
21 Thank you.

22 COMMISSIONER CLODFELTER: Talk a little
23 bit about what kind of arrangements you have for
24 operation of your own infrastructure in the event of

1 loss of electrical power. Do you have battery
2 backup? Do you have generators? What do you use to
3 back up your electricity supply for your own
4 infrastructure?

5 MS. YOUNGER: We do not have electric
6 supply to any of our infrastructure.

7 MR. STEELE: That's right.

8 COMMISSIONER CLODFELTER: Nothing?

9 MR. STEELE: Nothing.

10 MS. YOUNGER: But --

11 COMMISSIONER CLODFELTER: What about for
12 your -- I mean, Piedmont says they use batteries to
13 back up their monitoring and sensors. Do you do the
14 same?

15 MS. YOUNGER: We have battery powered, you
16 know, telemetry.

17 COMMISSIONER CLODFELTER: Okay. Same as
18 what Piedmont was telling us. Got it. Thank you.

19 COMMISSIONER HUGHES: We haven't talked
20 too much about customers that when they lose their
21 electricity the impact it has on gas. Are your gas
22 customers as independent of the electrical system as
23 you are, I mean, the farms? Do you see a big drop
24 when there are just even normal electric outages in

1 your area? It's more of curiosity, it's not --

2 MR. STEELE: I guess I'm not quite sure.
3 Restate your question again.

4 COMMISSIONER HUGHES: Oh, just when you --
5 when electricity goes out, you-all --

6 MR. STEELE: Right.

7 COMMISSIONER HUGHES: For example, for
8 farms, do they have any problem with their equipment
9 needing electricity and do they stop using gas when
10 they lose electricity?

11 MR. STEELE: We've not really experienced
12 anything. I can't say that we've ever had that
13 experience happen to any of our customers at
14 Frontier at this point. So, that's the best answer
15 I can give, because that's not happened.

16 COMMISSIONER HUGHES: Okay. Well, I know
17 my colleague has invested in a generator so he's
18 okay, and I'm not so I was just trying to learn --

19 MR. STEELE: You know, some of the poultry
20 farmers, as they said, they do have some of -- some
21 of them have some backup but not all of them.

22 COMMISSIONER HUGHES: And on the
23 residential side most of them don't probably, I
24 mean, even though they have gas at their house --

1 MR. STEELE: That's right.

2 COMMISSIONER HUGHES: -- they don't
3 have heat?

4 MR. STEELE: Right.

5 COMMISSIONER HUGHES: So it's --

6 MR. STEELE: Right.

7 CHAIR MITCHELL: One last call for
8 questions. Public Staff?

9 MR. NADER: No questions.

10 CHAIR MITCHELL: You-all may step down.
11 Thank you so much for being here with us today.

12 MR. STEELE: Thank you.

13 CHAIR MITCHELL: With that, we've come to
14 the end of our technical conference for the natural
15 gas and the electric utilities. Appreciate
16 everybody's preparation and participation today, and
17 we will be adjourned. Thank you very much.

18 (The proceedings were adjourned)

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings in the above-captioned matter were
taken before me, that I did report in stenographic
shorthand the Proceedings set forth herein, and the
foregoing pages are a true and correct transcription
to the best of my ability.

Kim T. Mitchell

Kim T. Mitchell

NORTH CAROLINA UTILITIES COMMISSION