

1 PLACE: Via Videoconference
2 DATE: Tuesday, June 1, 2021
3 DOCKET NO.: E-7, Sub 1250
4 TIME: 1:00 P.M. TO 2:38 P.M.
5 BEFORE: Chair Charlotte A. Mitchell, Presiding
6 Commissioner ToNola D. Brown-Bland
7 Commissioner Lyons Gray
8 Commissioner Daniel G. Clodfelter
9 Commissioner Kimberly W. Duffley
10 Commissioner Jeffrey A. Hughes
11 Commissioner Floyd B. McKissick, Jr.
12
13
14

15 IN THE MATTER OF:
16 Application of Duke Energy Carolinas,
17 LLC, Pursuant to N.C.G.S. 62-133.2 and
18 Commission Rule R8-55 Relating to Fuel
19 and Fuel-Related Charge Adjustments
20 for Electric Utilities
21
22
23
24

1 A P P E A R A N C E S:
2 FOR DUKE ENERGY CAROLINAS, LLC:
3 Robert W. Kaylor, Esq.
4 Law Office of Robert W. Kaylor, P.A.
5 353 E. Six Forks Road, Suite 260
6 Raleigh, North Carolina 27609
7
8 FOR SIERRA CLUB:
9 Gudrun Thompson, Esq.
10 Tirrill Moore, Esq.
11 Southern Environmental Law Center
12 601 West Rosemary Street, Suite 220
13 Chapel Hill, North Carolina 27516
14
15 FOR CAROLINA INDUSTRIAL GROUP
16 FOR FAIR UTILITY RATES III:
17 Jeffrey P. Gray, Esq.
18 Bailey & Dixon, LLP
19 P.O. Box 1351
20 Raleigh, North Carolina 27602-1351
21
22
23
24

1 A P P E A R A N C E S (Cont'd.):
2 FOR THE USING AND CONSUMING PUBLIC:
3 William E.H. Creech, Esq.
4 John Little, Esq.
5 Public Staff - North Carolina Utilities
6 4326 Mail Service Center
7 Raleigh, North Carolina 27699-4300

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

1	T A B L E O F C O N T E N T S	
2	E X A M I N A T I O N S	
3		PAGE
4	PANEL	
5	STEVE IMMEL, JOHN A. VERDERAME (Direct)	
6	Direct Examination by Mr. Kaylor.....	14
7	Cross Examination by Ms. Thompson.....	44
8	Cross Examination by Mr. Moore.....	64
9	Redirect Examination by Mr. Kaylor.....	66
10		
11	DEVI GLICK	
12	Direct Examination by.....	69
13	Cross Examination by.....	123
14		
15	JOHN A. VERDERAME (Rebuttal)	
16	Direct Examination by Mr. Kaylor.....	125
17	Cross Examination by Mr. Moore.....	127
18	Redirect Examination by Mr. Kaylor.....	153
19		
20	***See Reporter's Note on page 175 regarding	
21	testimony of excused witnesses.	
22		
23	BRYAN L. SYKES	
24	Testimony.....	175

1 T A B L E O F C O N T E N T S

2 E X A M I N A T I O N S (Cont'd.)

3 PAGE

4 KEVIN Y. HOUSTON

5 Testimony.....197

6

7 STEVEN D. CAPPS

8 Testimony.....207

9

10 JUNE CHIU

11 Affidavit.....222

12

13 DUSTIN R. METZ

14 Testimony.....230

15

16 T A B L E O F C O N T E N T S

17 E X H I B I T S

18 IDENTIFIED/ADMITTED

19 Verderame Exhibits 1-3.....31/68

20 (Confidential Verderame Exhibit 3

21 was filed under seal.)

22 Duke Energy Carolinas, LLC's Application.....--/68

23 (Confidential version filed under seal.)

24

1 T A B L E O F C O N T E N T S

2 E X H I B I T S (Cont'd.)

3 IDENTIFIED/ADMITTED

4 Exhibits DG-1 and DG-2.....74/125

5 (Confidential Exhibit DG-2 was

6 filed under seal.)

7 Sierra Club Cross Examination

8 Exhibit Number 1.....133/152

9 Sierra Club Cross Examination

10 Exhibit Number 2.....137/152

11 Sierra Club Cross Examination

12 Exhibit Number 3.....140/152

13 Sierra Club Cross Examination

14 Exhibit Number 4.....148/152

15 Sierra Club Cross Examination

16 Exhibit Number 5.....152/152

17 Sykes Exhibits 1-6 (Direct).....175/175

18 Sykes Revised Exhibits 1-4 (Supplemental)....175/175

19 Sykes Exhibits 5-6 (Supplemental).....175/175

20 Houston Exhibits 1-2.....197/197

21 Capps Confidential Exhibit 1.....207/207

22 (Filed under seal.)

23 Metz Exhibit 1.....230/230

24

1 P R O C E E D I N G S

2 CHAIR MITCHELL: All right. Good afternoon,
3 everyone. Let's come to order and go on the record,
4 please.

5 I'm Charlotte Mitchell, Chair of the North
6 Carolina Utilities Commission, and with me this afternoon
7 are the following Commissioners -- when I announce your
8 name, please indicate your presence -- Commissioner
9 Brown-Bland.

10 COMMISSIONER BROWN-BLAND: I'm here.

11 CHAIR MITCHELL: Commissioner Gray.

12 COMMISSIONER GRAY: Present.

13 CHAIR MITCHELL: Commissioner Clodfelter.

14 COMMISSIONER CLODFELTER: Yes. Good afternoon.

15 CHAIR MITCHELL: Commissioner Duffley.

16 COMMISSIONER DUFFLEY: Good afternoon.

17 CHAIR MITCHELL: Commissioner Hughes.

18 COMMISSIONER HUGHES: Good afternoon.

19 CHAIR MITCHELL: And Commissioner McKissick.

20 COMMISSIONER McKISSICK: Good afternoon.

21 Present.

22 CHAIR MITCHELL: I now call for hearing Docket
23 Number E-7, Sub 1250. On February 23rd, 2021, Duke
24 Energy Carolinas, LLC, to which I will refer to hereafter

1 as D-E-C, or DEC, filed confidential and public versions
2 of its Application to address the fuel and fuel-related
3 cost components of its electric utility rates, together
4 with the testimony and exhibits of Bryan Sykes, Kevin
5 Houston, John Verderame, Steve Immel, and Steven Capps.
6 The proceeding was assigned Docket Number E-7, Sub 1250.

7 On March 18th, the Commission issued its Order
8 Scheduling Hearing, Requiring Filing of Testimony,
9 Establishing Discovery Guidelines, and Requiring Public
10 Notice which, among other things, scheduled a public
11 witness hearing and an expert witness hearing for June
12 1st, to be held remotely -- both of which were to be held
13 remotely due to the COVID-19 pandemic.

14 The Carolina Utility Customer Assoc--- Carolina
15 Utility Customers Association, Inc., the North Carolina
16 Sustainable Energy Association, the Sierra Club, and the
17 Carolina Industrial Group for Fair Utility Rates III
18 petitioned for and were granted the right to intervene in
19 this proceeding. The Public Staff is also a party to the
20 proceeding by operation of North Carolina General Statute
21 62-15(d).

22 On March 29th, 2021, DEC filed supplemental
23 testimony and exhibits of Bryan Sykes.

24 On May 10th, 2021, the Public Staff filed a

1 Notice of Affidavit, the Affidavit of June Chiu, and the
2 direct testimony of Dustin Metz.

3 On May 17th, 2021, the Sierra Club filed
4 confidential and public versions of the direct testimony
5 and exhibits of Devi Glick.

6 On May 24th, 2021, DEC and the Public Staff
7 filed a Joint Motion to request that Company witnesses
8 Sykes, Houston, and Capps, and Public Staff witnesses
9 Chiu and Metz be excused from appearing at the expert
10 witness hearing, and that the prefiled testimony,
11 exhibits, and affidavits of the respective witnesses be
12 received into evidence and made a part of the record in
13 this matter. This motion was allowed by Order of the
14 Commission dated May 28, 2021.

15 On May 27th, 2021, DEC filed a motion
16 requesting that the public witness hearing scheduled for
17 this proceeding be canceled due to the fact that no
18 public witnesses had registered to testify, which motion
19 was allowed by Order of the Commission dated May 28th,
20 2021. Also on May 27th, 2021, DEC filed the rebuttal
21 testimony of John Verderame.

22 On May 25th and on May 27th, DEC filed
23 Affidavits of Publication for the initial public notice
24 and second public notice, as required by the Commission's

1 Scheduling Order in this matter.

2 All right. That brings us to today. Each of
3 the parties to the proceeding filed in this docket
4 consent to hold the evidentiary by -- the evidentiary
5 hearing by remote means.

6 Let me remind you, as we're conducting the
7 hearing remotely, please be mindful of not causing or
8 creating interference with my ability or with the court
9 reporter's ability to hear the witnesses or counsel.
10 Please do not unmute your microphone if you are not
11 speaking. If you must speak during the proceeding,
12 please indicate your name first so that the court
13 reporter and I can be certain as to who is speaking.

14 Okay. Let's get started. Pursuant to the
15 State Ethics Act, I remind all members of the Commission
16 of their duty to avoid conflicts of interest, and inquire
17 at this time as to whether any Commissioner has a known
18 conflict of interest with respect to the matters coming
19 before us this afternoon?

20 (No response.)

21 CHAIR MITCHELL: All right. The record will
22 reflect that no conflicts have been identified, so we'll
23 go ahead and proceed. I'll call upon the parties to
24 announce their appearances, beginning with DEC.

1 MR. KAYLOR: Chair Mitchell, Robert Kaylor
2 appearing on behalf of Duke Energy Carolinas.

3 CHAIR MITCHELL: All right. Good afternoon,
4 Mr. Kaylor. All right. Intervenors?

5 MS. THOMPSON: Good afternoon, Chair Mitchell,
6 members of the Commission. This is Gudrun Thompson
7 appearing on behalf of the Sierra Club, and with me is my
8 co-counsel Tirrill Moore, also appearing on behalf of the
9 Sierra Club.

10 CHAIR MITCHELL: Good afternoon, Ms. Thompson.

11 MR. CREECH: Good afternoon, Chair Mitchell,
12 and other members of the Commission. I'm William Zeke
13 Creech with the Public Staff, and joining me is John
14 Little, all on behalf of the Using and Consuming Public.

15 CHAIR MITCHELL: All right. Good afternoon,
16 Mr. Creech.

17 MR. GRAY: Madam Chairman, this is Jeff Gray
18 with the law firm of Bailey & Dixon, appearing on behalf
19 of the Intervenor Carolina Industrial Group for Fair
20 Utility Rates III, or CIGFUR III.

21 CHAIR MITCHELL: Good afternoon, Mr. Gray. Any
22 other counsel making an appearance today?

23 (No response.)

24 CHAIR MITCHELL: All right. Before we begin,

1 then, any preliminary matters that the Commission needs
2 to take up before we move into the hearing?

3 MR. KAYLOR: Chair Mitchell, Robert Kaylor on
4 behalf of Duke Energy. We would like to offer as a panel
5 for their direct testimony our witness Immel and
6 Verderame, and then -- because the parties indicate there
7 would be cross of both of them, and then we would like
8 for them to step down, and after Sierra witness Glick
9 testifies, we'd like to bring Mr. Verderame back for his
10 rebuttal testimony.

11 CHAIR MITCHELL: All right. Thank you, Mr.
12 Kaylor. Any objections to order of witnesses as proposed
13 by Mr. Kaylor? Ms. Thompson?

14 (No response.)

15 CHAIR MITCHELL: All right. I'm hearing no
16 objection, so Mr. Kaylor -- Ms. Thompson, there you are.
17 Any objection? Ms. Thompson, your video is going in and
18 out.

19 MS. THOMPSON: Sorry. I turned it on and then
20 turned it off again, Chair Mitchell. We have no
21 objection to that. Just one thing to note, we had
22 conferred with Duke counsel about having two attorneys
23 cross the panel, one for Mr. Immel and one for Verderame,
24 and counsel for Duke had indicated no objection to that,

1 and so with that, no objection to them being presented as
2 a panel.

3 CHAIR MITCHELL: Okay. Thank you, Ms.
4 Thompson.

5 MR. CREECH: No objection from the Public
6 Staff.

7 CHAIR MITCHELL: All right. Thank you, Mr.
8 Creech.

9 MR. GRAY: And no objection from CIGFUR.

10 CHAIR MITCHELL: All right. With that, we will
11 proceed. Mr. Kaylor, the case is with you.

12 MR. KAYLOR: Yes. We would call Steve Immel.
13 Mr. Immel?

14 MR. IMMEL: I'm here, Robert, yes.

15 CHAIR MITCHELL: All right. Mr. Kaylor, do you
16 want to call both of your witnesses? That way we can
17 affirm them at the same -- get them --

18 MR. KAYLOR: Yes. I will call Mr. Verderame,
19 also.

20 CHAIR MITCHELL: Okay. All right. Mr.
21 Verderame, let me make sure I -- there you are. Mr.
22 Immel, where are you on my screen? All right. There you
23 are, Mr. Immel.

24 JOHN A. VERDERAME and

1 STEVE IMMEL; Having first been duly affirmed,
2 Testified as follows:

3 CHAIR MITCHELL: All right, Mr. Kaylor.

4 MR. KAYLOR: Thank you.

5 DIRECT EXAMINATION BY MR. KAYLOR:

6 Q Mr. Immel, state your name and address for the
7 record, please.

8 A (Immel) Steve Immel. I work at Duke Energy at
9 -- located at 526 South Church Street in Charlotte, North
10 Carolina.

11 Q And in what capacity do you work for Duke
12 Energy?

13 A I am the Vice President of the Fleet Transition
14 Strategy.

15 Q And did you prefile testimony, direct
16 testimony, in this proceeding?

17 A Yes, sir. I did.

18 Q Do you have any additions or corrections to
19 that prefiled testimony?

20 A No, sir.

21 Q At this time, would you proceed to -- I believe
22 you made a summary of that. Would you proceed --

23 MR. KAYLOR: Well, first, I would ask the Chair
24 that that testimony be copied into the record as if given

1 orally.

2 CHAIR MITCHELL: All right, Mr. Kaylor.
3 Hearing no objection to your motion, the 12 pages of
4 direct testimony filed on February 23rd, 2021 by witness
5 Steve Immel shall be copied into the record as if given
6 orally from the stand.

7 MR. KAYLOR: Thank you.

8 (Whereupon, the prefiled direct
9 testimony of Steve Immel was copied
10 into the record as if given orally
11 from the stand.)

12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)
Application of Duke Energy Carolinas, LLC) **DIRECT TESTIMONY OF**
Pursuant to G.S. 62-133.2 and NCUC Rule) **STEVE IMMEL FOR**
R8-55 Relating to Fuel and Fuel-Related) **DUKE ENERGY CAROLINAS, LLC**
Charge Adjustments for Electric Utilities)

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Steve Immel and my business address is 526 South Church Street,
3 Charlotte, North Carolina.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am employed by Duke Energy and am the Vice President ("VP") of Fleet
6 Transition Strategy.

7 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL AND PROFESSIONAL**
8 **BACKGROUND.**

9 A. I graduated from the University of Kentucky with a Bachelor of Science degree
10 in Civil Engineering and a Masters of Business Administration from Queens
11 College. My career began with Duke Energy (d/b/a Duke Power) in 1980 as an
12 Associate Design Engineer. Since that time, I have held various roles of
13 increasing responsibility in corporate facilities, investment recovery, supply chain,
14 and operations areas, including the role of Hydro Manager; Station Manager at
15 Duke Energy Carolinas, LLC's ("DEC" or the "Company") Allen Steam Station
16 and then Marshall Steam Station. I was named VP of Duke Energy Indiana's
17 Midwest Regulated Operations in 2012 and VP of Outage and Project Services in
18 2014. In 2016, I was named to VP of Carolinas Coal Generation for the Company
19 and Duke Energy Progress, LLC. I assumed my current role in 2020.

20 **Q. WHAT ARE YOUR CURRENT DUTIES AS VP OF FLEET**
21 **TRANSITION STRATEGY?**

22 A. In this role, I am responsible for developing strategies to address various
23 integrated resource plan ("IRP") scenarios and related plans for the
24 Fossil/Hydro/Solar workforce.

1 **Q. HAVE YOU TESTIFIED BEFORE THIS COMMISSION IN ANY PRIOR**
2 **PROCEEDINGS?**

3 A. Yes. I testified before the North Carolina Utilities Commission on behalf of the
4 Company in its most recent general rate case in Docket No E-7, Sub 1214.

5 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
6 **PROCEEDING?**

7 A. The purpose of my testimony is to (1) describe DEC's Fossil/Hydro/Solar
8 generation portfolio and changes made since the 2020 fuel and fuel-related cost
9 recovery proceeding, as well as those expected in the near term, (2) discuss the
10 performance of DEC's Fossil/Hydro/Solar facilities during the test period of
11 January 1, 2020 through December 31, 2020 (the "test period"), (3) provide
12 information on significant Fossil/Hydro/Solar outages that occurred during the
13 test period, and (4) provide information concerning environmental compliance
14 efforts.

15 **Q. PLEASE DESCRIBE DEC'S FOSSIL/HYDRO/SOLAR GENERATION**
16 **PORTFOLIO.**

17 A. The Company's Fossil/Hydro/Solar generation portfolio consists of
18 approximately 15,043 megawatts ("MWs") of generating capacity, made up as
19 follows:

20	Coal-fired -	6,764 MWs
21	Steam Natural Gas -	170 MWs
22	Hydro -	3,277 MWs
23	Combustion Turbines ("CT") -	2,633 MWs
24	Combined Cycle Turbines ("CC")-	2,116 MWs

1 Solar - 71 MWs

2 Combined Heat and Power (“CHP”) - 13 MWs

3 The coal-fired assets consist of four generating stations with a total of 13 units.
4 These units are equipped with emissions control equipment, including selective
5 catalytic or selective non-catalytic reduction (“SCR” or “SNCR”) equipment for
6 removing nitrogen oxides (“NO_x”), and flue gas desulfurization (“FGD” or
7 “scrubber”) equipment for removing sulfur dioxide (“SO₂”). In addition, all 13
8 coal-fired units are equipped with low NO_x burners. The steam natural gas unit –
9 Lee Station (“Lee”) Unit 3 – is considered to be a peaking unit.

10 The Company has a total of 31 simple cycle CT units, of which 29 are
11 considered the larger group providing approximately 2,549 MWs of capacity.
12 These 29 units are located at Lincoln, Mill Creek, and Rockingham Stations, and
13 are equipped with water injection systems that reduce NO_x and/or have low NO_x
14 burner equipment in use. The Lee CT facility includes two units with a total
15 capacity of 84 MWs equipped with fast-start ability in support of DEC’s Oconee
16 Nuclear Station. The Company has 2,116 MWs of CC turbines, comprised of the
17 Buck CC, Dan River CC and W.S. Lee CC facilities. These facilities are equipped
18 with technology for emissions control, including SCRs, low NO_x burners, and
19 carbon monoxide/volatile organic compounds catalysts. The Company’s hydro
20 fleet includes two pumped storage facilities with four units each that provide a
21 total capacity of 2,220 MWs, along with conventional hydro assets consisting of
22 59 units providing approximately 1,057 MWs of capacity. The 71 MWs of solar
23 capacity are made up of 17 roof top solar sites providing 3 MWs of relative
24 summer dependable capacity, the Mocksville solar facility providing 6 MWs of

1 relative summer dependable capacity, the Monroe solar facility providing 22
2 MWs of relative summer dependable capacity, Woodleaf solar facility providing
3 2 MWs of relative summer dependable capacity, Gaston solar facility providing
4 10 MW of relative summer dependable capacity and Maiden Creek solar facility
5 providing 28 MW of relative summer dependable capacity. Finally, the Company
6 has the Clemson CHP that provides 12.5 MW of capacity.

7 **Q. WHAT CHANGES HAVE OCCURRED WITHIN THE**
8 **FOSSIL/HYDRO/SOLAR PORTFOLIO SINCE DEC'S 2019 FUEL AND**
9 **FUEL-RELATED COST RECOVERY PROCEEDING?**

10 A. Marshall Unit 3 was upgraded in November 2020 to allow for co-fired operation,
11 allowing utilization of coal and natural gas. Gaston solar facility went into service
12 in December 2020 and will provide the DEC territory with 10 MW of capacity.
13 Maiden Creek solar facility went into service in January 2021 and will provide the
14 DEC territory with 28 MW of capacity. Bad Creek Unit 2 was upgraded in
15 October 2020, increasing the unit's capacity by 80 MWs.

16 **Q. WHAT ARE DEC'S OBJECTIVES IN THE OPERATION OF ITS**
17 **FOSSIL/HYDRO/SOLAR FACILITIES?**

18 A. The primary objective of DEC's Fossil/Hydro/Solar generation department is to
19 provide safe, reliable and cost-effective electricity to DEC's customers.
20 Operations personnel and other station employees are well-trained and execute
21 their responsibilities to the highest standards in accordance with procedures,
22 guidelines, and a standard operating model.

23 The Company complies with all applicable environmental regulations and
24 maintains station equipment and systems in a cost-effective manner to ensure

1 reliability for customers. The Company also takes action in a timely manner to
2 implement work plans and projects that enhance the safety and performance of
3 systems, equipment, and personnel, consistent with providing low-cost power
4 options for DEC's customers. Equipment inspection and maintenance outages are
5 generally scheduled during the spring and fall months when customer demand is
6 reduced due to milder temperatures. These outages are well-planned and executed
7 in order to prepare the unit for reliable operation until the next planned outage in
8 order to maximize value for customers.

9 **Q. WHAT IS HEAT RATE?**

10 A. Heat rate is a measure of the amount of thermal energy needed to generate a given
11 amount of electric energy and is expressed as British thermal units ("Btu") per
12 kilowatt-hour ("kWh"). A low heat rate indicates an efficient fleet that uses less
13 heat energy from fuel to generate electrical energy.

14 **Q. WHAT HAS BEEN THE HEAT RATE OF DEC'S COAL UNITS DURING**
15 **THE TEST PERIOD?**

16 A. Over the test period, the average heat rate for DEC's coal fleet was 9,865
17 Btu/kWh. DEC's Rogers Energy Complex ("Cliffside"), Belews Creek Steam
18 Station ("Belews Creek"), and Marshall Steam Station ("Marshall") have
19 typically ranked as some of the most efficient coal-fired generating stations in the
20 nation, with heat rates of 9,519, Btu/kWh, 9,871 Btu/kWh, and 9,941 Btu/kWh,
21 respectively. For the test period, the Marshall units provided 35% of coal-fired
22 generation for DEC, with the Belews Creek units providing 31% and Cliffside
23 providing 31%.

1 **Q. HOW MUCH GENERATION DID EACH TYPE OF**
2 **FOSSIL/HYDRO/SOLAR GENERATING FACILITY PROVIDE FOR**
3 **THE TEST PERIOD AND HOW DOES DEC UTILIZE EACH TYPE OF**
4 **GENERATING FACILITY TO SERVE CUSTOMERS?**

5 A. The Company's system generation totaled 95 million MW hours ("MWhs") for
6 the test period. The Fossil/Hydro/Solar fleet provided 35 million MWhs, or
7 approximately 37% of the total generation. As a percentage of the total
8 generation, 16% was produced from coal-fired stations and approximately 15%
9 from CC operations, 1% from CTs, 2.5% from hydro facilities, and 0.16% from
10 solar.

11 The Company's portfolio includes a diverse mix of units that, along with
12 additional nuclear capacity, allows DEC to meet the dynamics of customer load
13 requirements in a cost-effective manner. Additionally, DEC has utilized the Joint
14 Dispatch Agreement, which allows generating resources for DEC and DEP to be
15 dispatched as a single system to enhance dispatching by allowing DEC customers
16 to benefit from the lowest cost resources available. The cost and operational
17 characteristics of each unit generally determine the type of customer load situation
18 (*e.g.*, base and peak load requirements) that a unit would be called upon, or
19 dispatched, to support.

20 **Q. HOW DID DEC COST EFFECTIVELY DISPATCH ITS DIVERSE MIX**
21 **OF GENERATING UNITS DURING THE TEST PERIOD?**

22 A. The Company, like other utilities across the U.S., has experienced a change in the
23 dispatch order for each type of generating facility due to continued favorable
24 economics resulting from low pricing of natural gas. Further, the addition of new

1 CC units within the Carolinas' portfolio in recent years has provided DEC with
2 additional natural gas resources that feature state-of-the-art technology for
3 increased efficiency and significantly reduced emissions. These factors promote
4 the use of natural gas and provide real benefits in cost of fuel and reduced
5 emissions for customers.

6 **Q. PLEASE DISCUSS THE OPERATIONAL RESULTS FOR DEC'S**
7 **FOSSIL/HYDRO/SOLAR FLEET DURING THE TEST PERIOD.**

8 A. The Company's generating units operated efficiently and reliably during the test
9 period. The following key measures are used to evaluate the operational
10 performance depending on the generator type: (1) equivalent availability factor
11 ("EAF"), which refers to the percent of a given time period a facility was available
12 to operate at full power, if needed (EAF is not affected by the manner in which
13 the unit is dispatched or by the system demands; it is impacted, however, by
14 planned and unplanned (*i.e.*, forced) outage time); (2) net capacity factor ("NCF"),
15 which measures the generation that a facility actually produces against the amount
16 of generation that theoretically could be produced in a given time period, based
17 upon its maximum dependable capacity (NCF *is* affected by the dispatch of the
18 unit to serve customer needs); (3) equivalent forced outage rate ("EFOR"), which
19 represents the percentage of unit failure (unplanned outage hours and equivalent
20 unplanned derated¹ hours); a low EFOR represents fewer unplanned outages and
21 derated hours, which equates to a higher reliability measure; and (4) starting
22 reliability ("SR"), which represents the percentage of successful starts. For 2021,

¹ Derated hours are hours the unit operation was less than full capacity.

1 the Company is including another measure to assess plant reliability—equivalent
 2 forced outage factor (“EFOF”)—which quantifies the number of period hours in
 3 a year during which the unit is unavailable because of forced outages and forced
 4 deratings.

5 The following chart provides operation results, as well as results from the
 6 most recently published North American Electric Reliability Council (“NERC”)
 7 Generating Availability Brochure (“NERC Brochure”) representing the period
 8 2015 through 2019 and is categorized by generator type. The NERC data reported
 9 represents an average of comparable units based on capacity rating. The data in
 10 the chart reflects DEC results compared to the NERC five-year averages.

<i>Generator Type</i>	<i>Measure</i>	<i>Review Period</i>	<i>2015 - 2019</i>	<i>Nbr of Units</i>
		<i>DEC Operational Results</i>	<i>NERC Average</i>	
<i>Coal-Fired Test Period</i>	EAF	72.3%	76.5%	705
	EFOR	15.1%	9.6%	
	EFOF	7.0%	n/a	
<i>Coal-Fired Summer Peak</i>	EAF	78.7%	n/a	n/a
<i>Total CC Average</i>	EAF	86.1%	84.9%	350
	NCF	73.1%	54.8%	
	EFOR	0.55%	4.9%	
	EFOF	0.48%	n/a	
<i>Total CT Average</i>	EAF	83.5%	86.9%	746
	SR	99.0%	98.4%	
<i>Hydro</i>	EAF	77.4%	79.9%	1,060

11
 12 **Q. PLEASE DISCUSS SIGNIFICANT OUTAGES OCCURRING AT DEC’S**
 13 **FOSSIL/HYDRO/SOLAR FACILITIES DURING THE TEST PERIOD.**

14 **A.** In general, planned maintenance outages for all fossil and larger hydro units are
 15 scheduled for the spring and fall to maximize unit availability during periods of
 16 peak demand. Most of these units had at least one small planned outage during
 17 this test period to inspect and maintain plant equipment.

1 In the Spring 2020, Cliffside Unit 5 performed a boiler outage. The
2 primary purpose of the outage was to perform Mercury and Air Toxics Standards
3 (“MATS”) boiler repairs, absorber recycle pump upgrade, turbine bearing
4 inspection and repairs, motor transformer replacement, and safety relief valves
5 inspection and repairs. Cliffside Unit 6 also performed a boiler outage. The
6 primary purpose of the outage was to perform MATS boiler repairs, turbine valve
7 inspections and repairs, and recirculating pump replacement. Marshall Unit 3
8 performed an outage to change out the burners for the Dual Fuel Optionality
9 (“DFO”) conversion project. The outage was stopped for the COVID-19
10 pandemic. The work re-commenced with updated health and safety measures in
11 place. Belews Creek Unit 1 performed an outage to repair the High Pressure and
12 Low-Pressure hydrogen coolers. Rockingham CT Unit 3 and Unit 4 performed an
13 outage to install new exhaust stack silencers. Lincoln CT Unit 1 through Unit 8
14 had an outage to perform switchyard work to tie in Unit 17. Lincoln CT Unit 13
15 and Unit 14 had an outage to upgrade generator breaker relay for NERC
16 compliance.

17 In the Fall 2020, Rockingham CT Unit 5 performed an outage to conduct
18 a hot gas path inspection. Buck CC had an outage to perform steam turbine
19 inspections, valve upgrades, gas turbine generator inspections, and high energy
20 piping inspections. Marshall Unit 3 had an outage to install the remaining gas
21 piping for the DFO project, install flame monitoring equipment, and install gas
22 igniters. Marshall Unit 4 had an outage to install gas burners for DFO project,
23 control upgrades, and inspection of high energy piping. Allen Unit 1 had an outage
24 to inspect and repair turbine oil coolers.

1 **Q. HOW DOES DEC ENSURE EMISSIONS REDUCTIONS FOR**
2 **ENVIRONMENTAL COMPLIANCE?**

3 A. The Company has installed pollution control equipment in order to meet various
4 current federal, state, and local reduction requirements for NO_x and SO₂
5 emissions. The SCR technology that DEC currently operates on the coal-fired
6 units uses ammonia or urea for NO_x removal. The SNCR technology employed
7 at Allen Station and Marshall Units 1, 2 and 4 injects urea into the boiler for NO_x
8 removal. All DEC coal units have wet scrubbers installed that use crushed
9 limestone for SO₂ removal. Cliffside Unit 6 has a state-of-the-art SO₂ reduction
10 system that couples a wet scrubber (*e.g.*, limestone) and dry scrubber (*e.g.*,
11 quicklime). SCR equipment is also an integral part of the design of the Buck, Dan
12 River and Lee CC Stations in which aqueous ammonia is introduced for NO_x
13 removal.

14 Overall, the type and quantity of chemicals used to reduce emissions at the
15 plants varies depending on the generation output of the unit, the chemical
16 constituents in the fuel burned, and/or the level of emissions reduction
17 required. The Company is managing the impacts, favorable or unfavorable, as a
18 result of changes to the fuel mix and/or changes in coal burn due to competing
19 fuels and utilization of non-traditional coals. Overall, the goal is to effectively
20 comply with emissions regulations and provide the optimal total-cost solution for
21 the operation of the unit. The Company will continue to leverage new
22 technologies and chemicals to meet both present and future state and federal
23 emission requirements including the MATS rule. MATS chemicals that DEC
24 uses when required to reduce emissions include, but may not be limited to,

1 activated carbon, mercury oxidation chemicals, and mercury re-emission
2 prevention chemicals. Company witness Sykes provides the cost information for
3 DEC's chemical use and forecast.

4 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

5 **A. Yes, it does.**

1 Q Mr. Immel, would you proceed with a summary of
2 your direct testimony?

3 A Yes, sir. The purpose of my testimony is to
4 describe DEC's fossil/hydro generation portfolio, discuss
5 the performance of DEC's fossil/hydro facilities during
6 the review period of January 1st, 2020 through December
7 31st, 2020, provide information on significant
8 fossil/hydro outages that occurred during the review
9 period, and discuss DEC's environmental compliance
10 efforts.

11 DEC's fossil/hydro generation portfolio
12 consists of approximately 15,043 MW of generating
13 capacity. This includes 6,764 MW of coal-fired
14 generation, 3,277 MW of hydroelectric generation, 2,633
15 MW of natural gas combustion turbine generation, 2,116 MW
16 of natural gas combined cycle generation, 170 MW of steam
17 natural gas, 71 MW of solar, and 13 MW of combined heat
18 and power.

19 The Company's fossil/hydro generating units
20 operated efficiently and reliably during the review
21 period. DEC's total system generation was 95 million
22 MWh, of which approximately 37 percent was provided by
23 the fossil/hydro fleet. The breakdown includes 16
24 percent contribution from coal-fired stations,

1 approximately 15 percent contribution from combined cycle
2 operations, 1 percent contribution from the CTs, the
3 combustion turbines, and 2.5 percent contribution from
4 the hydro facilities, and 0.2 of a percent from the solar
5 facilities. This concludes my direct testimony summary.

6 MR. KAYLOR: Thank you, Mr. Immel.

7 Q Mr. Verderame, would you please state your name
8 and address for the record, please?

9 A (Verderame) Good afternoon. My name is John
10 Verderame. I work for Duke Energy at 526 South Church
11 Street, Charlotte, North Carolina.

12 Q And in what capacity are you employed by the
13 Company?

14 A I'm the Vice President of the Fuels and Systems
15 Optimization Group.

16 Q And did you cause to have prefiled testimony
17 direct -- in this proceeding direct testimony consisting
18 of 11 pages?

19 A I did.

20 Q Do you have any additions or corrections to
21 that testimony?

22 A No, I don't.

23 Q And did you also have, I believe, three direct
24 exhibits; is that correct?

1 A That's correct.

2 Q And I believe one of those was confidential; is
3 that correct?

4 A That's correct.

5 MR. KAYLOR: Madam Chair, at this time I would
6 ask that the direct testimony of Mr. Verderame be copied
7 into the record as if given orally on the stand today.

8 CHAIR MITCHELL: All right, Mr. Kaylor.
9 Hearing no objection to that motion, the direct testimony
10 of Mr. Verderame, filed on February 23rd, 2021,
11 consisting of 11 pages, will be copied into the record as
12 if delivered orally from the stand.

13 MR. KAYLOR: And that his exhibits be
14 identified as they are marked.

15 CHAIR MITCHELL: And the three exhibits
16 attached to that testimony will be identified as marked
17 when prefiled, noting that one of them is confidential.

18 MR. KAYLOR: Thank you.

19
20
21
22
23
24
25

1 (Whereupon, the prefiled direct
2 testimony of John A. Verderame was
3 copied into the record as if given
4 orally from the stand.)

5 (Verderame Exhibits 1-2 and
6 Confidential Verderame Exhibit 3
7 were identified as premarked.)

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)	
Application of Duke Energy Carolinas, LLC)	DIRECT TESTIMONY OF
Pursuant to G.S. 62-133.2 and NCUC Rule)	JOHN A. VERDERAME FOR
R8-55 Relating to Fuel and Fuel-Related)	DUKE ENERGY CAROLINAS, LLC
Charge Adjustments for Electric Utilities)	

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is John A. Verderame. My business address is 526 South Church Street,
3 Charlotte, North Carolina 28202.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am employed as Vice President, Fuels & Systems Optimization for Duke Energy
6 Corporation (“Duke Energy”). In that capacity, I lead the organization responsible
7 for the purchase and delivery of coal, natural gas, fuel oil, and reagents to Duke
8 Energy’s regulated generation fleet, including Duke Energy Carolinas, LLC
9 (“Duke Energy Carolinas,” “DEC,” or the “Company”) and Duke Energy
10 Progress, LLC (“DEP”) (collectively, the “Companies”). In addition, I manage
11 the fleet’s power trading, system optimization, energy supply analytics, and
12 contract administration functions.

13 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL AND PROFESSIONAL**
14 **EXPERIENCE.**

15 A. I received a Bachelor of Arts degree in Economics from the University of
16 Rochester in 1983, and a Master’s in Business Administration in Finance from
17 Rutgers University in 1985. I have worked in the energy industry for 19 years.
18 Prior to that, from 1986 to 2001, I was a Vice President in the United States
19 (US) Government Bond Trading Groups at the Chase Manhattan Bank and
20 Cantor Fitzgerald. My responsibilities as a US Government Securities Trader
21 included acting as the Firm’s market maker in US Government Treasury
22 securities. I joined Progress Energy, in 2001, as a Real-Time Energy Trader.
23 My responsibilities as a Real-Time Energy Trader included managing the real-
24 time energy position of the Progress Energy regulated utilities. In 2005, I was

1 promoted to Manager of the Power Trading group. My role as manager
2 included responsibility for the short-term capacity and energy position of the
3 Progress Energy regulated utilities in the Carolinas and Florida.

4 In 2012, upon consummation of the merger between Duke Energy Corp.
5 and Progress Energy, Progress Energy became Duke Energy Progress and I was
6 named Managing Director, Trading and Dispatch. As Managing Director, Trading
7 and Dispatch I was responsible for Power and Natural Gas Trading and
8 Generation Dispatch on behalf of Duke Energy's regulated utilities in the
9 Carolinas, Florida, Indiana, Ohio, and Kentucky. I assumed my current position
10 in November 2019.

11 **Q. HAVE YOU TESTIFIED BEFORE THIS COMMISSION IN ANY PRIOR**
12 **PROCEEDING?**

13 A. No.

14 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
15 **PROCEEDING?**

16 A. The purpose of my testimony is to describe DEC's fossil fuel purchasing practices,
17 provide actual fossil fuel costs for the period January 1, 2020 through December
18 31, 2020 ("test period") versus the period January 1, 2019 through December 31,
19 2019 ("prior test period"), and describe changes projected for the billing period of
20 September 1, 2021 through August, 31 2022 ("billing period").

21 **Q. YOUR TESTIMONY INCLUDES THREE EXHIBITS. WERE THESE**
22 **EXHIBITS PREPARED BY YOU OR AT YOUR DIRECTION AND**
23 **UNDER YOUR SUPERVISION?**

1 A. Yes. These exhibits were prepared at my direction and under my supervision, and
2 consist of Verderame Exhibit 1, which summarizes the Company's Fossil Fuel
3 Procurement Practices, Verderame Exhibit 2, which summarizes total monthly
4 natural gas purchases and monthly contract and spot coal purchases for the test
5 period and prior test period, and Verderame Confidential Exhibit 3, which
6 summarizes the annual fuels related transactional activity between DEC and
7 Piedmont Natural Gas Company, Inc. ("Piedmont") for spot commodity
8 transactions during the test period, as required by the Merger Agreement between
9 Duke Energy and Piedmont.

10 **Q. PLEASE PROVIDE A SUMMARY OF DEC'S FOSSIL FUEL**
11 **PROCUREMENT PRACTICES.**

12 A. A summary of DEC's fossil fuel procurement practices is set out in Verderame
13 Exhibit 1.

14 **Q. HOW DOES DEC OPERATE ITS PORTFOLIO OF GENERATION**
15 **ASSETS TO RELIABLY AND ECONOMICALLY SERVE ITS**
16 **CUSTOMERS?**

17 A. Both DEC and DEP utilize the same process to ensure that the assets of the
18 Companies are reliably and economically available to serve their respective
19 customers. To that end, both companies consider factors that include, but are not
20 limited to, the latest forecasted fuel prices, transportation rates, planned
21 maintenance and refueling outages at the generating units, generating unit
22 performance parameters, and expected market conditions associated with power
23 purchases and off-system sales opportunities in order to determine the most
24 economic and reliable means of serving their respective customers.

1 **Q. PLEASE DESCRIBE THE COMPANY'S DELIVERED COST OF COAL**
2 **AND NATURAL GAS DURING THE TEST PERIOD.**

3 A. The Company's average delivered cost of coal per ton for the test period was
4 \$90.53 per ton, compared to \$82.11 per ton in the prior test period, representing
5 an increase of approximately 10%. The cost of delivered coal includes an average
6 transportation cost of \$35.07 per ton in the test period, compared to \$28.33 per ton
7 in the prior test period, representing an increase of approximately 24% and also
8 includes \$24.8 million in costs associated with the mitigation of coal contract
9 obligations related to COVID-19 load losses, as is described in more detail below.
10 The Company's average price of gas purchased for the test period was \$2.94 per
11 Million British Thermal Units ("MMBtu"), compared to \$3.40 per MMBtu in the
12 prior test period, representing a decrease of approximately 14%. The cost of gas
13 is inclusive of gas supply, transportation, storage and financial hedging.

14 DEC's coal burn for the test period was 5.9 million tons, compared to a
15 coal burn of 8.1 million tons in the prior test period, representing a decrease of
16 28%. The Company's natural gas burn for the test period was 135.4 MMBtu,
17 compared to a gas burn of 123.9 MMBtu in the prior test period, representing an
18 increase of approximately 9%.

19 As a result of load reduction from the COVID-19 pandemic, extremely
20 low natural gas prices, and mild winter weather, the Company experienced a
21 significant shift in generation from coal to natural gas. The COVID-19 pandemic
22 had an unprecedented and unanticipated impact on forecasted load in 2020,
23 which in turn reduced coal demand and required inventory mitigation beyond
24 the Company's typical no-cost mitigation measures. Influenced by the

1 operational realities from the pandemic, DEC burned significantly less coal than
2 anticipated, and customers benefited from greater utilization of lower-cost
3 natural gas.

4 Given the reduction in actual and forecasted coal usage for the balance
5 of 2020, the Company was required to evaluate alternatives to reduce its coal
6 contract obligations for 2020 that exceeded its consumption and storage
7 capabilities. The Company exercised and exhausted its rights to flex down
8 contractual obligations, defer tons, and optimize off-site storage opportunities
9 at no additional cost to the customer in order to address the excess coal due to
10 significant declines in demand related to COVID-19 related shut-downs. After
11 exhausting all of its no-cost contract mitigation options, it was necessary to
12 determine whether to force run coal generation or continue to maximize
13 customers savings by burning natural gas while negotiating to buy out for the
14 remaining balance of its excess 2020 coal obligations. The Company
15 determined through its production cost analysis that pursuing contractual
16 buyouts would result in projected customer savings of approximately \$22
17 million as compared with force running coal generation.

18 **Q. PLEASE DESCRIBE THE LATEST TRENDS IN COAL AND NATURAL**
19 **GAS MARKET CONDITIONS.**

20 A. Coal markets continue to be distressed and there has been increased market
21 volatility due to a number of factors, including: (1) deteriorated financial health
22 of coal suppliers due to declining demand for coal stemming from accelerated coal
23 retirements and overall declines in coal generation demand resulting from the
24 impacts of COVID-19 economic shutdowns in 2020; (2) continued abundant

1 natural gas supply and storage resulting in lower natural gas prices, which has
2 lowered overall domestic coal demand; (3) uncertainty around proposed, imposed,
3 and stayed U.S. Environmental Protection Agency (“EPA”) regulations for power
4 plants; (4) changing demand in global markets for both steam and metallurgical
5 coal; (5) uncertainty surrounding regulations for mining operations; (6) tightening
6 access to investor financing coupled with deteriorating credit quality is increasing
7 the overall costs of financing for coal producers; and, (7) corrections in
8 production levels in an attempt to bring coal supply in balance with demand.

9 With respect to natural gas, the nation’s natural gas supply has grown
10 significantly over the last several years and producers continue to enhance
11 production techniques, enhance efficiencies, and lower production costs. Natural
12 gas prices are reflective of the dynamics between supply and demand factors, and
13 in the short term, such dynamics are influenced primarily by seasonal weather
14 demand and overall storage inventory balances. While there continues to be
15 adequate natural gas production capacity to serve increased market demand,
16 pipeline infrastructure permitting and regulatory process approval efforts are
17 challenged due to increased reviews and interventions, which can delay and
18 change planned pipeline construction and commissioning timing. Specifically,
19 cancellation of the Atlantic Coast Pipeline which was terminated July 5, 2020 will
20 limit the Company’s access to low cost natural gas resources.

21 Over the longer term planning horizon, natural gas supply is projected to
22 continue to increase while the pipeline infrastructure needed to move the growing
23 supply to meet demand related to power generation, liquefied natural gas exports
24 and pipeline exports to Mexico is highly uncertain.

1 **Q. WHAT ARE THE PROJECTED COAL AND NATURAL GAS**
2 **CONSUMPTIONS AND COSTS FOR THE BILLING PERIOD?**

3 A. DEC's current coal burn projection for the billing period is 6.9 million tons,
4 compared to 5.9 million tons consumed during the test period. DEC's billing
5 period projections for coal generation may be impacted due to changes from, but
6 not limited to, the following factors: (1) delivered natural gas prices versus the
7 average delivered cost of coal; (2) volatile power prices; and (3) electric demand.
8 While coal burns are projected to increase, they remain well below historic coal
9 burns due to coal to gas switching resulting from changes in the coal rail
10 transportation rate structure forecasted to go into effect April 1, 2021. Combining
11 coal and transportation costs, DEC projects average delivered coal costs of
12 approximately \$63.95 per ton for the billing period compared to \$90.53 per ton in
13 the test period. This includes an average projected total transportation cost of
14 \$26.67 per ton for the billing period, compared to \$35.07 per ton in the test period.
15 This projected delivered cost, however, is subject to change based on, but not
16 limited to, the following factors: (1) exposure to market prices and their impact on
17 open coal positions; (2) the amount of non-Central Appalachian coal DEC is able
18 to consume; (3) performance of contract deliveries by suppliers and railroads
19 which may not occur despite DEC's strong contract compliance monitoring
20 process; (4) changes in transportation rates; and (5) potential additional costs
21 associated with suppliers' compliance with legal and statutory changes, the effects
22 of which can be passed on through coal contracts.

23 DEC's current natural gas burn projection for the billing period is
24 approximately 169.6 MMBtu, which is an increase from the 135.4 MMBtu

1 consumed during the test period. The net increase in DEC's overall natural gas
2 burn projections for the billing period versus the test period is primarily driven by
3 coal to gas switching as a result of the change in coal rail transportation rates that
4 are forecasted to go into effect April 1, 2021. While coal burns are projected to
5 increase, they remain well below historic coal burns. Increased gas burns are also
6 impacted by the inclusion of natural gas generation at Belews Creek Unit 2, and
7 Marshall Units 3 & 4 as a result of the dual fuel conversions being commercially
8 available over the course of the billing period, combined with lower forecasted
9 natural gas prices in the back half of the billing period. The current average
10 forward Henry Hub price for the billing period is \$2.86 per MMBtu, compared to
11 \$2.08 per MMBtu in the test period. Projected natural gas burn volumes will vary
12 based on factors such as, but not limited to, changes in actual delivered fuel costs
13 and weather driven demand.

14 **Q. WHAT STEPS IS DEC TAKING TO MANAGE PORTFOLIO FUEL**
15 **COSTS?**

16 A. The Company continues to maintain a comprehensive coal and natural gas
17 procurement strategy that has proven successful over the years in limiting average
18 annual fuel price changes while actively managing the dynamic demands of its
19 fossil fuel generation fleet in a reliable and cost effective manner. With respect to
20 coal procurement, the Company's procurement strategy includes: (1) having an
21 appropriate mix of term contract and spot purchases for coal; (2) staggering coal
22 contract expirations in order to limit exposure to forward market price changes;
23 and (3) diversifying coal sourcing as economics warrant, as well as working with
24 coal suppliers to incorporate additional flexibility into their supply contracts. The

1 Company conducts spot market solicitations throughout the year to supplement
2 term contract purchases, taking into account changes in projected coal burns and
3 existing coal inventory levels.

4 The Company has implemented natural gas procurement practices that
5 include periodic Request for Proposals and shorter-term market engagement
6 activities to procure and actively manage a reliable, flexible, diverse, and
7 competitively priced natural gas supply. These procurement practices include
8 contracting for volumetric optionality in order to provide flexibility in responding
9 to changes in forecasted fuel consumption. Lastly, DEC continues to maintain a
10 short-term financial natural gas hedging plan to manage fuel cost risk for
11 customers via a disciplined, structured execution approach.

12 Lastly, DEC procures long-term firm interstate and intrastate
13 transportation to provide natural gas to their generating facilities. Given the
14 Company's limited amount of contracted firm interstate transportation, the
15 Company purchases shorter term firm interstate pipeline capacity as available
16 from the capacity release market. The Company's firm transportation ("FT")
17 provides the underlying framework for the Company to manage the natural gas
18 supply needed for reliable cost-effective generation. First, it allows the Company
19 access to lower cost natural gas supply from Transco Zone 3 and Zone 4 and the
20 ability to transport gas to Zone 5 for delivery to the Carolinas' generation fleet.
21 Second, the Company's FT allows it to manage intraday supply adjustments on
22 the pipeline through injections or withdrawals of natural gas supply from storage,
23 including on weekends and holidays when the gas markets are closed. Third, it
24 allows the Company to mitigate imbalance penalties associated with Transco

1 pipeline restrictions, which can be significant. The Company's customers receive
2 the benefit of each of these aspects of the Company's FT: access to lower cost gas
3 supply, intraday supply adjustments at minimal cost, and mitigation of punitive
4 pipeline imbalance penalties.

5 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

6 A. Yes, it does.

7

1 Q Mr. Verderame, do you have a summary of your
2 direct testimony?

3 A I do.

4 Q Please proceed.

5 A In my direct testimony, I describe DEC's fossil
6 fuel purchasing practices, provided actual fossil fuel
7 cost for the period January 1, 2020 through December 31,
8 2020, the test period, versus the period January 1, 2019
9 through December 31, 2019, the prior test period, and
10 describe changes projected for the billing period of
11 September 1, '21 through August 31, 2022, the billing
12 period.

13 No party to this proceeding has filed testimony
14 recommending a disallowance of any cost incurred by DEC.

15 Q Does that conclude your summary?

16 A It does.

17 MR. KAYLOR: Chair Mitchell, at this time the
18 panel is available for cross examination.

19 CHAIR MITCHELL: All right, Mr. Kaylor. Ms.
20 Thompson, you all are up.

21 MS. THOMPSON: Thank you, Chair Mitchell.
22 Good afternoon, gentlemen. Gudrun Thompson representing
23 the Sierra Club in this proceeding.

24 MR. VERDERAME: Good afternoon.

1 MS. THOMPSON: All my questions are going to be
2 for you, Mr. Immel.

3 CROSS EXAMINATION BY MS. THOMPSON:

4 Q Mr. Immel, you are now -- your title is Vice
5 President of Fleet Transition Strategy for Duke Energy;
6 is that correct?

7 A (Immel) Yes, ma'am, uh-huh.

8 Q And you've held that position since 2020?

9 A Yes, ma'am.

10 Q Just prior to taking your current position, you
11 were Vice President of Carolinas Coal Generation for DEC
12 and DEP; is that right?

13 A That is correct. Yes, ma'am.

14 Q Now, is the Vice President of Fleet Transition
15 Strategy, your current position, was that a newly created
16 position at the time that you assumed that position?

17 A Yes. It was roughly in the April time frame of
18 2020. Yes, ma'am.

19 Q And was your old position eliminated or did
20 somebody else move into that position?

21 A Somebody else has moved into that position.
22 Yes, ma'am.

23 Q And who is that?

24 A That is Julie Turner.

1 Q Thank you. Mr. Immel, generation -- you
2 testified in your direct that generation from the
3 Company's coal-fired power plants accounted for about 16
4 percent of the Company's total coal generation in the
5 calendar year 2020 test period. Does that sound right?

6 A Yes, it does, uh-huh.

7 Q And then generation from Belews Creek,
8 Cliffside, and Marshall added up to about 97 percent of
9 coal-fired generation during that same test period?

10 A Subject to check, but yes, ma'am.

11 Q So does that mean -- just using lawyer
12 arithmetic, given that Allen is the only other plant on
13 system, does that -- would I be right in inferring that
14 the Allen units accounted for about three percent of
15 coal-fired generation during that period?

16 A That would be correct.

17 Q Okay. Now, you also testified that Belews,
18 Cliffside, and Marshall have typically ranked as some of
19 the most efficient coal-fired generating stations in the
20 nation. Do you recall that?

21 A I do, yes.

22 Q Now, when you say "typically," what time period
23 are you referring to?

24 A As recent as the past couple years, yes --

1 Q Okay. So that's --

2 A -- historically, yes.

3 Q Sorry. I didn't mean to cut you off.

4 A And also historically. They have -- they have
5 won efficiency awards for quite some time.

6 Q And so that -- when you say recently as the
7 past couple years, does that include the test period?

8 A I -- it would be subject to check, ma'am. I'm
9 not sure if the test period is in there.

10 Q Okay. So subject to check, so you're not
11 basing that -- when you say they typically ranked as some
12 of the most efficient coal-fired generating stations in
13 the nation, you're not basing that on specific
14 performance during the test period, that particular
15 statement?

16 A I'd have to go back and check it, yes.

17 Q Fair enough. Now, when the Company is making
18 decisions to commit and dispatch its coal plants, you're
19 not comparing your coal plants to other coal plants
20 around the country; you're comparing them with other
21 resources on the Company's system; isn't that right?

22 A Yes. We dispatch internally to the --
23 internally to the DEC/DEP system, correct.

24 Q Okay. And you just -- you had testified that

1 Belews, Cliffside, and Marshall were some of the most
2 efficient plants in the nation. When you say more
3 efficient or most efficient, does that mean in terms of
4 how much fuel the plant is burning?

5 A Yes. Efficiency would be measured by heat
6 rate, which is the amount of energy, thermal energy it
7 takes to convert to a kWh, so the efficiency or the heat
8 rate of those three facilities is extremely efficient
9 compared to the industry, yes.

10 Q So just in a layperson's term, if you have a
11 lower heat rate, you're burning less fuel, if you
12 produced --

13 A Less fuel, same amount of energy, yes.

14 Q Okay.

15 A Miles per --

16 Q Yes. That's a good analogy. Thank you. So
17 given that DEC has some of the most efficient coal units
18 in the country, you would expect to have some of the
19 lowest fuel cost per unit of generation among all coal
20 plants in the country, wouldn't you?

21 A I would -- I would think so, but I'm not -- I'm
22 not familiar with cost in comparison to the industry.

23 Q Now, you specifically call out Belews,
24 Cliffside, and Marshall as some of the most efficient

1 coal plants. I notice you omitted Allen. How do the
2 Allen units compare with the Company's other coal plants
3 in terms of efficiency?

4 A Allen is a -- is certainly an older facility.
5 Its heat rate is not as efficient as the plants you just
6 mentioned, so in terms of comparison, its heat rate is
7 not as good as -- it's not as efficient, much older
8 facility.

9 Q Now, you also discuss some of the key measures
10 that are used to evaluate the operational performance of
11 the Company's generating units. Do you recall that?

12 A Yes, ma'am. I do.

13 Q I'm going to ask you about just a couple of
14 those. One of those key measures is something called net
15 capacity factor; is that right?

16 A Yes. There is a measurement called net
17 capacity factor, yes.

18 Q And that fac--- that measure, abbreviated NCF,
19 measures the generation that a facility actually produces
20 against the amount of generation that theoretically could
21 be produced in a given time period. Does that sound
22 right?

23 A It does, uh-huh.

24 Q And that is -- so that's one -- just again,

1 that's one of the key measures that you identified in
2 your direct testimony for evaluating the operating --
3 operational performance of the Company's coal plants?

4 A No. I don't believe so.

5 Q Oh.

6 A The net capacity factor is not the measure of
7 performance. What I have said in testimony was the
8 measure of performance for things like equipment
9 availability factor, equivalent forced outage rate,
10 equivalent forced outage factor. Net capacity factor is
11 not a measurement of performance. It's a measurement of
12 how much the plant ran.

13 Q All right. Well, then, let's turn to page 8 of
14 your testimony, and maybe you can just clear this up for
15 me. If you could turn to page 8 of your prefiled direct
16 testimony, and there's a question at lines 6 and 7 of
17 that page.

18 A Yes. I'm on page 8. Yes. I see the question,
19 uh-huh.

20 Q Okay. So do you see where the question says
21 "Please discuss the operational results for DEC's
22 fossil/hydro/solar fleet during the test period"?

23 A Yes.

24 Q And then on lines 9 and 10, just below that,

1 there's a sentence that starts "The following key
2 measures are used to evaluate the operational
3 performance, depending on the generator type," and then
4 if you scroll down a little bit or read down a little bit
5 on line 14, net capacity factor is one of the measures
6 that are listed in that sentence. Do you see that?

7 A It does, and if I could -- if I could read a
8 couple sentences after where it mentions that, it says
9 "Net capacity factor, which measures the generation that
10 a facility actually produces against the amount of
11 generation that theoretically could be produced in a
12 given time period, based upon its maximum dependable
13 capacity. Net capacity factor is affected by the
14 dispatch of the unit to serve customer needs." So it is
15 a measure of how much it ran; it's not a measure of the
16 performance.

17 Q Okay.

18 A It's how it was economically dispatched, which
19 would tell you the capacity factor.

20 Q All right. I think I understand. What is the
21 -- well, just can you explain a little bit, then, what
22 that net capacity factor metric tells you, other than
23 just how much it ran? What's the significance of that?

24 A Well, it would -- it would have an impact on

1 things like our maintenance strategies around that unit.
2 And since it's not being called upon as frequently for
3 economic dispatch since it is not as efficient a unit as
4 others that were dispatched before it, it would change
5 our maintenance practices. We would perform less
6 frequent maintenance. It would be performed on run time
7 of equipment versus period time of equipment, so it would
8 impact our maintenance strategy for sure.

9 Q All right. Another one of the key measures
10 that you called out in that sentence that starts with
11 "The following key measures are used to evaluate the
12 operational performance" is the equivalent forced outage
13 rate, or EFOR. Does that sound right?

14 A Yes, it does.

15 Q And with the EFOR, am I correct that a lower
16 EFOR is better, in layperson's term?

17 A Yes. It is better, yes.

18 Q There's a table on -- if I could refer you to
19 page 9 of your testimony, there's a table on page 9 --
20 let me know when you're there.

21 A I'm there, uh-huh.

22 Q Okay. At the top, it's the third column from
23 the left, top row where it says Review Period, can you
24 just -- is the review period the test period, or what is

1 that review period?

2 A It would be the test period.

3 Q Okay. So that table on page 9 shows the EFOR
4 for the Company's coal fleet was higher than the NERC --
5 was higher during the test period, at 72.3 -- or sorry --
6 was -- hang on. Let me -- I think I'm getting tangled
7 up. EFOR. Yeah. There we go. Sorry. Wrong -- I had
8 the wrong percentage.

9 The EFOR there under Review Period for the
10 Company's coal fleet, 15.1 percent; is that right?

11 A That's correct.

12 Q And that EFOR was actually higher during the
13 test period than the number you're comparing it to, which
14 was the NERC average over the 2015 to 2019 period; is
15 that right?

16 A Yes, ma'am. That's correct.

17 Q Why was that?

18 A So, again, if I go back to a little bit of a
19 definition on equivalent forced outage rate, that is the
20 time a generator is forced out of availability due to
21 some type of mechanical issue, divided by the amount of
22 hours that the unit is available during the year. And so
23 we had two fairly significant events at two of our
24 generators that makes up probably 75 percent of that 15

1 percent forced outage number there. Both of them
2 happened at Marshall Station. Marshall Unit 3, we had a
3 spring planned outage. Planned outage -- a planned
4 generator outage means you're planning maintenance, it
5 doesn't impact this forced outage rate. It's planned.
6 However, if you -- if the outage runs longer than the
7 planned outage, then it's considered forced out, which
8 would have an impact on this.

9 So in the spring outage on Marshall 3, where we
10 were installing some of our dual fuel equipment, as you
11 recall, that's when the pandemic started, spring of last
12 year. And so when the pandemic started, there was an
13 attempt to work through that. Most of these were
14 contract resources. They were impacted by the pandemic.
15 It extended that outage period by some 45 days due to
16 availability of resources, due to -- due to the
17 efficiency of the workers not being able to work closely
18 together, so that had a dramatic impact -- that probably
19 had a 30 percent impact on that 15 percent number, just
20 that one outage.

21 And in the second significant outage, which
22 probably would make up for the other 40 -- another 40
23 percent of that 15 percent number, would be Marshall Unit
24 4, we had a short in the generator rotor which was fairly

1 catastrophic -- it melted copper and some other things --
2 and it ended up in an extended forced outage of
3 approximately 70 days.

4 So those two events alone would account for 75
5 percent of the 15 percent.

6 Q All right. Thank you. That's helpful. Let's
7 move on to another point you made in your direct
8 testimony. You mentioned the Joint Dispatch Agreement
9 between the Company and Duke Energy Progress, and you
10 note that the J-- the Joint Dispatch Agreement, or JDA,
11 allows generating resources for DEC and DEP to be
12 dispatched as a single system. The DEC customers benefit
13 from the lowest cost resources available. That was on
14 page 7 of your testimony. Does that sound right to you?
15 And I can refer you to the specific part, if you would
16 like. Page 7, lines 14 through 16. Mr. Immel, I believe
17 you're on mute.

18 A I'm sorry. Yes, ma'am. I see that.

19 Q Okay. Are you aware that the Company and Duke
20 Energy Progress filed reply comments with the Commission
21 this past Friday in the Integrated Resource Planning
22 docket, which is Docket E-100, Sub 165?

23 A I'm not aware of that, no.

24 Q Okay. Well, I will represent to you that they

1 did, and in those comments the Companies said that the
2 Commission's approval of the merger -- that would be the
3 merger between Duke Energy and Progress Energy -- was
4 conditioned upon the Joint Dispatch Agreement not being
5 interpreted as providing for or requiring a single
6 integrated electric system.

7 MR. KAYLOR: Objection. Not relevant to this
8 proceeding.

9 MS. THOMPSON: Chair Mitchell, may I be heard?

10 CHAIR MITCHELL: Yeah. Please do so, Ms.
11 Thompson.

12 MS. THOMPSON: Well, I was -- I had just asked
13 Mr. Immel about a point in his testimony where he says
14 the Joint Dispatch Agreement allows generating resources
15 for DEC and DEP to be dispatched as a single system,
16 which was a quote from his testimony, and so I believe it
17 is relevant that the Company, in a separate filing, said
18 that essentially the JDA cannot be interpreted to provide
19 for a single integrated electric system.

20 CHAIR MITCHELL: All right. Mr. Kaylor, did
21 you want to say something else?

22 MR. KAYLOR: Well, he just said he wasn't
23 familiar with that filing.

24 CHAIR MITCHELL: All right. I'm going to

1 overrule the objection. I'll allow the witness to answer
2 the question, to the best of his ability, and we'll give
3 the response the weight that it's due. So please proceed
4 to answer the question, assuming you remember it, Mr.
5 Immel.

6 A So could I ask you to repeat the question,
7 please?

8 Q I actually hadn't quite gotten to my question,
9 Mr. Immel. I was sort of setting it up. So you recall I
10 referred to the reply comments in the IRP docket. I'll
11 just repeat that quote and then I'll ask you my question,
12 if that's okay.

13 A That would be good.

14 Q Okay. So in those reply comments in the IRP
15 docket, the Company said that the Commission's approval
16 of the merger was conditioned upon the Joint Dispatch
17 Agreement not being interpreted as providing for or
18 requiring a single integrated electric system. So I'll
19 just ask you to accept that filing was made, subject to
20 check, and included that statement.

21 MR. KAYLOR: And I will continue with my
22 objection, Madam Chair.

23 CHAIR MITCHELL: All right. And I'll overrule
24 the objection again. Mr. Immel, please --

1 A Okay. So the question?

2 Q And so Mr. Immel, my question is, is it your
3 testimony that the Joint Dispatch Agreement allows the
4 generating resources for DEC and DEP to be dispatched as
5 a single system?

6 A So my response would be -- the best of my
7 ability, the response is unit commitment and dispatch is
8 determined per DEC and DEP jurisdictions. And so the
9 day-ahead planning, the amount of reserve margin that's
10 required is looked at in the individual jurisdictions.
11 It's not looked at in total. It's looked at in
12 individual DEC and DEP jurisdictions, and the units are
13 dispatched in those individual jurisdictions. This
14 comment about the Joint Dispatch Agreement, when we have
15 those opportunities and we have enough transmission
16 capabilities to share energy back and forth is when we do
17 that, so that would be the way I would respond.

18 Q So you've actually anticipated, and I think
19 answered, all my other questions I was going to ask you,
20 but let me just make sure -- let me just confirm a couple
21 things. So the Company and DEP do not have a reserve
22 sharing agreement, correct?

23 A The what? Pardon?

24 Q DE Carolinas and DE Progress do not have any

1 kind of reserve sharing agreement, correct?

2 A Not that I'm aware of.

3 Q And they also do not share firm capacity,
4 right?

5 A Not that I'm aware of.

6 Q So I think I just understood you to say, when
7 you were explaining, that under the Joint Dispatch
8 Agreement, what's happening there is really energy only
9 is being exchanged between the two Companies?

10 A That is my understanding. That would be a very
11 good question to ask the next witness, Mr. Verderame --

12 Q Okay. And then --

13 A -- yes.

14 Q Thank you. And then I think you also answered,
15 but I want to make sure that I understood you, that the
16 Company conducts its realtime dispatch on its own system,
17 not -- it does not do that based on the entire or a
18 combined DE Carolinas and DEP system, correct?

19 A Again, that would be my response because there
20 are transmission constraints between the two
21 jurisdictions, but yes, ma'am.

22 Q Okay. And then same answer for the commitment
23 of units, that would be based on the DE Carolinas system
24 and not for the entire -- for a combined system?

1 A Again, my understanding, that is correct.

2 Q Okay. Now, you also testify about a change in
3 the dispatch order for each type of generating facility.
4 This is on page 7 of your testimony, lines 22 to 23.
5 Just let me know when you're there.

6 A Yes. I'm there, uh-huh.

7 Q And you say that due to essentially low natural
8 gas prices, right?

9 A That's correct. Again, we -- the dispatch, the
10 incremental dispatch is based on the variable cost which
11 is, well, for the most part fuel and reagent. That's
12 correct.

13 Q Now, so during the test period, calendar year
14 2020, what did that change in the dispatch order look
15 like, just in kind of layperson's terms or directionally?

16 A Well, and I don't know how many years -- when
17 you say "change," are you talking about change from 2019
18 to '20 or 2015 to 2020? It's been a gradual change, but
19 as gas prices have continued to fall, and as we have
20 added newer technologies to the DEC fleet, for example,
21 W.S. Lee combined cycle, between the efficiency of the
22 new technology and the gas price it will start impacting
23 how we dispatch coal. Thus, Allen Station, which used to
24 be baseload with a high capacity factor, as you mentioned

1 earlier, the capacity factors have dropped because it's a
2 lower -- a less efficient unit.

3 Q So would you just -- I think I'm understanding
4 you to say that there's been a change underway for some
5 time in how units are dispatched due to changing
6 economics of natural gas, and would you say that trend
7 just continued during the test period or, you know,
8 accelerated? Was there any change in that trendline?

9 A Well, I think rather than guess, we could
10 probably get you the data. I think John Verderame would
11 be a good witness to have that data, you know, more
12 readily available, but, yeah, I would say certainly over
13 time gas prices have -- over a period of time have
14 continued to decline, and we've added higher efficient
15 technology generation through our fleet which changes, as
16 I mentioned before, the dispatch, of how we dispatch.

17 Q And essentially you're dispatching coal units
18 less?

19 A It all depends on that fuel price, you know. A
20 good example is where we have added the capability to
21 burn gas at a couple of our coal facilities. In fact, we
22 burn gas if that fuel is less costly than coal at a
23 period of time. So it depends a lot on the cost of the
24 fuel. It depends a considerable amount on the cost of

1 the fuel, yes.

2 Q And just one other point on this, related to
3 this. You mention -- let me see, where is it? It's on
4 page -- towards the top of page 7 -- sorry -- page 8 of
5 your direct, line 4 and 5. You mention benefits, fuel
6 benefits in cost of fuel and reduced emissions for
7 customers. Do those benefits come from primarily
8 dispatching coal units less and so you have lower
9 emissions, lower fuel cost and less emissions as a
10 result?

11 A Yes. If you dispatch more of the combined
12 cycle fleet, less CO2 emissions and certainly less cost
13 for the -- to the customer.

14 Q All right. Just one last couple of questions
15 -- or a few more questions for you on another statement
16 that you made in your direct. This is on page 11 of your
17 direct testimony. Starting on line 17 -- I'll let you
18 get there. Let me know when you're there.

19 A Okay. I am there.

20 Q So you say "The Company is managing the
21 impacts, favorable or unfavorable, as a result of changes
22 to the fuel mix and/or changes in coal burn due to
23 competing fuels and utilization of non-traditional coals.
24 Overall, the goal is to effectively comply with emissions

1 regulations and provide the optimal total-cost solution
2 for the operation of the unit." I would just like to
3 unpack that a little bit. When you say changes to fuel
4 mix and favorable or unfavorable impacts, what are you
5 talking about there?

6 A Well, I would go back up to the top of that
7 page at the question that reads "How does DEC ensure
8 emissions reductions for environmental compliance?" So
9 favorable would mean if we were burning gas vers--- in a
10 combined cycle versus coal. Certainly, there would be
11 less CO2 emissions. That's favorable. Unfavorable would
12 be if we were burning more coal based on prices in terms
13 of CO2 emissions, but at the same time we continue to be
14 compliant with -- whatever fuel we're burning, we're
15 going to comply with the regulations.

16 Q Okay. Similar question for changes in the coal
17 burn. You talk a little bit about the impacts, favorable
18 or unfavorable, due to changes in the coal burn?

19 A Again, the favorable and unfavorable, it would
20 relate to the -- to the emissions question, so favorable
21 being less CO2 emissions versus unfavorable would be more
22 CO2 emissions, but --

23 Q And --

24 A -- the customer -- you know, again, we're going

1 to burn the most efficient and less cost fuel. Customers
2 benefit.

3 Q That actually anticipates what I think might be
4 my last question or maybe last couple questions. You use
5 the term "optimal total-cost solution." What do you mean
6 by that?

7 A Point me to the line.

8 Q Oh, sorry. It's on line -- line 20 on page 11,
9 "the optimal total-cost solution for the operation of the
10 unit."

11 A So the optimal solution today is around cost
12 and compliance, and so when we burn coal, it takes
13 different reagents to ensure our air permits are met, as
14 well as burning, you know, that type fuel. When we burn
15 a different fuel, there's different reagents that are
16 required, so it's the total optimal use of fuel and
17 reagents to comply and reduce emissions.

18 Q Okay. I think I understand. So the total --
19 your use of the word "total" there is intended to embrace
20 both the fuel and the fuel-related costs --

21 A Yes, ma'am.

22 Q -- correct? And you have -- and that's -- you
23 mention that in your testimony because of the Company's
24 obligation to operate its units to minimize the fuel and

1 fuel-related cost for the benefit of customers?

2 A Yes, ma'am.

3 Q All right. Okay.

4 MS. THOMPSON: Thank you. Thank you, Mr.

5 Immel. That's all I have for you today, or all I have

6 for you in this proceeding.

7 THE WITNESS: Thank you.

8 MS. THOMPSON: Thank you, Chair Mitchell. I

9 will turn it over to my colleague Mr. Moore.

10 CHAIR MITCHELL: All right. Mr. Moore, you may

11 proceed.

12 MR. MOORE: Thank you, Chair Mitchell. Good

13 afternoon, Mr. Verderame. I just have a couple questions

14 for you. I think the majority of mine are going to be

15 looking at your rebuttal testimony.

16 CROSS EXAMINATION BY MR. MOORE:

17 Q Has the Company looked at ways to replace the

18 transportation service that would have been provided by

19 the Atlantic Coast Pipeline?

20 MR. KAYLOR: Madam -- Chair Mitchell, I thought

21 we were going to do the rebuttal later.

22 MR. MOORE: Yes. I'm sorry, Mr. Kaylor. This

23 is concerning his direct testimony. The remainder of my

24 questions will be later.

1 MR. KAYLOR: Okay.

2 CHAIR MITCHELL: All right. Mr. Moore, you may
3 proceed.

4 Q Do you want me to repeat that, Mr. Verderame?

5 A (Verderame) No. That's fine, Mr. Moore. So
6 yes. I think the Company recognizes that it has an
7 incremental need for interstate, upstream firm
8 transportation capacity and, you know, we are in
9 discussions with several counterparties. We've made no
10 decisions or have come to no definitive conclusions or
11 agreements.

12 Q Has the Company looked at acquired capacity on
13 the Mountain Valley Pipeline?

14 A So Mountain Valley Pipeline is certainly one of
15 the counterparties that we are having discussions with.

16 Q In your testimony on page 10, you stated that
17 firm transportation capacity is important, as it allows
18 the Company to avoid imbalance penalties on the Transco
19 Pipeline; is that correct?

20 A That's correct.

21 Q Has the Company incurred any imbalance
22 penalties during the test year?

23 A No, and we work very hard to not incur
24 penalties.

1 Q Did the Company experience any service
2 disruptions during the test period due to inadequate
3 natural gas supply?

4 A No, we did not, not during the test period, no.

5 Q Okay.

6 MR. MOORE: That's all my questions for Mr.
7 Verderame's direct.

8 CHAIR MITCHELL: All right. Redirect, Mr.
9 Kaylor?

10 MR. KAYLOR: Thank you. Just one or two
11 questions for Mr. Immel.

12 REDIRECT EXAMINATION BY MR. KAYLOR:

13 Q If you could, turn to page 9 again to the chart
14 where you were asked some questions on, Mr. Immel.

15 A (Immel) Yes, sir. I'm there.

16 Q So you were asked some questions about the NERC
17 average for the time period 2015 to 2019. Now, that 2019
18 obviously does not include the pandemic year that we
19 started in in 2020; is that correct?

20 A That is correct. Yes, sir.

21 Q And you did indicate that COVID and the
22 pandemic did have some impact on your ability to bring in
23 outside contractors and to perform work at the same level
24 as you would have but for that experience; is that

1 correct?

2 A That is correct. Yes, sir.

3 Q And I believe you mentioned with regard to the
4 review period for the coal-fired EFOR, which was the
5 forced outage rates, that the 15 percent on the DEC
6 system would have been probably 5 percent had it not been
7 for the outages at Marshall 3 and 4; is that correct?

8 A That is correct. Yes, sir.

9 Q Thank you.

10 MR. KAYLOR: No other questions for our panel.

11 CHAIR MITCHELL: All right. Questions for the
12 panel from Commissioners?

13 (No response.)

14 CHAIR MITCHELL: All right. I'm hearing no
15 questions for the panel, so gentlemen, you are relieved
16 for the time being. You may step down. And I'll
17 entertain a motion, Mr. Kaylor.

18 MR. KAYLOR: Yeah. I would move that Mr. Immel
19 be excused from the hearing since he did not have any
20 rebuttal testimony, so the rebuttal will just be Mr.
21 Verderame, and I would also move that the exhibits that
22 were marked for identification be admitted into the
23 record at this time.

24 CHAIR MITCHELL: All right, Mr. Kaylor.

1 Hearing no objection to your motion, as to the exhibits
2 to Mr. Verderame's testimony, those exhibits will be
3 admitted into the record.

4 (Whereupon, Verderame Exhibits 1
5 through 3 were admitted into
6 evidence. Confidential Verderame
7 Exhibit 3 was filed under seal.)

8 CHAIR MITCHELL: All right. Also, your motion
9 that the witness be allowed to step down is granted.

10 (Witness Immel excused.)

11 CHAIR MITCHELL: Anything else, Mr. Kaylor?

12 MR. KAYLOR: Thank you. I would ask also that
13 the Company's Application which we filed in this be
14 admitted into the record, also.

15 CHAIR MITCHELL: All right. Hearing no
16 objection to that motion, Mr. Kaylor, it is allowed.
17 I'll note for purposes of the record that the Company
18 filed both confidential and redacted versions of that
19 application, so we need to take care that confidential
20 information is redacted from the transcript, as
21 appropriate.

22 (Whereupon, Duke Energy Carolinas,
23 LLC's Application was admitted into
24 evidence. The confidential version

1 was filed under seal.)

2 MR. KAYLOR: Thank you, Chair Mitchell. And

3 that would conclude the Company's direct case.

4 CHAIR MITCHELL: All right. With that, I will

5 turn to Ms. Thompson, Mr. Moore.

6 MS. THOMPSON: Yes, Chair Mitchell. The Sierra

7 Club calls Ms. Devi Glick to the stand.

8 CHAIR MITCHELL: All right. Ms. Glick, let's

9 go ahead and get you under oath.

10 DEVI GLICK; Having first been duly affirmed,

11 Testified as follows:

12 CHAIR MITCHELL: All right. Thank you. Ms.

13 Thompson, you may proceed.

14 DIRECT EXAMINATION BY MS. THOMPSON:

15 Q Ms. Glick, could you please state your name and

16 business address for the record?

17 A My name is Devi Glick. I work at Synapse

18 Energy Economics, 485 Massachusetts Ave., Cambridge,

19 Massachusetts.

20 Q And did you cause to be prefiled in this docket

21 on May 17th, 2021, confidential and public versions of

22 your direct testimony consisting of 43 pages?

23 A I did.

24 MS. THOMPSON; And Chair Mitchell, I am just

1 going to -- before I move on, I'm going to just -- I
2 should have probably raised this during preliminary
3 matters, but we just -- the Sierra Club just today filed
4 corrected versions of -- in both confidential and public
5 versions of corrections to Ms. Glick's testimony. Rather
6 than have her walk us through those from the witness
7 stand, I -- they have been served upon the parties, and
8 then I emailed a copy to Ms. Fennell as well, so just
9 want to inquire whether the Commission has received
10 those.

11 CHAIR MITCHELL: All right. Thank you, Ms.
12 Thompson. I have seen them in the docket, and so we will
13 treat them at this point as having been filed.

14 MS. THOMPSON: Okay.

15 Q Ms. Glick, did you also cause to be prefiled in
16 this docket today a corrected version of your direct
17 testimony in both confidential and public versions?

18 A I did, yes.

19 Q Along with redlined versions showing the
20 corrections?

21 A Yes.

22 Q And without going -- without going into
23 anything confidential, could you just very briefly
24 explain the reason for and just the nature of the

1 corrections?

2 A Yes. I updated my analysis that calculates the
3 cost, the fuel cost incurred during the test period to
4 reflect the average cost of both coal and natural gas.

5 Q All right. And why did you do that?

6 A The testimony originally used just the average
7 cost of coal.

8 Q Okay. Ms. --

9 MS. THOMPSON: Oh. Mr. Kaylor.

10 MR. KAYLOR: Chair Mitchell, I would point out
11 at this time that we did receive this about, I guess, 45
12 minutes before the hearing so we haven't had time to
13 review it. It may not be anything that we would take
14 issue with, but I just would like to point out that we
15 haven't had the ability to go in and follow up with any
16 discovery on what, in essence, is new testimony. It may
17 be that it's being filed as a result of errors that we
18 pointed out in our rebuttal, but that being the case, I
19 assume we'll move forward from there.

20 MS. THOMPSON: Chair Mitchell, may I be heard?

21 CHAIR MITCHELL: You may.

22 MS. THOMPSON: I think it's fairly common for
23 witnesses to make corrections to their testimony that
24 have been -- they they've either discovered upon further

1 review or that have been brought to light for some
2 reason, so this is not any -- any different from that,
3 except that for the convenience of the parties and for
4 the Commission, we elected to file those, you know, as
5 errata rather than having Ms. Glick go through all the
6 corrected numbers from the stand.

7 CHAIR MITCHELL: All right. Thank you, Ms.
8 Thompson. Mr. Kaylor, I recognize that you've just
9 received this only minutes ago, so you obviously have the
10 opportunity to explore this with the witness on cross
11 examination, and we'll recognize your right to do so when
12 we get there.

13 MR. KAYLOR: Thank you.

14 CHAIR MITCHELL: Uh-huh.

15 MS. THOMPSON: So I lost track of where I was.

16 Q Okay. If the questions to you -- if the
17 questions put to you in your corrected prefiled direct
18 testimony were asked at the hearing today, would your
19 answers be the same?

20 A Yes, they would.

21 Q Great.

22 MS. THOMPSON: Chair Mitchell, I would move to
23 have Ms. Glick's corrected prefiled direct testimony
24 entered into the record as though given orally from the

1 stand, and to have the confidential version thereof
2 remain under seal.

3 CHAIR MITCHELL: All right. Hearing no
4 objection to that motion, it's allowed, Ms. Thompson.

5 Q MS. THOMPSON: And Ms. Glick, did you also
6 cause to be prefiled two exhibits marked as DG-1 and
7 Confidential DG-2, the latter of which was filed under
8 seal?

9 A Yes.

10 Q And were those exhibits prepared by you or
11 under your direction?

12 A Yes, they were.

13 Q Okay.

14 MS. THOMPSON: Chair Mitchell, I would move to
15 have the exhibits attached to Ms. Glick's prefiled direct
16 testimony identified as premarked, and to have them moved
17 into evidence with Confidential Exhibit DG-2 being
18 entered into evidence under seal.

19 CHAIR MITCHELL: All right, Ms. Thompson.
20 We'll hold off on admitting them into the record for the
21 time being, but we will identify them as they were when
22 they were prefiled, as they were marked when prefiled.

23 MS. THOMPSON: Thank you.

24

25

1 (Whereupon, the corrected direct
2 testimony of Devi Glick was
3 copied into the record as if
4 given orally from the stand. The
5 confidential version was filed
6 under seal.)

7 (Whereupon, Exhibit DG-1 and
8 Confidential Exhibit DG-2 were
9 identified as premarked.)
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

**IN THE MATTER OF)
APPLICATION OF DUKE ENERGY)
CAROLINAS, LLC PURSUANT TO)
N.C.G.S. § 62-133.2 AND)
COMMISSION RULE R8-5)
RELATING TO FUEL AND FUEL-)
RELATED CHARGE ADJUSTMENTS)
FOR ELECTRIC UTILITIES)**

**DIRECT TESTIMONY OF
DEVI GLICK ON BEHALF OF
THE SIERRA CLUB**

TABLE OF CONTENTS

LIST OF TABLES2

1. Introduction and purpose of testimony3

2. Findings and recommendations8

3. DEC controls and coordinates the commitment and dispatch of its coal-fired
generating units.12

4. DEC’s coal fleet operated at an average cost that exceeded the marginal system cost
for nearly all of 2020.....18

5. DEC excluded over 40 percent of the fuel and variable costs incurred at its coal units
from its unit commitment and dispatch decision-making process24

6. DEC incurred \$8.5 million in avoidable unit costs at its coal plants as a result of
uneconomic unit commitment decisions.30

7. Recommendations for the Commission40

LIST OF TABLES

Table 1: 2020 Annual Capacity Factors for DEC Coal Units.....19

Table 2: CONFIDENTIAL Average Cost of Generation relative to Average System
Lambda (\$/MWh).....21

Table 3: DEC's coal unit costs relative to other solid-fuel plants in the U.S. in 2020.....24

Table 4: Total Production Costs incurred by DEC’s Coal Fleet in 2020 (\$Million).....26

Table 5: Operational costs in excess of system lambda (\$Million).....38

1 **1. INTRODUCTION AND PURPOSE OF TESTIMONY**

2 **Q Please state your name and occupation.**

3 **A** My name is Devi Glick. I am a Senior Associate at Synapse Energy Economics,
4 Inc. (“Synapse”). My business address is 485 Massachusetts Avenue, Suite 3,
5 Cambridge, Massachusetts 02139.

6 **Q Please describe Synapse Energy Economics.**

7 **A** Synapse is a research and consulting firm specializing in energy and
8 environmental issues, including electric generation, transmission and distribution
9 system reliability, ratemaking and rate design, electric industry restructuring and
10 market power, electricity market prices, stranded costs, efficiency, renewable
11 energy, environmental quality, and nuclear power.

12 Synapse’s clients include state consumer advocates, public utilities
13 commission staff, attorneys general, environmental organizations, federal
14 government agencies, and utilities.

15 **Q Please summarize your work experience and educational background.**

16 At Synapse, I conduct economic analysis and write testimony and publications
17 that focus on a variety of issues related to electric utilities. These issues include
18 power plant economics, utility resource planning practices, valuation of
19 distributed energy resources, and utility handling of coal combustion residuals
20 waste. I have submitted expert testimony on unit-commitment practices, plant

1 economics, utility resource needs, and solar valuation before state utility
2 regulators in North Carolina, Arizona, Connecticut, Florida, Indiana, Michigan,
3 New Mexico, South Carolina, Texas, Wisconsin, and Virginia. In the course of
4 my work, I develop in-house electricity system models and perform analysis using
5 industry-standard electricity system models.

6 Before joining Synapse, I worked at Rocky Mountain Institute, focusing
7 on a wide range of energy and electricity issues. I have a master's degree in public
8 policy and a master's degree in environmental science from the University of
9 Michigan, as well as a bachelor's degree in environmental studies from
10 Middlebury College. I have more than eight years of professional experience as a
11 consultant, researcher, and analyst. A copy of my current resume is attached as
12 Exhibit DG-1.

13 **Q On whose behalf are you testifying in this case?**

14 **A** I am testifying on behalf of the Sierra Club.

15 **Q Have you testified previously before the North Carolina Utilities Commission**
16 **(“Commission”)?**

17 Yes, I submitted testimony in Docket No. E-100, Sub 158, the 2018 biennial
18 proceeding regarding avoided cost rates.

1 **Q What is the purpose of your testimony in this proceeding?**

2 My testimony addresses the analysis and decision-making processes Duke Energy
3 Carolinas’ (“DEC” or the “Company”) uses to commit (turn on, keep on, or turn
4 off) and dispatch (turn up or down once a unit is committed) its coal-fired power
5 plants. In particular, I evaluate the production costs that DEC reported and used to
6 make its unit commitment decisions in 2020 (the marginal production cost) and
7 compare those to the fuel costs the Company seeks to recover from ratepayers in
8 this docket (the average or full cost of production). I explain how the significant
9 discrepancy between the marginal and average cost of production is driving
10 DEC’s uneconomic commitment of its coal plants and evaluate the impact DEC’s
11 underrepresentation of unit costs had on ratepayers in 2020. Finally, I outline
12 recommendations for improving the transparency and functioning of the
13 Company’s unit commitment process to better serve ratepayers.

14 **Q Why is the issue of unit commitment relevant to this fuel clause adjustment**
15 **proceeding?**

16 North Carolina law says that the utility can recover the “reasonable costs of fuel
17 and fuel-related costs prudently incurred during the test period.”¹ DEC’s incurred
18 fuel costs are directly tied to the operation of each of its units, and thus its unit-

¹ N.C. Gen. Stat. § 133-2(d).

1 commitment decisions and practices inform the Commission’s determination
2 whether those costs were reasonable and prudently incurred.

3 While in the past utilities operated their coal-fired plants as baseload
4 resources with little thought given to whether the plants should be turned on or
5 off, in recent years low gas prices and nearly zero-variable cost renewables have
6 pushed coal generation to become marginal and uncompetitive during many hours
7 of the year. The practice of committing coal plants to run when it is not economic
8 to do so saddles ratepayers with avoidable fuel costs, recovered in this docket, and
9 thereby allows utilities to continue operating aging and costly coal plants when
10 there are lower cost alternatives that can meet customers’ needs.

11 **Q You’ve addressed the full ‘production’ cost of DEC’s generating units, which**
12 **includes variable operations and maintenance costs. Why is the full**
13 **production cost relevant to a proceeding that only seeks recovery of fuel**
14 **costs?**

15 The operation of the Company’s generation units is governed by the full
16 production cost of those units, which includes both fuel and non-fuel variable
17 costs. While the Company only seeks recovery of its incurred fuel costs in this
18 docket, whether or not the Company prudently incurred those fuel costs can only
19 be assessed by evaluating how the Company operated its generating units.

20 **Q How is the remainder of your testimony structured?**

21 In Section 2, I summarize my findings and recommendations for the Commission.

1 In Section 3, I define the terms “unit commitment” and “dispatch” and
2 describe how electric utilities make daily operational decisions at coal-fired power
3 plants.

4 In Section 4, I evaluate the fuel and other production costs incurred by
5 DEC (which, if determined to be reasonable and prudently incurred, would
6 normally be passed on to ratepayers) to operate its coal-fired power plants in the
7 2020 test year. I compare the production cost of DEC units to those of other coal
8 units around the country.

9 In Section 5, I review the marginal production costs the Company uses to
10 make its unit commitment decisions at its coal units and evaluate the significant
11 deviation between the average production cost incurred at each unit over the
12 course of the test year, and the marginal cost of production used for the purposes
13 of making unit commitment and dispatch decisions.

14 In Section 6, I explain the practice of uneconomic unit commitment,
15 outline reasons why utilities may utilize this practice, and discuss the impacts this
16 practice has on DEC’s ratepayers. I evaluate the economic performance of DEC’s
17 coal units during the 2020 test year. I discuss the costs that uneconomic
18 commitment practices will impose on ratepayers if approved for recovery in this
19 proceeding. I quantify the customer net revenue losses resulting from the
20 Company’s decisions to “must-run” each of its coal plants during the test year.

1 In Section 7, I outline recommended reporting requirements for future fuel
2 charge adjustment dockets that will allow the Commission to evaluate whether the
3 Company’s unit-commitment practices are causing the Company to incur fuel
4 costs unreasonably or imprudently.

5 **2. FINDINGS AND RECOMMENDATIONS**

6 **Q Please summarize your findings.**

7 **A My primary findings are:**

- 8 1. During the 2020 test year, DEC’s coal units had some of the highest fuel
9 costs among all coal units in the country, yet DEC continued to incur costs
10 in operating and maintaining the units. As explained in Section 4, Allen,
11 Marshall, Cliffside and Belews Creek ranked in the top 75th – 90th
12 percentile for most expensive fuel costs in 2020 among all United States
13 coal-fired power plants.
- 14 2. During the 2020 test year, DEC’s reported average cost of generation at
15 each of its four coal plants exceeded the system lambda (marginal cost of
16 energy) during nearly every month, with only two exceptions – Allen and
17 Cliffside in the month of December 2020. Other than these two instances,
18 the average cost of generation exceeded the system lambda for all plants in
19 all months, as explained in Section 4. In total, DEC’s units incurred \$233
20 million in variable costs above system lambda. This means that during the

- 1 test year, many of DEC's coal plants failed to pass the lowest bar of
2 economic performance a large portion of the time.
- 3 3. DEC omitted from its unit commitment decisions approximately \$263
4 million worth of fuel and variable costs (approximately \$250 million of
5 which is fuel costs), representing over 40 percent of those costs at its coal
6 units, thus allowing the units to commit and dispatch significantly more
7 than they would if the units' full variable production cost was reflected.
- 8 4. DEC regularly committed its coal units at times when its marginal
9 production costs exceeded the system lambda, even when it would have
10 been less costly to serve captive retail customer load with other resources.
11 This means that those unit commitments were uneconomic, yet DEC seeks
12 to pass those excess costs on to ratepayers in this docket.
- 13 5. During the 2020 test year, DEC's unit-commitment practices at its coal
14 plants caused the Company to incur avoidable excess costs of \$8.5 million
15 at Allen, Marshall, Cliffside, and Belews Creek based on the Company's
16 reported marginal variable production costs for those units.
- 17 6. DEC did not adequately report and describe its fuel cost accounting and
18 unit-commitment practices in its fuel charge adjustment application. The
19 Company should have included documentation of its daily decision-
20 making process and its reasoning for frequent uneconomic commitment.

1 **Q** **Please summarize your recommendations.**

2 **A** Based on my findings, I offer the following chief recommendations:

3 1. I recommend that the Commission examine DEC’s production cost
4 accounting, its unit commitment process that relies on its production costs,
5 and the operational decisions and incurred costs that result, and scrutinize
6 such costs carefully for potential disallowance in future proceedings.

7 2. DEC’s should be required to provide full transparency into the Company’s
8 marginal and average production costs. Specifically, DEC should provide
9 a full breakdown of the following, accompanied by a detailed explanation
10 of each and full work papers that show how each component was
11 calculated:

12 a. Full production cost of each unit that will be passed on to
13 ratepayers in this docket, broken down by the following categories:

14 i. Fixed costs

15 ii. Variable costs

16 1. Fuel

17 2. Reagents/ by products

18 3. Emissions

19 4. Variable O&M

20 b. Marginal production cost of each unit used for making unit

21 commitment and dispatch decisions, broken down by the same

- 1 components listed directly above. For any production costs
2 Excluded from DEC marginal production costs, the Company
3 should provide a detailed justification for why these costs are not
4 relevant for making unit commitment decisions.
- 5 3. The Commission should require DEC to provide a detailed report
6 describing its daily unit-commitment decisions and practices as part of
7 future fuel charge adjustment proceedings. DEC should provide the
8 following information as part of each fuel charge adjustment filing, to
9 inform the Commission’s review of its unit-commitment practices and
10 determination whether DEC’s fuel- and fuel-related costs for those units
11 were reasonably and prudently incurred:
- 12 a. All 7-day forecast sheets used to develop the Company’s daily
13 unit-commitment decisions and marginal cost.
- 14 b. The reason for any deviation between the commitment decision
15 suggested by the Company’s forward-looking price-based analysis
16 and the Company’s actual commitment decision (e.g., where the
17 Company’s analysis suggests that a unit has a production cost
18 above the marginal system cost during a given day, and the
19 Company self-commits the unit anyway).
- 20 c. Hourly data sufficient for the Commission to calculate the net
21 revenues that each plant actually incurred in each test year period,

1 including total unit generation, delivered fuel cost, marginal or
2 “replacement” fuel cost, total variable operations and maintenance
3 (“O&M”) cost, system lambdas, day-ahead commitment status,
4 and actual outages.

5 4. Given the low capacity factor at which DEC’s coal fleet operated in
6 2020—extremely low, in the case of some units—the Company should
7 evaluate moving some of its plants to seasonal operation and retiring some
8 of its units.

9 **3. DEC CONTROLS AND COORDINATES THE COMMITMENT AND DISPATCH OF ITS**
10 **COAL-FIRED GENERATING UNITS.**

11 **Q Please summarize this section.**

12 **A** In this section, I define the concepts of unit commitment and dispatch and explain
13 how dispatchable power plants operate in DEC’s system. I define the practice of
14 uneconomic unit commitment by regulated, vertically integrated utilities like DEC
15 and discuss the impacts this practice can have on ratepayers, if utilities are
16 permitted to pass along the avoidable excess costs that result.

17 **Q Please explain the terms “unit commitment” and “dispatch.”**

18 **A** Unit commitment is the process by which a utility decides if a long-lead time
19 generating unit, generally steam boilers, should be operational for the following
20 day. Commitment is the decision to either keep the unit online, bring a unit online
21 that is not currently generating, or bring offline (“de-commit”) a unit that is

1 currently online. Unit commitment decisions are distinct from “dispatch”
2 decisions, which are the decisions to incrementally increase or decrease a unit’s
3 generation. Fast-start units like combustion turbines or battery storage can
4 generally be dispatched from idle (or “blackstart”) and do not need to be
5 committed ahead of time. However, large steam boilers require a clear
6 commitment, and once committed to operate, must run at a minimum level of
7 output.

8 **Q How does the process of unit-commitment occur?**

9 **A** The process of unit commitment requires that the operator look forward to
10 determine if a long-lead time unit is likely to operate economically over the next
11 few days. To make this determination, the operator will compare the costs of
12 starting and operating a particular unit with the costs of all other units on its
13 system to determine whether that unit should be online the next day. When a unit
14 is committed economically, the unit is reasonably expected to be lower cost than
15 the marginal cost of energy, called “system lambda,” over the next day or days.
16 When a unit is committed uneconomically, the operator has decided to operate
17 that unit at its economic minimum, which is the lowest MW output that a unit can
18 safely and efficiently maintain, even though that unit’s marginal costs of
19 production are projected to be higher than the system lambda.

20 **Q In this testimony, you refer to “average costs” of production and DEC’s**
21 **reported “marginal cost” of production. Can you briefly explain what you**

1 **mean by these two terms, which variable costs are included in each, and why**
2 **they are relevant to this proceeding?**

3 **A** Each of DEC’s coal-fired power plants has a specific set of costs incurred to
4 operate the unit. The cost of production is composed of fixed costs, which are
5 incurred regardless of whether and how a unit is operated, and variable costs,
6 which are incurred based on usage. Variable costs include fuel,
7 reagents/byproducts emissions, and variable O&M.

8 When making a unit commitment decision, DEC utilizes the marginal cost
9 of production. The marginal cost of production is calculated based on the
10 replacement cost of fuel, which is the “market price of fuel plus variable
11 transportation costs,”² and the cost of reagents/byproducts, emission, and variable
12 O&M. This cost represents the incremental cost of operating the unit.

13 But the marginal cost of production does not represent the actual
14 production costs passed on to ratepayers. The average production cost represents
15 the cost to operate each unit (that is actually passed on to ratepayers) spread out
16 over the unit’s MW output. This includes the cost of the fuel that was actually
17 burned (or paid out) and all associated transportation costs, regardless of contract
18 structure. Reagent / byproduct, emissions, and variable O&M costs are also
19 included.

² Duke Energy Carolinas Response to Sierra Club Request 1-8.

1 **Q** **Please describe how dispatchable power plants are generally committed and**
2 **operated by electric utilities like DEC that operate outside of organized**
3 **wholesale markets.**

4 **A** In a non-centralized market, the unit commitment process is completely dictated
5 by the utility. The utility is responsible for internally committing and dispatching
6 its units, and procuring energy through bilateral trades when needed, and
7 generally does so on a variable cost basis within operational constraints. These
8 utilities generally use internal systems that project the marginal production cost to
9 operate each unit and calculates the cost of the marginal unit in the system, called
10 “system lambda.” Resources are committed based on cost, with the lowest-cost
11 resources coming online first, and progressively more expensive units being
12 turned on until system load is met. Both the unit-commitment and dispatch
13 processes should be based on economics and should generally ensure customers
14 are served by the lowest-cost resources while maintaining reliability.

15 **Q** **In practice, are all power plants actually committed by electric utilities in**
16 **that way?**

17 **A** No. Utilities may ignore marginal cost when making operational decisions or
18 simply consider only a portion of the unit’s actual cost in making commitment
19 and dispatch decisions. The result is that utilities keep units online and operating
20 when it otherwise would not operate. Some utilities do adhere closely to efficient
21 dispatch and commitment, but others do not, and can exhibit a wide discrepancy
22 between the cost of operation and operational decision, as is seen with DEC.

1 There are a variety of reasons why utilities ignore or underrepresent unit costs,
2 and the practice varies widely

3 First, for inflexible units with long start-up and shut-down times, such as
4 coal-fired power plants, utilities regularly force units to stay online in order to
5 avoid unit cycling costs. Utilities have historically tried to avoid cycling of coal
6 plants because it can result in wear-and-tear that increases maintenance costs.³
7 But, while continuous operation of coal units can reduce cycling costs, it
8 generally results in the incursion of unnecessary operational costs well in excess
9 of the cycling costs being avoided. Cycling times and costs can be incorporated
10 into multi-day unit commitment decision-making processes.

11 Second, in order to address fuel over-supply issues, utilities sometimes
12 explicitly adjust how fuel costs are accounted for in their dispatch. Specifically,
13 they may lower the marginal cost of a unit for the purposes of keeping a unit
14 online to burn excess fuel. This is generally done when it is cheaper to burn the
15 coal at a loss than to store the coal or cancel a fuel contract. Duke Energy Indiana
16 refers to this process as a ‘coal price decrement.’⁴

17 Third, there are structural and company decisions relating to fuel
18 contracts, transportation contracts, and operations and maintenance (“O&M”) that

³ See Recent Changes to U.S. Coal Plant Operations and Current Compensation Practices. NARUC, January 2020. Accessible at <https://pubs.naruc.org/pub/7B762FE1-A71B-E947-04FB-D2154DE77D45>.

⁴ Direct Testimony of John Swez, IURC Cause No. 38707-FAC 125.

1 drive the utility’s categorization of costs. Specifically, utilities that sign coal
2 contracts with fixed tonnage requirements or must-take provisions of fuel
3 contracts often categorize some of their fuel costs as fixed, and therefore exclude
4 them from unit dispatch and commitment decisions. This practice effectively
5 locks ratepayers into paying a portion of fuel costs, often without any formal
6 approval from the regulatory commission. Utility treatment of O&M costs—
7 specifically, utility judgement of what costs are truly variable and predictable
8 based on unit operations, and which are truly fixed—also varies widely.

9 **Q Are there any reasons why a utility might be incentivized to operate a unit**
10 **more often than it should be from a cost perspective?**

11 **A** Yes. A utility that receives a return of and on assets in the rate base may have an
12 incentive to show that aging units are still “used and useful” despite the
13 substantial capital and fixed expense required to keep them online. A unit that is
14 neither economic over the long-run (i.e. relative to replacement options) and does
15 not provide economic service on a short-term basis may be perceived as not used
16 or useful and at risk for disallowance. As noted by the Energy Information
17 administration, coal units that move to very low utilizations are often retired
18 shortly thereafter,⁵ because the justification for their operational costs evaporates.

⁵ As U.S. coal-fired capacity and utilization decline, operators consider seasonal operation. September 1, 2020. Accessible at <https://www.eia.gov/todayinenergy/detail.php?id=44976>

1 **4. DEC’S COAL FLEET OPERATED AT AN AVERAGE PRODUCTION COST THAT**
2 **EXCEEDED THE MARGINAL SYSTEM COST FOR NEARLY ALL OF 2020.**

3 **Q Please summarize this section.**

4 **A** In this section, I review the actual generation costs that were passed on to
5 ratepayers as a result of DEC’s operation of its coal-fired units in the test year
6 2020. I find that the Company’s four coal-fired power plants all operated at an
7 average production cost that exceeded the marginal system cost during nearly
8 every month in 2020 (the exception was one month at each Allen and Cliffside).

9 **Q Describe DEC’s coal-fired power stations.**

10 **A** The Company has four coal-fired power stations: Allen, Marshall, Cliffside, and
11 Belews Creek. Allen consists of five units (Units 1-5) and has a total capacity
12 rating of 1,130 MW. Marshall consists of four units and has a total capacity rating
13 of 2,078 MW. Cliffside consists of two units, Units 5 and 6, which have capacity
14 ratings of 546 and 849 MW respectively. Belews Creek consists of two units,
15 Units 1 and 2, which each have a capacity rating of 1,100 MW.⁶

⁶ Duke Energy Carolinas, Application in the Fuel Charge Adjustment Proceeding. Exhibit 6, Schedule 10.

1 **Q Describe Duke’s utilization of its coal-fired fleet in 2020.**

2 **A** In 2020, each of Duke’s coal-fired power plants was minimally utilized.
 3 Specifically, every unit with the exception of Cliffside 6 (56.6 percent) had an
 4 annual capacity factor below 39 percent, as shown in Table 1. The five Allen units
 5 had the worst performance, operating at between a 1.1 percent and 10.8 percent
 6 capacity factor.⁷

7 **Table 1: 2020 Annual Capacity Factors for DEC Coal Units**

Unit	2020 Capacity Factor (%)
Allen 1	1.1%
Allen 2	1.2%
Allen 3	2.8%
Allen 4	10.8%
Allen 5	9.4%
Belews Creek 1	28.1%
Belews Creek 2	27.5%
Cliffside 5	22.8%
Cliffside 6	56.6%
Marshall 1	25.9%
Marshall 2	28.9%
Marshall 3	36.1%
Marshall 4	38.2%

8 **Source:** DEC Response to Sierra Club Request 1-3(a), CONFIDENTIAL
 9 Attachment; DEC Application in the Fuel Charge Adjustment Proceeding
 10 (Exhibit 6, Schedule 10)

⁷ Duke Energy Carolinas Response to Sierra Club 1-3a, CONFIDENTIAL 2021 SCDR 1.3a_d_e_j DEC Coal Unit Fuel Detail; Duke Energy Carolinas, Application in the Fuel Charge Adjustment Proceeding. Exhibit 6, Schedule 10. Disclosed publicly with agreement of DEC counsel.

1 **Q Please summarize your analysis of the economic performance of DEC’s units**
2 **in 2020 based on the Company’s actual cost data.**


3 **A** I reviewed data reported by DEC on the average cost of generation for each plant
4 by month and the hourly system lambdas. I compared the monthly average system
5 lambda⁸ to the monthly average cost of generation at each plant.⁹ As shown in
6 Table 2, I found that during the test year of 2020 the average cost of generation at
7 each coal station was higher than the average system lambda, with the exception
8 of one month each at Allen and Cliffside. That means that in every month of
9 2020, nearly all of DEC’s coal-fired power plants were operating at an average
10 cost above the marginal cost of electricity on its system, when there were lower
11 cost resources available to serve load. DEC did this by underrepresenting the
12 marginal production cost used for the purposes of making unit commitment
13 decision. In total, DEC total production costs were \$233 million more than the
14 cost of serving load met by the coal units at the system lambda (as discussed in
15 section 5).

⁸ Duke Energy Carolinas Response to Sierra Club 1-3b, CONFIDENTIAL 2021 SCDR 1.3b DEC INCDEC.

⁹ Duke Energy Carolinas Response to Sierra Club 1-3 1-3f&j, CONFIDENTIAL Attachment.

1
2

Table 2: CONFIDENTIAL Average Cost of Generation relative to Average System Lambda (\$/MWh)



3
4
5

Source: Duke Energy Carolinas Response to Sierra Club 1-3b, CONFIDENTIAL 2021 SCDR 1.3b DEC INCDEC; Duke Energy Carolinas Response to Sierra Club 1-3 1-3f&j, CONFIDENTIAL Attachment.

6 **Q**
7
8

Why do you compare the average cost of generation to the marginal system cost when DEC makes unit commitment decisions based on marginal unit costs?

9 **A**

It is reasonable to expect there will be a small difference between marginal unit costs and average unit costs based on (1) the delta between fuel and market prices at the time contracts were signed and the present, as well as truly unavoidable fixed/ sunk production costs. But a responsible utility manager should seek to minimize the portion of average costs that falls into these categories and are therefore omitted from the unit commitment process. Specifically, this can be done by (1) securing fuel and transportation contracts that are flexible and have

10
11
12
13
14
15

1 minimal locked-in or must-take provisions; (2) carefully reviewing the costs of
2 fuel contracts relative to alternatives, including reduced operation and retirement
3 of the plant, prior to signing any new fuel contracts; and (3) carefully reviewing
4 O&M costs to break-out the variable costs associated with predictive and
5 preventative maintenance from those that are truly fixed.

6 **Q Does the analysis reflected in Table 2 represent the total costs incurred by**
7 **ratepayers as a result of DEC operating and maintaining its coal plants?**

8 **A** No. The monthly Average Cost of Generation displayed in Table 2 was provided
9 by the Company and is composed of actual fuel and variable operating expenses,
10 and excludes from consideration any of the large fixed costs of maintaining those
11 units which are passed on to customers. These costs are not the same as those used
12 by the Company for the purpose of making unit commitment decisions. As I will
13 discuss in depth in section 5, there is a significant and unexplained discrepancy
14 between the average production costs DEC seeks to pass on to ratepayers in this
15 docket and the marginal production costs DEC uses to make unit commitment and
16 dispatch decisions.

17 The data in Table 2 simply show whether the units pass the lowest bar of
18 providing value to ratepayers on an hourly basis. It says nothing about whether
19 the plant is the lowest-cost resource available to serve customer load (relative to
20 alternatives) based on the full forward-going costs (both fixed and variable)

1 required to keep the plant operational. A full unit economic analysis of this type
2 was presented by my colleague Rachel Wilson in Docket No. E-7, Sub 1214.

3 **Q Do the coal units “pass the lowest bar of providing value to ratepayers on an**
4 **hourly basis”?**

5 **A** According to the values reported by the Company, no.

6 **Q How do the fuel costs at DEC’s coal units compare to those of other coal**
7 **plants across the country?**

8 **A** Allen, Marshall, Cliffside and Belews Creek have some of the highest fuel costs
9 among coal plants in the country.¹⁰ Specifically, as shown in Table 3, the coal used
10 at Allen, Belews Creek, Marshall and Cliffside cost between \$2.38/MMBtu and
11 \$2.81/MMBtu during the 2020. This puts these plants in the 75th to 90th percentile
12 of most expensive solid fuel in the country. Allen, for example, has a fuel cost
13 higher than 90 percent of comparable coal plants nationwide. Even the DEC coal
14 plant with the lowest fuel cost in this analysis, Cliffside, is more expensive than 75
15 percent of comparable plants nationwide.¹¹

¹⁰ Author’s calculation from EIA Form 923, 2020.

¹¹ EIA Form 923, 2020.

1 **Table 3: DEC's coal unit costs relative to other solid-fuel plants in the**
 2 **U.S. in 2020**

Plant	Fuel Cost (\$/MMBtu)	Percentile of most expensive solid-fuel plants
Allen	\$2.81	90%
Belews Creek	\$2.68	86%
Marshall	\$2.52	81%
Cliffside	\$2.38	75%

3 **Source: EIA Form 923 for 2020.**

4 **5. DEC EXCLUDED OVER 40 PERCENT OF THE PRODUCTION COSTS INCURRED AT ITS**
 5 **COAL UNITS FROM ITS UNIT COMMITMENT AND DISPATCH DECISION-MAKING**
 6 **PROCESS**

7 **Q Please summarize this section.**

8 **A** In this section I review the production costs that DEC seeks to pass on to
 9 ratepayers, the marginal production costs DEC models in making its daily unit
 10 commitment and dispatch decisions, and DEC's marginal system cost. I find that
 11 DEC excluded a significant portion of its production costs from its unit
 12 commitment decisions, and the justifications provided by the Company only
 13 explain a small portion of the omitted costs.

14 **Q Do you have any concerns with the unit-commitment data DEC has**
 15 **provided?**

16 **A** Yes, DEC appears to be excluding a significant portion of its actual fuel and
 17 variable operating costs from the marginal cost of production that it uses to make
 18 its unit-commitment decisions. Specifically, the Company's reported marginal

1 cost of production omits over 40 percent of actual production costs incurred at its
2 coal plants.¹²

3 The Company's marginal fuel costs represent the cost DEC would pay
4 today to replace the fuel that it burns. DEC calculates the replacement cost of coal
5 based on "[REDACTED]

6 [REDACTED]
7 [REDACTED]¹³
8 Actual fuel costs, however, represent the cost of the fuel that DEC actually uses
9 for generation at each plant. The Company seeks to recover actual fuel expenses
10 from ratepayers in this docket.

11 As shown in Table 4 below, in 2020 DEC incurred \$597 million in fuel
12 and other production costs operating its coal fleet. But only \$333 million in
13 variable fuel and other operating costs were included in the Company's unit
14 commitment and dispatch modeling. This means that a full 40 percent of the
15 Company's production costs, equaling \$263 million, were excluded from DEC's
16 unit commitment and dispatch decision-making processes. As a result, Duke's
17 unit commitment modeling showed that its fleet provided a value of almost \$31

¹² Analysis based on data from Duke Energy Carolinas Response to Sierra Club Request 1-3(a) CONFIDENTIAL 2021 SCDR 1.3a_d_e_j DEC Coal Unit Fuel Detail; Duke Energy Carolinas Response to Sierra Club request 1-3(b), CONFIDENTIAL 2021 SCDR 1.3b DEC INCDEC Prices; and Duke Energy Carolinas Response to Sierra Club Request 1-3(f) CONFIDENTIAL 2021 SCDR 1.3f_j.

¹³ Duke Energy Carolinas Response to Sierra Club Request CONFIDENTIAL 1-17.

1 million in production costs to its ratepayers in 2020, but in fact the Company
 2 actually incurred \$233 million in excess production costs relative to system
 3 lambda in 2020. Of that total, approximately 95 percent, or \$221 million,
 4 represents fuel costs.

5 **Table 4: Total Production Costs incurred by DEC's Coal Fleet in 2020**
 6 **(\$Million)**

Cost Description	(\$Million)	Source
a. Production costs passed on to ratepayers	\$597	Average Cost of Generation from DEC in SC 1.3(f)&(j)
b. Unit variable costs used by DEC for the purpose of making unit commitment and dispatch decisions	\$333	Modeled unit variable costs from DEC in SC 1.3(a)
c. Total cost of serving load met by coal units at System Lambda	\$364	System lambda from DEC in SC 1.3(b) x generation from SC 1.3(a)
e. Cost of generation omitted from DEC's unit commitment and dispatch decision-making process	(\$263)	(b) - (a)
d. Difference between system lambda and DEC's incomplete modeled unit production costs	\$31	(c) - (b)
f. Actual operational losses incurred by DEC and passed on to ratepayers from operating its coal fleet in 2020	(\$233)	(c) - (a)

7 **Source:** DEC Response to Sierra Club Request 1-3(a), CONFIDENTIAL
 8 2021 SCDR 1.3a_d_e_j DEC Coal Unit Fuel Detail; DEC Response to
 9 Sierra Club request 1-3(b), CONFIDENTIAL 2021 SCDR 1.3b DEC
 10 INCDEC Prices; DEC Response to Sierra Club Request 1-3(f)
 11 CONFIDENTIAL 2021 SCDR 1.3f_j. Disclosed publicly with agreement of DEC
 12 counsel.

1 **Q** **How does this discrepancy in reported fuel costs impact the Company’s unit-**
2 **commitment decision-making?**

3 **A** As discussed above, DEC makes unit commitment decisions based on each unit’s
4 marginal production cost, also known as the incremental operating costs. Lower
5 operating costs therefore put the unit lower on the supply curve and make it more
6 likely that a unit will be committed. If the marginal production costs used for
7 making unit-commitment decisions and market offer curves represent only a
8 portion of the actual cost of fuel, then a unit will appear more economic than it
9 actually is, and the unit will be over-committed and over-dispatched as a result.

10 Full (actual) fuel costs are still typically passed on to ratepayers either
11 through the fuel charge adjustment process or through base rates (for the non-fuel
12 variable component), regardless of what cost is used to make unit-commitment
13 decisions. But these costs will be higher than if the plant was committed and
14 operated based on its actual fuel cost. For this reason, the Commission should be
15 concerned about which fuel costs the Company is using for different purposes and
16 how those costs are calculated.

17 **Q** **What accounts for the difference between DEC marginal and actual fuel**
18 **costs at its coal plants?**

19 **A** DEC provided several explanations for why certain of its operational costs are
20 considered fixed and therefore excluded from its unit commitment decision-
21 making process. But none of the Company’s explanations account for the sheer

1 magnitude of costs \$225 million in costs excluded from its commitment
2 modeling.

3 First, DEC indicated that its current rail transportation contracts include
4 both fixed and variable costs. The fixed cost component is considered by DEC to
5 be sunk and therefore excluded from its unit commitment decisions.¹⁴ But, fixed
6 transportation costs accounted for only 0.2 percent of total fuel costs incurred in
7 December 2020, according to the Company's December 2020 fuel report.¹⁵ The
8 Company indicated that in the contract it is about to sign, these rail costs will
9 instead be fully variable. While in theory, accounting for these rail costs as
10 variable will increase the marginal production cost of DEC's units slightly, closing
11 the gap between the units marginal and actual production costs, and making
12 alternatives even more attractive, in reality these costs have only a small impact
13 on total production cost.

14 Second, the incremental cost of fuel DEC models represents the
15 replacement cost of fuel, not the cost the Company has paid for its current fuel
16 supply. But, because DEC utilized a fuel procurement strategy that relied on
17 relatively flexible and short-term coal purchases this delta should be minimized.

¹⁴ Duke Energy Carolinas Response to Sierra Club Request 1-22.

¹⁵ Exhibit 6, Schedule 7 to Duke Energy Carolinas Application in Docket No. E-7, Sub 1250.

1 Indeed, in 2020, just over [REDACTED] of DEC's coal supply came from contracts
2 of two years or fewer.¹⁶ With short-term and spot contracts, the coal price in the
3 contract and the replacement price the Company would pay on the spot market
4 should not differ significantly. Additionally, with short-term and spot contracts,
5 the Company has more flexibility to adjust its purchase based on need (compared
6 with long-term contracts that tend to contain a minimum annual take). Short-term
7 contracts should not lock ratepayers into significant fixed costs.

8 Third, DEC selected a buy-out option for some of its coal contracts instead
9 of accepting delivery of the fuel and running the units for the purpose of burning
10 off the coal. The Company's own analysis indicated that this option was projected
11 to save ratepayers \$22 million in 2020.¹⁷ The \$24.8 million in costs associated
12 with this buy-out are also included in the fuel costs passed on to ratepayers.^{18,19}

13 **Q How would DEC's system be impacted if the Company updated its marginal**
14 **production costs to include underrepresented costs?**

15 **A** If DEC updated its marginal costs to represent a larger portion of the production
16 cost of each unit, its coal units would shift higher on the supply stack. This would
17 make alternative resources more cost-competitive on an operational basis. As a

¹⁶ Duke Energy Carolinas Response to Sierra Club Request 1-18, CONFIDENTIAL Coal Supply Summary attachment.

¹⁷ Direct Testimony of J, Verderame, Page 6.

¹⁸ Duke Energy Carolinas Response to Sierra Club Request 1-21, 2021 DEC PSDR 3-1d CONFIDENTIAL Carolinas Decrement Analysis Documents.

¹⁹ Direct Testimony of J. Verderame, Page 5.

1 result, the output of DEC’s coal-fired units would be expected to decrease
2 substantially. System lambdas would also likely increase, to more accurately
3 reflect the true system lambda. This increase in system lambdas may lead to an
4 increase in the valuation of alternative new resources.

5 **6. DEC INCURRED \$8.5 MILLION IN AVOIDABLE UNIT COSTS AT ITS COAL PLANTS AS A**
6 **RESULT OF UNECONOMIC UNIT COMMITMENT DECISIONS.**

7 **Q Please summarize this section.**

8 **A** In this section I review the marginal cost of production that DEC uses for the
9 purposes of making unit commitment and dispatch decisions. I find that, even
10 with DEC modeling marginal costs that omit over 40 percent of its actual variable
11 production costs, DEC still incurred nearly \$8.5 million in avoidable operational
12 costs at its coal plants during these months as a result of these uneconomic unit
13 commitment practices.

14 **Q How does the analysis in this section differ from the analysis presented in**
15 **section 4 above?**

16 **A** In Section 4, I present analysis on how DEC’s units *actually* performed during the
17 test year period using data available after the fact (*i.e.*, the average cost of

1 generation²⁰ that DEC incurred by operating its coal units uneconomically rather
 2 than turning them off). I show the total excess costs that DEC seeks to pass on to
 3 ratepayers during the months where the units average production costs exceeded
 4 the average system lambda.²¹

5 In contrast, in this section, I evaluate the hourly data, projections, and
 6 analysis that DEC modeled to inform its unit commitment decisions.²² I identify
 7 the periods of time when the Company projected it would incur operational costs
 8 in excess of the system marginal cost²³ by operating its units, but yet still opted to
 9 operate its coal units and then predictably incurred significant net losses. I then
 10 calculate the excess costs that DEC seeks to pass on to ratepayers.

11 In this section I am relying on DEC's characterization of its marginal cost
 12 of production at its coal plants, which as I note above are far lower than—its
 13 average costs of production. Even relying on the company's characterization of

²⁰ This number is slightly higher than the [REDACTED] million contract-buy out cost calculated by DEC on Duke Energy Carolinas Response to Sierra Club 1-3 1-3f&j CONFIDENTIAL Attachment.

²¹ Duke Energy Carolinas Response to Sierra Club 1-3b, CONFIDENTIAL 2021 SCDR 1.3b DEC INCDEC.

²² DEC Response to Sierra Club Request 1-3(a), CONFIDENTIAL 2021 SCDR 1.3a_d_e_j DEC Coal Unit Fuel Detail; DEC Response to Sierra Club request 1-3(b), CONFIDENTIAL 2021 SCDR 1.3b DEC INCDEC Prices.

²³ DEC Response to Sierra Club request 1-3(b), CONFIDENTIAL 2021 SCDR 1.3b DEC INCDEC Prices.

1 marginal costs of production, I still find that the Company self-commits its coal
2 units out of merit on a regular basis.

3 **Q What does it mean to operate a unit “out of merit” or “uneconomically”?**

4 **A** When a utility operates a unit without regard for the unit’s marginal cost, the unit
5 is said to be committed “out of merit” order. This is generally done by the utility
6 applying a “must-run” status to the unit, thereby forcing the unit to operate with a
7 power output no less than its minimum operating level—no matter how the unit’s
8 operating economics compare to that of other units on the utility’s system.
9 Ratepayers incur the fuel and variable costs to operate the unit, regardless of
10 whether there were lower cost resource options available to meet system needs.

11 This practice is common among investor-owned utilities, such as DEC,
12 that are able to pass fuel costs directly on to ratepayers. It is much less common
13 among merchant plants / independent power producers that operate within
14 organized wholesale markets.²⁴ These operators rely entirely on market revenues
15 to cover their units’ operating and fixed costs. This provides a strong incentive to

²⁴ See, for example, *Playing with Other People’s Money*. Sierra Club, October 2019.
Accessible at
<https://www.sierraclub.org/sites/www.sierraclub.org/files/Other%20Peoples%20Money%20Non-Economic%20Dispatch%20Paper%20Oct%202019.pdf>.

1 them to only commit their units when the market will cover the unit’s operating
2 costs.

3 **Q How does DEC operate its system?**

4 **A**DEC operates its system with Duke Energy Progress based on the terms of a Joint
5 Dispatch Agreement.²⁵ The Fuels and Systems Optimization Portfolio
6 Management group (Unit Commitment) is responsible for developing a unit
7 commitment plan (that is deciding which units to turn on or keep online). The
8 Energy Control Center (ECC) is responsible for operating and economically
9 dispatching the Company’s generation resources.²⁶ In deciding which units to
10 commit and dispatch, the Company calculates the marginal production cost for
11 each unit based on the market replacement cost of fuel, reagents/byproduct costs,
12 emissions, and other variable O&M costs incurred at that particular unit.²⁷

13 **Q What tools does DEC have to inform its unit-commitment decisions?**

14 **A**DEC conducts cost-based forward-looking analysis everyday using a unit
15 commitment modeling software called GenTrader.²⁸ Forecasted customer
16 demand, fuel and emission market prices, contractual obligations, unit costs and
17 parameters, and planned unit outage information are all input into the model. The

²⁵ Duke Energy Carolinas Response to Sierra Club Request 1-28, Attachment SC 1.28.

²⁶ Duke Energy Carolinas Response to Sierra Club Request 1-5.

²⁷ Duke Energy Carolinas Response to Sierra Club Request 1-8.

²⁸ *Id.*

1 model outputs “a unit commitment plan that is utilized to dispatch the generation
2 fleet to minimize production costs while ensuring reliability over the 7-day
3 forecast period.”²⁹ The Company adjusts the analysis throughout the day as
4 needed. I will refer to this analysis as the “7-day forecast.”³⁰

5 **Q How should DEC be using the results of its cost-based analysis to inform**
6 **unit-commitment decisions?**

7 **A** Except in the case of unit testing or other extenuating circumstances, DEC should
8 elect to commit its units only if it expects the unit to operate at below system
9 lambda over a reasonable near-term time period (the Company’s 7-day forecast
10 period would be a reasonable time-period), incorporating consideration of
11 reliability, start-up and shut-down costs and times. Conversely, the Company
12 should take a unit offline if the Company projects it will operate at a cost that
13 exceeds system lambda. Operating the units otherwise would predictably result in
14 higher costs that could have been avoided. Therefore, the Company should
15 document any deviations between its final commitment decision and the decision
16 based on its 7-day forecast.

²⁹ Duke Energy Carolinas Response to Sierra Club Request 1-9.

³⁰ In Indiana, Duke Energy produces a 7-day forecast known as the P&L or Profit and Loss Analysis.

1 **Q** **Should a utility always commit its units to minimize costs to ratepayers based**
2 **purely on the basis of marginal costs?**

3 **A** Not necessarily. There are certainly circumstances, although limited, in which a
4 unit needs to be operated out of merit. For example, units sometimes need to be
5 brought or kept online for testing purposes or in anticipation of a reliability need.
6 These decisions may be made regardless of costs. Aside from these exceptions,
7 utilities are expected to use accurate cost information and robust processes to
8 make commitment decisions, but they are not expected to never operate a unit
9 uneconomically or to always be right based on perfect hindsight.

10 First, given the inflexibility of coal units, it can sometimes make sense to
11 leave a unit online for short periods of time, even when there are lower cost
12 resources available, in order to be available to provide electricity during hours of
13 high demand. But even so, the unit must be projected to be economic overall
14 across a multi-day or week period of time.

15 Second, if system demand or the availability (or cost) of alternative energy
16 opportunities differs significantly from what the utility projected, the utility's
17 commitment decisions may not minimize costs to ratepayers during a multi-day
18 period. If the utility's own contemporaneous analysis indicated that operating the
19 unit would minimize costs, it is not necessarily an imprudent decision. But, if the
20 high costs are part of a pattern in which the utility is consistently and
21 systematically wrong and has neglected to modify its decision-making process,

1 the entire process may not be robust or prudent. The accuracy of the utility's daily
2 unit-commitment decision-making process should itself be a feedback into its
3 decision-making process, with modifications incorporated when the current
4 process is falling short.

5 **Q Why is it concerning that DEC is self-committing its coal units out of merit**
6 **order so frequently?**

7 **A** Operating units out of merit order incurs unnecessary fuel and variable
8 operational costs that are passed on to ratepayers. These costs are likely avoidable
9 if the units were instead committed and dispatched based on economics.

10 In addition, when a unit is committed out of merit, it shows up on the
11 supply curve as a zero- or low-cost resource, but ratepayers still incur the full cost
12 to operate the resources. By artificially cutting the line, and showing up as a zero-
13 or low-cost resource, these out of merit coal units displace lower cost resources
14 that were previously below the margin. This has a price suppressive effect, and
15 results in a system lambda that is below the marginal cost of energy on DEC's
16 system. The coal unit is still operating above system lambda and those full unit
17 costs are being passed on to ratepayers. Beyond the direct ratepayer impact, this
18 has important implications for how avoided costs are calculated.

1 **Q** Why is it notable that DEC incurred costs in excess of system lambda at
2 many of its units over many months during the test year period?

3 **A** As discussed above, it is understandable that DEC may incur operational costs in
4 excess of system marginal costs on a daily or even weekly basis as a result of the
5 longer start-up and shut-down costs associated with coal units. These units may
6 accept a “loss” in a few hours of the day or week in order to be online during peak
7 hours. But it is not reasonable or prudent for DEC to operate a unit at a cost that
8 exceeds the system marginal cost over a sustained period of time. Excess costs
9 incurred as a result of this operational decision are avoidable through better unit-
10 commitment decisions and indicate that DEC is either (1) not using robust and
11 complete input data to inform its unit-commitment decisions, or (2) ignoring the
12 results of its unit-commitment analysis.

13 **Q** Did you identify avoidable losses based on your analysis?

14 **A** Yes, as shown in Table 5, I find that in 2020, DEC could have avoided at least
15 \$8.5 million in operational costs at its coal plants if the Company had made better
16 unit-commitment decisions. Specifically, these are the costs that are avoidable if
17 DEC had turned its coal units off in the months when each unit’s production costs
18 exceeded the system’s marginal cost and instead used its lower cost resources to
19 meet system needs.

1 **Table 5: Operational costs in excess of system lambda (\$Million)**

Plant	Avoidable Operational Costs (\$000)
Allen 1	
Allen 2	
Allen 3	
Allen 4	
Allen 5	
Belews Creek 1	
Belews Creek 2	
Cliffside 5	
Cliffside 6	
Marshall 1	
Marshall 2	
Marshall 3	
Marshall 4	
Total	\$(8,463)

2 **Source:** DEC Response to Sierra Club Request 1-3(a), CONFIDENTIAL
3 2021 SCDR 1.3a_d_e_j DEC Coal Unit Fuel Detail; DEC Response to
4 Sierra Club request 1-3(b), CONFIDENTIAL 2021 SCDR 1.3b DEC
5 INCDEC Prices.

6 Confidential Exhibit DG-2 shows the monthly break-down, by unit, of monthly
7 production costs relative to system lambda. In the months where the values are
8 positive, the unit on net has a lower production cost than the marginal system
9 cost. In months where the values are negative, the unit on net has a higher
10 production cost than the system marginal cost.

1 **Q** What evidence do you have that the costs incurred during the months in 2020
2 when unit costs exceeded system marginal costs are avoidable?

3 **A** DEC provided hourly data with “modeled” unit costs and load and actual system
4 lambdas. Although the modeling occurs after the fact,³¹ the modeled costs
5 represent the cost information that the Company had at the time it made its units
6 commitment and dispatch decisions. Any time the unit costs were projected to
7 exceed system lambda (inclusive of start-up cost considerations) over a multi-day
8 stretch, a responsible utility manager would reduce costs to ratepayers if the units
9 were shut down.

10 We asked multiple times for the contemporaneous documentation that
11 DEC produced at the time that they made their daily unit commitment decisions,
12 but they only provided the loading reports, not their 7-day forecast sheets.³²
13 Without the contemporaneous documentation, the Commission will lack critical
14 information to assess the reasonableness and prudence of the Company’s daily
15 unit commitment decisions.

³¹ Duke Energy Carolinas Response to Sierra Club Request 3-2.

³² Duke Energy Carolinas Response to Sierra Club 1-9(b); Duke Energy Carolinas Response to Sierra Club Request 3-1.

1 **7. RECOMMENDATIONS FOR THE COMMISSION**

2 **Q Please summarize your recommendations.**

3 **A** I recommend that the Commission examine closely DEC's production cost
4 accounting, its unit commitment process that relies on its production costs, and
5 the operational decisions and incurred costs that result, and carefully scrutinize
6 these costs for potential disallowance in future proceedings.

7 **Q What do you recommend to address the discrepancy in production costs used**
8 **to make unit commitment decision and the actual costs passed on to**
9 **ratepayers?**

10 **A** DEC's should be required to provide full transparency into the Company's
11 marginal and average production costs. Specifically, DEC should provide a full
12 breakdown of the following, accompanied by a detailed explanation of each and
13 full work papers that show how each component was calculated:

- 14 1. Full production cost of each unit that will be passed on to ratepayers in
15 this docket, broken down by the following categories:
- 16 a. Fixed costs
 - 17 b. Variable costs
 - 18 i. Fuel
 - 19 ii. Reagents/ by products
 - 20 iii. Emissions
 - 21 iv. Variable O&M.

1 2. Marginal production cost of each unit used for making unit commitment
2 and dispatch decisions, broken down by the same components listed
3 directly above. For any items not included in DEC marginal production
4 costs, the Company should provide a detailed justification for why these
5 costs are not relevant for making unit commitment decisions.

6 **Q What information do you specifically recommend that DEC provide in each**
7 **fuel cost adjustment filing to allow a review of the prudence of its unit-**
8 **commitment practices?**

9 **A The utility filings in this docket are insufficient and do not meet the filing**
10 requirements for this proceeding outlined in Commission Rule R8-55(e).³³ I
11 recommend that DEC compile and file as workpapers with its annual fuel cost
12 adjustment application a detailed report describing its daily unit-commitment
13 decisions and practices as part of future fuel charge adjustment proceedings. DEC
14 should provide the following information as part of each annual fuel charge
15 adjustment application, to inform the Commission’s review of its unit-
16 commitment practices and determination whether DEC’s fuel- and fuel-related
17 costs for those units were reasonably and prudently incurred:

18 a. All 7-day forecast sheets used to develop the Company’s daily
19 unit-commitment decisions and marginal cost.

³³ NCUC Rule R8-55(e).

- 1 b. The reason for any deviation between the commitment decision
2 suggested by the Company’s forward-looking price-based analysis
3 and the Company’s actual commitment decision (e.g., where the
4 Company’s analysis suggests that a unit has a production cost
5 above the marginal system cost during a given day, and the
6 Company self-commits the unit anyway).
- 7 c. Hourly data sufficient for the Commission to calculate the net
8 value or excess costs that each plant actually incurred in each test
9 year period, including total unit generation, delivered fuel cost,
10 marginal or “replacement” fuel cost, total variable operations and
11 maintenance (“O&M”) cost, system lambdas, day-ahead
12 commitment status, and actual outages.

13 **Q What other recommendations do you have for the Commission?**

14 **A**I recommend that the Commission direct DEC to conduct a new retirement study
15 of each unit in the Company’s fleet. I acknowledge that the Company conducted
16 retirement analyses for its 2020 Integrated Resource Plans at the direction of the
17 Commission. However, DEC should be required to evaluate the continued
18 operation of each of its coal units based on economics, from both a short-term
19 operational, and long-term planning perspective.

1 **Q** Are you recommending a disallowance in this docket relating to DEC’s
2 **uneconomic commitment practices at any of its coal units?**

3 **A** Not at this time. As discussed in Section 6, \$8.5 million represents the net
4 operational losses that DEC incurred at its coal units as a result of sustained
5 uneconomic operations during specific months. These losses could have been
6 avoided, had the Company economically committed its coal units. While I am not
7 recommending a disallowance at this time, I do recommend that the Commission
8 direct DEC to evaluate the economics of continuing to maintain and operate the
9 units relative to alternative resources to meet system capacity and energy needs
10 while maintaining reliability.

11 **Q** Does this conclude your testimony?

12 **A** Yes.

CERTIFICATE OF SERVICE

I certify that the parties of record on the service list who have signed a confidentiality agreement have been served with the *Corrected* Direct Testimony of Devi Glick –*Public Version* on behalf of the Sierra Club either by electronic mail or by deposit in the U.S. Mail, postage prepaid.

This the 1st day of June, 2021.

s/ Gudrun Thompson

Direct Testimony of Devi Glick – Sierra Club
NCUC Docket E-7, Sub 1250

1 Q Ms. Glick, did you prepare a summary of your
2 testimony?

3 A Yes, I did.

4 Q And would you please provide that to the
5 Commission?

6 A Sure. My name is Devi Glick. I am a Senior
7 Associate at Synapse Energy Economics, and I am
8 testifying today on behalf of the Sierra Club. Thank you
9 for the opportunity to testify today.

10 My testimony addresses the analysis and
11 decision making processes that Duke Energy Carolinas uses
12 to commit and dispatch its coal-fired power plants. The
13 term commitment refers to the Company's decision to turn
14 on, keep on, or turn off a coal-fired power plant, while
15 the term dispatch refers to the Company's decision to
16 turn up or down a unit between its operational minimum
17 and maximum levels.

18 I show in my testimony that the cost DEC uses
19 to make its unit commitment decisions vary substantially
20 from the fuel cost that the Company now seeks to recover
21 from ratepayers in this docket. I discuss how this
22 discrepancy is driving DEC's uneconomic commitment of its
23 coal fleet, and I calculate the excess cost passed on to
24 ratepayers as a result.

1 Finally, I outline recommendations for
2 improving transparency and functioning of the Company's
3 unit commitment process. In the past, utilities operated
4 their coal-fired power plants as baseload resources, with
5 little thought given to whether the plants should be
6 turned on or off, but in recent years low gas prices and
7 nearly zero variable cost renewables have pushed coal
8 generation to become marginal and uncompetitive during
9 many hours of the year. Failing to adequately reflect
10 this fact in its fleet operation has caused DEC to run
11 coal plants when it is not economic to do so, saddling
12 ratepayers with excess avoidable fuel cost.

13 Based on my review, I find that DEC's coal
14 units had some of the highest fuel costs among all coal
15 units in the country during the 2020 test year, yet DEC
16 continued to operate and maintain the units. As a
17 result, DEC's units incurred 233 million in variable cost
18 above system lambda, what I will refer to as excess cost,
19 during the test year. The system lambda represents the
20 marginal cost of energy on the system.

21 In an economically efficient system, units are
22 committed based on variable cost, with the lowest cost
23 resources coming online first and progressively more
24 expensive units being turned on until system load is met,

1 but when units are committed using a marginal cost, that
2 represents only a small portion of the unit's full
3 variable cost, excess costs are incurred. These excess
4 costs are a direct result of DEC's inadequate unit
5 commitment process. I find that DEC's commitment process
6 omitted approximately 263 million worth of fuel and
7 variable costs, representing over 40 percent of those
8 costs at its coal units, thus allowing the units to
9 commit and dispatch significantly more than they would if
10 the unit's full variable cost was reflected. Of that,
11 263 million in fuel costs accounted for approximately 250
12 million.

13 My testimony identifies several potential
14 explanations for the discrepancies between DEC's marginal
15 and actual fuel costs, but none adequately explains the
16 sheer volume of costs excluded from its commitment
17 modeling. I find that even using DEC's incomplete
18 marginal cost accounting, the Company can still be found
19 to have incurred excess marginal cost of eight and a half
20 million dollars. My testimony recommends that the
21 Commission examine DEC's production cost accounting, unit
22 commitment process, and operational decisions.

23 Finally, I discuss how DEC did not adequately
24 report and describe its fuel costs, accounting and unit

1 commitment practices in its fuel charge adjustment
2 application. I recommend that the Commission require the
3 Company to provide transparent accounting of its variable
4 cost allocation and documentation of its daily decision
5 making process and its reasoning for any uneconomic
6 commitment decision. My testimony outlines several
7 pieces of information that would be helpful to the
8 Commission. This concludes my summary.

9 Q Thank you.

10 MS. THOMPSON: Chair Mitchell, Ms. Glick is
11 available for cross examination and questions from the
12 Commission.

13 CHAIR MITCHELL: All right. Thank you, Ms.
14 Thompson. Mr. Kaylor?

15 CROSS EXAMINATION BY MR. KAYLOR:

16 Q Ms. Glick, did you have a chance to review the
17 rebuttal testimony of Mr. Verderame?

18 A I did, yes.

19 Q Based on that rebuttal testimony, did you have
20 any reason to alter any of your testimony?

21 A I updated some of the values. The -- some of
22 the corrections I made were I looked at -- I added in the
23 natural gas cost as well. That did contribute to some of
24 the corrections that I made in one of the tables, two of

1 the tables, I believe.

2 MR. KAYLOR: No further questions.

3 CHAIR MITCHELL: All right. Before we move to
4 questions from the Commission, just pause here to see if
5 any other Intervenors have questions for this witness?

6 MR. GRAY: None from CIGFUR.

7 CHAIR MITCHELL: All right.

8 MR. CREECH: No questions, Madam Chair.

9 CHAIR MITCHELL: All right. Thank you, Mr.
10 Creech. All right. Questions for the witness from
11 Commissioners?

12 (No response.)

13 CHAIR MITCHELL: All right. Ms. Glick, it
14 looks like you are off the hook for the afternoon. Thank
15 you, ma'am. You may step down.

16 THE WITNESS: Thank you, Chair.

17 (Witness excused.)

18 CHAIR MITCHELL: Ms. Thompson, I'll take a
19 motion from you.

20 MS. THOMPSON: Yes. Thank you, Chair Mitchell,
21 for the reminder. I'd like to move Ms. exhibits -- Ms.
22 exhibits -- Ms. Glick's prefiled exhibits into the
23 record, with Confidential Exhibit DG-2 being kept under
24 seal.

1 CHAIR MITCHELL: All right. Hearing no
2 objection to that motion, Ms. Thompson, it will be
3 allowed, and the exhibits to Ms. Glick's testimony will
4 be admitted into evidence.

5 MS. THOMPSON: Thank you.

6 (Whereupon, Exhibit DG-1 and
7 Confidential Exhibit DG-2 were
8 admitted into evidence.)

9 CHAIR MITCHELL: All right. With that, we will
10 turn back to you, Mr. Kaylor.

11 MR. KAYLOR: Thank you, Chair Mitchell. We
12 will recall our witness John Verderame to appear for his
13 rebuttal testimony.

14 CHAIR MITCHELL: All right. Mr. Verderame, I
15 will remind you that you are under oath, sir.

16 THE WITNESS: Yes, ma'am.

17 DIRECT EXAMINATION BY MR. KAYLOR:

18 Q Would you proceed with a summary of your
19 rebuttal testimony?

20 A Thank you. In my rebuttal testimony I take
21 issue with, and provide detailed objection to, Sierra
22 Club witness Glick's testimony and recommendations with
23 respect to DEC's unit commitment and dispatch process. I
24 also disagree with witness Glick's characterization of

1 the performance of DEC's coal units and hers assertions
2 -- her assertions that DEC has omitted fuel and variable
3 costs representing 40 percent of the actual production
4 costs.

5 I categorically reject witness Glick's
6 assertion that DEC has operated its plants "with little
7 thought given to whether the plants should be turned on
8 or off." Witness Glick also made generalized
9 recommendations concerning DEC's coal and transportation
10 contracting strategies, but when asked in discovery,
11 witness Glick failed to identify a single instance of a
12 fuel or transportation contracting issue in this
13 proceeding.

14 The purpose of this proceeding is to establish
15 fuel rates for DEC. Witness Glick has not recommended
16 any changes to the fuel rate proposed by DEC, but instead
17 has sought to leverage this proceeding into an
18 opportunity to opine on a number of topics that are
19 either properly addressed in other proceedings, such as
20 general rate case or IRP proceeding, or have previously
21 been rejected by the Commission with respect to other
22 Sierra Club witnesses. The Sierra Club, like other
23 parties to this proceeding, has not recommended
24 disallowance of any costs incurred by DEC in the test

1 period in this proceeding, and accordingly, the
2 Commission should disregard the bulk of Sierra Club
3 testimony provided by witness Glick as being not relevant
4 to a fuel proceeding under the fuel statute and the
5 Commission rules.

6 This concludes my direct -- my rebuttal
7 testimony summary.

8 Q Thank you.

9 MR. KAYLOR: Chair Mitchell, the witness is
10 available for cross.

11 CHAIR MITCHELL: All right. Mr. Moore, I
12 believe you're up?

13 MR. MOORE: Yes. Thank you, Chair Mitchell.
14 Mr. Verderame, my name is Tirrill Moore, again,
15 representing the Sierra Club.

16 CROSS EXAMINATION BY MR. MOORE:

17 Q In your role as the Vice President of Fuel and
18 Systems Operation for Duke Energy, you're responsible for
19 the purchasing and delivery of fuel, but also system
20 optimization, correct?

21 A That's correct.

22 Q So you would be the correct person to ask a
23 question about how the Company structures its fuel
24 contracts?

1 A That's correct.

2 Q Are you the right person to ask about the
3 Company's commitment and dispatch decision making
4 process?

5 A Yes. I lead those teams.

6 Q I think it would be helpful, before we get
7 started, to define a few terms. I'm going to give you a
8 couple definitions, and will you just let me know if --

9 A Yes.

10 Q -- at a high level, they are definitions? Unit
11 commitment is the decision to turn on or turn off a
12 generating unit or keep online a unit that is already
13 online?

14 A I agree with that.

15 Q And dispatch is, then, to increase or decrease
16 a unit's generation level once it's already been placed
17 online?

18 A Agree.

19 Q And so marginal production cost is the
20 incremental cost of operating a unit based on only the
21 sys-- or the unit's variable costs; is that right?

22 A Okay. Yes.

23 Q And is that the costs that are used for Duke's
24 commitment and dispatch decision making?

1 A No.

2 Q Can you explain?

3 A So we use all variable costs for commitment.
4 Any cost that is incurred because a unit is either
5 committed or dispatched is used for commitment purposes.
6 For dispatch purposes we only use those costs that are
7 related to the actual change in generation, the dispatch
8 cost, so we don't include start-up costs and no-load
9 costs, so costs that are incurred just to keep the unit
10 online. So I think that's the difference there between
11 categorizing commitment and dispatch as one.

12 Q Okay. Thank you. And then cost of generation
13 or production costs includes all fuel, fixed and
14 variable, variable operations and maintenance costs,
15 commissions and reagent costs; is that right?

16 A So that is the cost that goes through rates,
17 right, that we will recover in this proceeding, but the
18 cost we use for dispatch, the fuel costs for dispatch are
19 different costs.

20 Q Okay. Great. Thank you. And so system
21 marginal cost or system lambda is the cost to produce an
22 additional or incremental megawatt of generation on the
23 DEC system in a given hour?

24 A Again, only -- only fuel and variable O&M

1 components of those costs, yes.

2 Q Okay. Great. Thank you. So I believe Mr.
3 Immel was asked this question, but I'll ask it to you.
4 Would you agree that the Company has an obligation to
5 minimize all costs, including its fuel cost, while
6 reliably serving load?

7 A Yes. I'd agree.

8 Q And the fuel costs incurred by the Company are
9 directly tied to which plants are operated?

10 A So the fuel costs we recover are tied to not
11 only the fuel cost, but also the fixed and variable --
12 the fixed transportation costs.

13 Q Well, so if the Company runs more fuel
14 generation, they will incur more cost to buy coal; is
15 that correct?

16 A If the Company runs more coal generation, then
17 we will incur more cost to burn coal, yes.

18 Q Great. Thank you. And then the decision which
19 power plants are operated, that's the Company's
20 commitment decision; is that right?

21 A That's right.

22 Q Okay. And so the Company's fuel costs are also
23 impacted by the extent to which a power plant is run; is
24 that correct?

1 A Yes.

2 Q And that's the dispatch decision --

3 A Right.

4 Q -- correct?

5 A Yes.

6 Q So in your rebuttal testimony you discuss the
7 production cost modeling that the Company uses to
8 formulate its unit commitment plan and it notes
9 GenTrader; is that right?

10 A That's right.

11 Q And that model creates a seven-day forecast
12 that shows the marginal cost to operate a unit; is that
13 right?

14 A So, yes, one of the outputs is the marginal
15 cost.

16 Q And so using that forecast, the Company then
17 decides its commitment decision, so which units to turn
18 on or off be online?

19 A That's right.

20 Q So it's fair to say that the inputs into that
21 model have a large impact on the Company's commitments;
22 is that right?

23 A They're fundamental to the -- to the outputs,
24 yes.

1 Q I'd like to take a look at what has been
2 premarked as Sierra Club's Exhibit 6. And this is marked
3 as a confidential exhibit, but I have discussed with the
4 Company's counsel, and in the form that it was produced,
5 it does not need to be marked as confidential. We're not
6 going to look at any of the attachments that were
7 provided as well.

8 CHAIR MITCHELL: All right.

9 Q Let me know when you have a chance to pull that
10 up.

11 CHAIR MITCHELL: All right. Mr. Moore, because
12 we are operating remotely, I want to make sure that we're
13 all looking at the same document, so describe the
14 document -- describe the header of the document for me.

15 MR. MOORE: Okay.

16 Q Well, Mr. Verderame, do you have it pulled up?

17 A I do.

18 Q Do you want to describe it to the Chair?

19 A Sure. Chair Mitchell, it's -- the header is
20 Sierra Club Exhibit 5, Duke Energy Carolinas, LLC, Docket
21 No. E-7, Sub 1250, Fuel and Fuel-Related Cost Proceeding,
22 Test Year Ended December 31, 2020. Sierra Club Data
23 Request No. 1-8.

24 CHAIR MITCHELL: Okay. Thank you, Mr.

1 Verderame. And just again, for purposes of the record,
2 the document that has been provided is marked
3 confidential, but Mr. Moore, what I am hearing you say is
4 the document is not, in fact, confidential. And I'd like
5 Mr. Kaylor to confirm that, please.

6 MR. KAYLOR: That is correct, Chair Mitchell.

7 CHAIR MITCHELL: Okay. Thank you, Mr. Kaylor.
8 Let's go ahead and mark that exhibit, Mr. Moore.

9 MR. MOORE: Yes. So at this time I would like
10 to mark what has been premarked as Sierra Club Exhibit 6
11 as Sierra Club Cross Examination Exhibit 1.

12 CHAIR MITCHELL: Okay. The document will be
13 marked as Sierra Club Cross Examination Exhibit Number 1.

14 (Whereupon, Sierra Club Cross
15 Examination Exhibit Number 1 was
16 marked for identification.)

17 Q Mr. Verderame, do you recognize this document?

18 A I do.

19 Q So in this data request, the Company responded
20 that one of the inputs used to make its unit commitments
21 is the price of fuel; is that correct?

22 A That's correct.

23 Q And for the purposes -- this is under the
24 Company's response to question (a). And for the purposes

1 of the model, the price of fuel is defined as the market
2 price of fuel plus variable transportation costs?

3 A Correct.

4 Q But just to confirm, the market price of fuel
5 means the price the day of the unit commitment decision
6 on the model was run; is that right?

7 A So coal -- coal prices, the curves are updated
8 weekly, so it may not be the exact day, but, you know,
9 there's a different time scale to coal markets than there
10 are the gas markets. So gas prices we update daily; coal
11 prices are only updated weekly.

12 Q And the market price is not what the Company is
13 asking to recover in this proceeding, correct?

14 A No. That is correct.

15 Q Okay. Thank you. Returning to the data
16 request, the Company stated that fixed transportation
17 costs are considered fixed and are not included in the
18 unit commitment decision; is that right?

19 A That's correct.

20 Q But you are asking to recover fixed
21 transportation cost for fuel in this proceeding; is that
22 right?

23 A That's right.

24 Q Does the Company consider the cost associated

1 with fixed tonnage requirements or must-take provisions
2 in their coal contracts as fixed costs?

3 A So we don't have any must -- must-take
4 provisions in our coal contracts, per se, so I would say
5 no.

6 Q Okay. On pages -- on page 10 of your rebuttal
7 testimony, lines 16 to 17 -- let me know when you're
8 there. I'm going to read you a bit of that.

9 A Hold on just one second, please. Okay.

10 Q It states "...the fact that certain units are
11 not required to operate at times does not equate to poor
12 performance or mean that the units are not necessary to
13 ensure reliability." Did I read that right?

14 A The second half of the sentence, yeah.

15 Q What do you mean by "required to operate" in
16 that sentence?

17 A So by "required to operate," we mean to meet a
18 reliability condition to meet -- serve native load.

19 Q Now, is that referring to a commitment decision
20 or a dispatch decision?

21 A So that's -- that would be a commitment
22 decision and a dispatch decision.

23 Q So a unit is dispatched in realtime when its
24 marginal production costs are below system lambda; is

1 that correct?

2 A That -- no, not necessarily.

3 Q Okay. Can you explain?

4 A So a unit will be dispatched -- it might be
5 dispatched above system lambda because it's either -- it
6 could be required for reliability, to be online for a
7 transmission constraint, or just a load requirement.

8 Q Okay. Thank you. I'm going to take a look at
9 another exhibit. This has been be premarked as Sierra
10 Club Exhibit 2. Let me know when you have that pulled
11 up.

12 A Okay. I'm there.

13 Q Can you describe what this document is?

14 A So this is a data request.

15 Q Is it Data Request 1-4?

16 A Oh, I'm sorry. Yes. Sierra Club Data Request
17 1-4.

18 Q And do you recognize this document?

19 A I do.

20 MR. MOORE: Chair, at this time I would like to
21 mark this exhibit, what has been premarked as Sierra Club
22 Exhibit 2, as Sierra Club Cross Exhibit 2.

23 CHAIR MITCHELL: All right. The document will
24 be marked Sierra Club Cross Examination Exhibit Number 2.

1 (Whereupon, Sierra Club Cross
2 Examination Exhibit Number 2 was
3 marked for identification.)

4 Q So looking at this document, it asks for hourly
5 data for when units are committed for reliability
6 reasons, correct?

7 A Yes.

8 Q And did the Company object to this request?

9 A So we reject--- we did object to a portion of
10 this request.

11 Q Okay. Thank you. I don't have any more
12 questions on that exhibit, so you can put it away if you
13 like. If you looked back and saw that a unit had not
14 been required to operate for months at a time, would that
15 be a sign to you that the unit was not necessary to
16 ensure reliability?

17 A No, it would not.

18 Q Can you explain that?

19 A So -- and this is somewhat part of the IRP
20 planning process, but we plan the system to meet peak
21 load requirements, and there are certainly periods during
22 the year where the unit would not be required, whether
23 it's an anomalous weather year or whether it's just, you
24 know, just a shoulder month period where load

1 requirements don't require us to -- us to dispatch or
2 commit a unit. It doesn't mean the unit isn't important
3 to providing reliability. Otherwise, we would be, you
4 know, forced into relying on the market to go out and
5 purchase to meet those loads. So we plan to meet the
6 load as a reliability strategy and commitment.

7 Q We're not going to look at any of the numbers
8 in this exhibit, but in formulating your rebuttal
9 testimony, did you review Ms. Glick's Confidential
10 Exhibit D (sic)?

11 A Let me find what D was. Okay. I reviewed the
12 whole -- I didn't review all of the workpapers, but I did
13 review exhibits that were in the workpapers. Exhibit
14 DG-2, is that it, at the end?

15 Q Correct. I believe that is right. Let me --
16 give me one minute. Yes. That's correct.

17 A Yes, I did.

18 Q Obviously, you disagree with Ms. Glick's
19 conclusions, but do you dispute any of the calculations
20 that are in that exhibit?

21 A So I didn't validate the calculations, but I
22 will -- I will say that I fundamentally disagree with the
23 methodology of the loss in terms of being compared to
24 system lambda in any way. I just -- I just don't think

1 that's an appropriate -- I know that's not an appropriate
2 way to assess whether a unit, you know, makes -- is
3 valuable to a system or not. And I think -- when I first
4 started reading this, I tried to get my arms around what
5 the witness was trying to, I don't know, trying to get
6 across other than working backwards from a conclusion,
7 but really what it came to is I think there's a
8 conflation here between market methodologies and non-
9 market methodologies.

10 I notice in her -- in her testimony she uses
11 words like "price suppressive effect" and "revenues" and
12 "losses." I think these are -- these are terms used in
13 structured markets, and I think the idea of using system
14 lambda as some type of a proxy for an LMP in a structured
15 market, which is maybe a more force--- a fulsome kind of
16 representation of cost is really just fundamentally
17 wrong. It doesn't make any sense and -- to me and my
18 team.

19 Q Okay.

20 A I will say I can't -- I can't agree with these
21 numbers.

22 Q Okay. On page 14 of your rebuttal testimony,
23 you said that the Company provided every seven-day ahead
24 unit commitment forecast in its supplemental response to

1 a Sierra Club data request. Do you recall that?

2 A Yes.

3 Q I'd like to take a look at that. This was
4 premarked as Sierra Club Exhibit 5.

5 A I'll have to go back to my exhibits.

6 MR. MOORE: And, again, Chair, this is marked
7 as confidential, but I have talked to the Company
8 counsel, and in its current form, it does not need to be
9 marked as such. We're not going to look at any
10 attachments to that document.

11 MR. KAYLOR: Correct, Chair Mitchell.

12 A Okay.

13 Q Do you recognize this document?

14 A I do.

15 MR. MOORE: Chair, at this time I would like to
16 mark what was premarked as Sierra Club Exhibit 5 as
17 Sierra Club Cross Examination Exhibit 3.

18 CHAIR MITCHELL: All right. The document will
19 be marked as Sierra Club Cross Examination Exhibit Number
20 3, and counsel for DEC has confirmed that the document is
21 not confidential.

22 (Whereupon, Sierra Club Cross
23 Examination Exhibit Number 3 was
24 marked for identification.)

1 Q So, again, on page 14 of your rebuttal
2 testimony, where you're talking about the Company
3 providing the seven-day-ahead unit commitment forecast,
4 this is the document you're talking about?

5 A Well, the seven-day for--- well, yes. Okay.
6 The seven-day forecast was, I believe, part of this
7 exhibit, right, so in this document.

8 Q Correct. I believe it was to question (b),
9 which I'm going to read it and you let me know if I read
10 it correctly, "Indicate whether the Company performs
11 economic analysis to inform its unit commitment decisions
12 for its coal units," and then (b)(2) says "If so, provide
13 all analysis conducted during the test year 2020 in
14 native machine readable format." Is that correct?

15 A Right. Correct.

16 Q And so in your supplemental response to that
17 request, the Company did provide its unit loading
18 forecast; is that right?

19 A That's right.

20 Q And are you familiar with those?

21 A Yes.

22 Q And so on page 6 of your rebuttal, you discuss
23 the inputs into your daily analysis to determine your
24 unit commitment plan. And let me know if these sound

1 like the input to that plan. You mentioned forecasted
2 customer energy demand, fuel commodity and emissions
3 allowance market prices, contractual obligations
4 including power market purchases and sales, generating
5 unit parameters, and planned unit outages; is that
6 correct?

7 A That's correct.

8 Q So the unit loading reports that were produced
9 in response to Data Request 1-9(b), do they indicate the
10 forecasted energy demand?

11 A Yes, they do. I believe it's one of the top
12 lines.

13 Q Do they contain the fuel commodity and
14 emissions allowance market prices?

15 A So the market prices are embedded in the
16 GenTrader model. This seven-day is a forecast of the
17 output of that model. It doesn't -- it doesn't have
18 those -- it doesn't display those market prices.

19 Q So do they contain the Company's contractual
20 obligations?

21 A I don't believe the contractual obligations
22 would be part of a fuel input because we use replacement
23 cost of fuel.

24 Q Well, I'm referring to the documents that you

1 produced, the unit loading reports produced in response
2 to 1-9(b). Did they contain the Company's contractual
3 obligations, what was given to the Sierra Club?

4 A I'm sorry, Mr. Moore. I'm not tracking the
5 question.

6 Q Okay. We'll move on. Do you know if the unit
7 loading reports contain the unit generating parameters?

8 A So I actually don't have it open. I don't know
9 whether it has the -- has the min's and max's. I do know
10 it recognizes when a unit is at its forecasted min or max
11 or somewhere in between.

12 Q So the GenTrader model recognizes that?

13 A The GenTrader -- that's one of the inputs to
14 the GenTrader.

15 Q But it is not necessarily defined in the output
16 of that model?

17 A I think it's displayed in that output as the
18 color -- the color of the number. You may have a black-
19 and-white version of it, though.

20 Q But I guess the key question is all of the
21 pieces of information we just discussed are a key part of
22 the decision making process that the Company undergoes,
23 correct?

24 A That's right. And they're all in the GenTrader

1 model as inputs to the model.

2 Q But what was provided was the outputs to the
3 model; is that correct?

4 A That's right. We really did our best to try
5 and provide what you were looking for here, given, you
6 know, what is machine readable and what's -- you know,
7 what cannot be condensed into something that can be
8 emailed.

9 Q Correct. So, but as we said earlier, the
10 inputs to the model are important in getting to the
11 output, correct?

12 A Yes.

13 Q On page 7 of your rebuttal, you discuss -- and
14 we talked about this a little bit -- why you believe
15 system lambda is not an appropriate measure for unit
16 commitment decisions?

17 A That's right.

18 Q And your argument is that system lambda is the
19 measure of the instantaneous system incremental cost,
20 while unit commitment decisions are based on total cost
21 over a multi-day period; is that right?

22 A That's right. Well, total variable cost.

23 Q Right. How do you measure whether a unit is
24 projected to provide benefits over a multi-day period?

1 A So that is the, I think, the output of the
2 GenTrader model. That optimization model looks at all
3 those parameters and determines what unit should be on
4 and when they should be cycled off or kept on through to
5 the next period when they would be needed as the least
6 cost solution.

7 Q And Ms. Glick did actually acknowledge in her
8 testimony that there were times where a unit might
9 operate, even though its operational cost exceeded system
10 lambda; isn't that right?

11 A I believe there was one nod to that, but the
12 majority of the testimony is fundamentally based in this
13 idea of averaged system lambda cost as a metric of either
14 unit efficiency or dispatch efficiency.

15 Q Right. If the Company's forward-looking
16 analysis ends up being wrong in hindsight, it's not
17 necessarily an imprudent decision. Is that what you're
18 saying, basically?

19 A You know, I'm saying that we make decisions
20 with all the information we have available to us in terms
21 of unit availability, projected load, weather. And the
22 weather is -- we have a saying, the forecast is always
23 wrong, it's never going to be right, but we do our best
24 to get it as -- you know, as close as we can and, you

1 know, run the system in the least -- you know, the least
2 cost and most effective way we can for customers to
3 minimize cost.

4 Q So if the Company looked back on their analysis
5 and found that their analysis was consistently wrong,
6 would you agree that that would be something the Company
7 should look into?

8 A So we do look back at that analysis. We look
9 back at it every week and we trend it. And, yes,
10 absolutely, if we saw that it was deviating from --
11 significantly from planned perimeters, then certainly we
12 would go back and look at it. We have metrics around
13 load forecasting, weather forecasting, solar forecasting.
14 These are all things we, you know, we watch very closely
15 because they'll inform how good the load forecast is and,
16 ultimately, how good the plan is for what generation
17 needs to be dispatched or committed.

18 Q Would you agree that if a unit consistently
19 committed at a marginal production cost in excess of
20 system lambda, that should prompt the Company to take
21 another look at its decision making process?

22 A No. Again, the commitment decision is
23 inclusive of all the variable cost, the start cost, the
24 start fuel, and these no-load costs, right? They are, by

1 definition, more expensive than the instantaneous cost to
2 move one megawatt above another. It's just a form
3 metric. No one uses the metric. RTOs don't use a metric
4 like that. Honestly, if that was a boundary for how we
5 dispatch plants, that we could never dispatch or commit a
6 unit that had a higher than the system average lambda for
7 the day, we'd curtail load most every day.

8 Q Just one minute. I want to take a look now at
9 what was premarked as Sierra Club Exhibit 7.

10 A Seven (7).

11 MR. MOORE: And, again, Chair, this was also
12 marked as confidential, but I've talked to Company's
13 counsel, and in its current form, it does not need to be
14 marked such. We're not going to look at any of the
15 attachments.

16 A Okay. I'm there.

17 MR. KAYLOR: That's correct, Chair Mitchell.

18 Q And Mr. Verderame, do you recognize this?

19 A I do. I'm there.

20 Q Does this appear to be DEC's response to Sierra
21 Club Data Request 1-3?

22 A 1-3 it is, yes.

23 MR. MOORE: Chair Mitchell, at this time I
24 would like to mark what was premarked as Sierra Club

1 Exhibit 7 as Sierra Club Cross Examination Exhibit 4.

2 CHAIR MITCHELL: All right. The document will
3 be marked as Sierra Club Cross Examination Exhibit Number
4 4, and counsel for DEC has confirmed that the document is
5 not confidential.

6 (Whereupon, Sierra Club Cross
7 Examination Exhibit Number 4 was
8 marked for identification.)

9 Q And I'm going to read a portion of that data
10 request, and you let me know if I read it correctly. On
11 the second line of the request itself, it says "Please
12 provide the following hourly information for the year
13 2019 and the test year," and then it says "If not
14 available at an hourly scale, please explain why and
15 provide the most temporally granular scale available."
16 Is that right?

17 A That's correct.

18 Q So then request (f) is asking for the
19 accounting fuel cost; is that right?

20 A That's correct.

21 Q And the Company -- can you read the Company's
22 response?

23 A "This request seeks an analysis calculation, a
24 compilation which" -- we have -- "which has not already

1 been formed. Instead, please see attached confidential
2 monthly average cost of generation in dollar per mWh of
3 the Company's coal-fired generation units for the test
4 period January 2020 through December 2021." Now, we
5 simply don't have that data broken down on an hourly
6 basis. We provided it the way we calculate it and the
7 way we recover it. And I'll just mention that also
8 includes (g) below it as a part of that number.

9 Q Right. And so (g) was asking for the
10 accounting variable cost of production and the Company,
11 similarly, objected to that request; is that right?

12 A Yeah. We just didn't have it and really
13 couldn't figure out a way to put it together for you. I
14 believe we file--- we provided everything else on an
15 hourly granularity.

16 Q One second. I think we're going to take a look
17 now at what was premarked as Sierra Club Exhibit 3.

18 A And I have these stored in order.

19 Q Okay. And do you recognize that request?

20 A Yes.

21 Q Can you read Request (a)?

22 A "Provide the hourly production cost used for
23 purposes of unit commitment and dispatch for each DEC and
24 DEP unit dispatched under the Joint Dispatch Agreement

1 for the year 2019 and the 2020 test year."

2 Q And the Company objected to that request as
3 well?

4 A Well, I believe we partially objected to it.
5 We objected because 2019 was outside of the test period.
6 And we did provide all that information for DEC, but this
7 is a DEC case, and we didn't feel that the DEP data was
8 appropriate or relevant to this case.

9 Q On page 3 of your rebuttal testimony, you state
10 "The content and structure of the Company's application
11 in this proceeding conforms to all applicable legal
12 requirements." Is that right?

13 A As I understand them, yes.

14 Q Are you an attorney, sir?

15 A No.

16 Q So you're not offering a legal conclusion
17 there?

18 A I am not.

19 Q Would you agree that it's up to the Commission
20 to decide whether the application meets all legal
21 requirements?

22 A Yes. And it's my understanding that we have or
23 else I believe we would have been met with some --
24 something from the Staff or the Commission itself. And

1 we certainly would provide anything that the Commission
2 asks for, but I believe we have met that standard and
3 what we --

4 MR. MOORE: No further questions. Thank you,
5 Mr. Verderame.

6 THE WITNESS: Thank you.

7 MR. MOORE: Madam Chair, at this time I would
8 like to move all the exhibits into the record.

9 CHAIR MITCHELL: All right. Mr. Moore, just
10 for purposes of clarity, would you identify those cross
11 examination exhibits individually?

12 MR. MOORE: I'll go through them. We have what
13 was premarked as Sierra Club Exhibit 6 is now Sierra Club
14 Cross Exhibit 1; what was marked as Sierra Club Exhibit 2
15 is now marked as Sierra Club Cross Exhibit 2; what was
16 marked as Sierra Club Exhibit 5 is now Sierra Club Cross
17 Examination Exhibit 3; what was marked as Sierra Club
18 Exhibit 7 is now marked as Sierra Club Cross Examination
19 Exhibit 4; and then what was marked as Sierra Club
20 Exhibit 3 is now marked as Sierra Club Cross Exhibit 5.

21 CHAIR MITCHELL: All right. Mr. Moore, you did
22 not -- we did not mark Cross Exhibit Number 5, so let's
23 do that now. We will mark for identification what was
24 Sierra Club Cross -- or Sierra Club Exhibit Number 3 as

1 Sierra Club Cross Examination Exhibit Number 5.

2 (Whereupon, Sierra Club Cross
3 Examination Exhibit Number 5 was
4 marked for identification.)

5 CHAIR MITCHELL: And why don't you make your
6 motion again, Mr. Moore.

7 MR. MOORE: Thank you. Chair, I would like to
8 move the cross examination exhibits into the record as
9 marked.

10 CHAIR MITCHELL: All right. Hearing no
11 objection to your motion, it will be allowed.

12 (Whereupon, Sierra Club Cross
13 Examination Exhibit Numbers 1-5
14 were admitted into evidence.)

15 CHAIR MITCHELL: All right. At this point I
16 want to check in with our court reporter. We've been
17 going for about an hour and a half. Linda, how are you
18 doing? Do you need a break?

19 COURT REPORTER: I'm doing well. I don't need
20 a break.

21 CHAIR MITCHELL: All right. Well, let's
22 proceed, then. Mr. Kaylor, any redirect for your
23 witness?

24 MR. KAYLOR: Thank you, Chair Mitchell. Just a

1 few questions.

2 REDIRECT EXAMINATION BY MR. KAYLOR:

3 Q Mr. Verderame, you -- you've been involved in
4 this case. Are you involved in other cases that the
5 Company files with the Commission, rate cases, IRP
6 proceedings, those type proceedings?

7 A So no, not in North Carolina, I have not been.

8 Q And you did have occasion to review the
9 testimony filed by the Sierra Club witness Glick, did you
10 not?

11 A I did.

12 Q Is it fair to say that you take -- you disagree
13 with virtually everything that this witness has included
14 in her testimony; would that be correct?

15 A I'd say other than our agreement on what
16 commitment and dispatch is, yes. I can't find a lot of
17 common ground in anything in her testimony.

18 Q And you compare what she's testifying to on our
19 system to maybe what happens on an RTO, a regional
20 transmission organization?

21 A I do believe that's the language she was
22 viewing this through.

23 Q And are you aware that the Sierra Club has had
24 other witnesses that have testified in recent DEC cases

1 that have brought up these same issues?

2 A I am.

3 MR. MOORE: Your Honor, I would object to this
4 line of questioning. I believe this is relevant to Mr.
5 Verderame's direct and is not relevant to his rebuttal
6 testimony.

7 CHAIR MITCHELL: All right. Mr. Kaylor?

8 MR. KAYLOR: I believe it is relevant, and I
9 think --

10 CHAIR MITCHELL: All right. I'll allow the
11 question to go forward, Mr. Kaylor. Just limit your
12 redirect to matters pertaining to cross examination on
13 this witness's rebuttal testimony, please, sir.

14 MR. KAYLOR: Okay. I believe he answered that
15 already.

16 Q Mr. Verderame, I believe that you have
17 indicated that the Company did all it could to respond to
18 the data requests and -- the numerous data requests
19 requiring a tremendous amount of work on behalf of
20 Company personnel; is that correct?

21 A That is absolutely correct.

22 Q Were you aware that -- if the Sierra Club
23 propounded any follow-up questions to the responses that
24 we provided in these particular data requests?

1 A I'm sorry. Can you repeat that?

2 Q Are you aware that the Sierra Club objected
3 to --

4 A Oh.

5 Q -- or had any follow-up data requests to these
6 responses that have been provided?

7 A Yes.

8 Q And do you know whether or not they filed a
9 Motion to Compel to compel the Company to respond more
10 fully to any of the ones that we objected to?

11 A I was not aware of any Motion to Compel.

12 MR. KAYLOR: Thank you. That's all I have,
13 Madam Chair.

14 CHAIR MITCHELL: All right. Questions for the
15 witness from Commissioners?

16 (No response.)

17 CHAIR MITCHELL: Okay. I am seeing no
18 questions for the witness from Commissioners, so at this
19 point in time, Mr. Immel (sic), you may step down and be
20 excused, sir.

21 MR. KAYLOR: Verderame.

22 CHAIR MITCHELL: I'm sorry. Mr. Verderame.
23 I'm sorry.

24 THE WITNESS: I knew.

1 CHAIR MITCHELL: Mr. Verderame, we appreciate
2 your testimony here today. You may be excused.

3 (Witness excused.)

4 CHAIR MITCHELL: Mr. Kaylor, abundance of
5 caution --

6 MR. KAYLOR: Yes.

7 CHAIR MITCHELL: -- I'd like for you to move
8 the witness's test--- rebuttal testimony --

9 MR. KAYLOR: Yes.

10 CHAIR MITCHELL: -- into the record, please,
11 sir.

12 MR. KAYLOR: Exactly. I would move that the
13 rebuttal testimony of Mr. Verderame be accepted into the
14 record as if given on the stand today.

15 CHAIR MITCHELL: All right, Mr. Kaylor.
16 Hearing no objection to your motion, the 17 pages of
17 rebuttal testimony filed by Mr. Verderame will be copied
18 into the record as if delivered orally from the stand.

19 (Whereupon, the prefiled rebuttal
20 testimony of John A. Verderame was
21 copied into the record as if given
22 orally from the stand.)

23

24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)
Application of Duke Energy Carolinas, LLC) **REBUTTAL TESTIMONY OF**
Pursuant to G.S. 62-133.2 and NCUC Rule) **JOHN A. VERDERAME FOR**
R8-55 Relating to Fuel and Fuel-Related) **DUKE ENERGY CAROLINAS, LLC**
Charge Adjustments for Electric Utilities)

1 **I. INTRODUCTION AND PURPOSE**

2 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND POSITION**
3 **WITH THE COMPANY.**

4 A. My name is John A. Verderame. My business address is 526 South Church Street,
5 Charlotte, North Carolina 28202. I am employed as Vice President, Fuels &
6 Systems Optimization for Duke Energy Corporation (“Duke Energy”). In that
7 capacity, I lead the organization responsible for the purchase and delivery of coal,
8 natural gas, fuel oil, and reagents to Duke Energy’s regulated generation fleet,
9 including Duke Energy Carolinas, LLC (“Duke Energy Carolinas,” “DEC,” or the
10 “Company”) and Duke Energy Progress, LLC (“DEP”) (collectively, the
11 “Companies”). In addition, I manage the fleet’s power trading, system
12 optimization, energy supply analytics, and contract administration functions.

13 **Q. DID YOU PREVIOUSLY FILE DIRECT TESTIMONY IN SUPPORT OF**
14 **THE COMPANY’S APPLICATION IN THIS DOCKET?**

15 A. Yes.

16 **Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?**

17 A. The purpose of my rebuttal testimony is to respond to the testimony of Ms. Devi
18 Glick filed on behalf of Sierra Club as it relates to DEC’s unit commitment and
19 dispatch processes of its coal generation stations.

20 **Q. WHAT IS THE PURPOSE OF THIS PROCEEDING?**

21 A. The purpose of this proceeding is to obtain Commission approval of the
22 Company’s proposed fuel rates pursuant to N.C. Gen. Stat. § 62-133.2 and
23 Commission Rule R8-55.

1 **Q. HAS ANY PARTY RECOMMENDED AN ADJUSTMENT TO THE**
2 **FUEL RATES PROPOSED BY THE COMPANY?**

3 A. No.

4 **Q. PLEASE PROVIDE YOUR GENERAL RESPONSE TO THE**
5 **TESTIMONY OF SIERRA CLUB WITNESS DEVI GLICK.**

6 A. Consistent with the testimony of Sierra Club's witness from the 2019 fuel case
7 proceedings for the Company and for DEP, witness Glick submits extensive
8 testimony concerning a range of issues—some of which are not relevant to this
9 proceeding and others of which have been addressed in other proceedings—but
10 does not make any recommendation that is germane to the purpose of this
11 proceeding.

12 **Q. HAS THE COMPANY PROVIDED SUFFICIENT INFORMATION IN**
13 **THIS PROCEEDING TO ESTABLISH ITS TEST PERIOD FUEL AND**
14 **FUEL-RELATED COSTS WERE REASONABLE AND PRUDENTLY**
15 **INCURRED, INCLUDING THAT INFORMATION THAT IS**
16 **REQUIRED UNDER APPLICABLE LAW?**

17 A. Yes. The content and structure of the Company's application in this proceeding
18 conforms to all applicable legal requirements and is substantially identical to
19 that of all recent fuel rider applications, and the Company has responded to
20 extensive discovery requests, including those of Sierra Club. Furthermore, no
21 party has alleged that the Company's fuel application failed to conform to
22 applicable law. Specifically, the Company's application conformed in all
23 respects with the requirements outlined in Commission Rule R8-55, including
24 the specific information required to be included in a fuel rider application under

1 Rule R8-55(e). Compliance with the Commission's clear and objective
2 information requirements is the appropriate standard for evaluating the
3 sufficiency of the Company's application.

4 **Q. DID SIERRA CLUB'S WITNESS IN THE 2020 FUEL PROCEEDINGS**
5 **FOR DEC AND DEP ALSO CRITICIZE THE AMOUNT OF**
6 **INFORMATION PROVIDED BY DEC AND DEP, RESPECTIVELY?**

7 A. Yes. In the 2020 fuel proceedings, the Sierra Club witness similarly ignored
8 the applicable legal requirements and, instead, sought to impose his subjective
9 judgement regarding the necessary contents of the Company's fuel application.

10 **Q. WHAT WAS THE COMMISSION'S CONCLUSIONS ON THESE**
11 **ISSUES IN THE 2020 DEC AND DEP FUEL PROCEEDINGS?**

12 A. The Commission rejected the recommendation of the Sierra Club witness in the
13 2020 fuel proceedings for DEC and DEP. Specifically, in the DEP fuel order,
14 the Commission confirmed "that the sufficiency of the Company's fuel
15 application should be evaluated based on the requirements of applicable law."¹

16 The Commission further noted that it had previously rejected similar
17 recommendations from the Sierra Club witness and observed that "the scope
18 and level of detail contained in the Company's application, testimony, exhibits,
19 and workpapers as filed in this proceeding conforms with applicable law and is
20 consistent with prior applications."² The Commission has rejected similar
21 recommendations from a Sierra Club witness in the two most recent fuel

¹ Order Approving Fuel Charge Adjustment, Docket No. E-2, Sub 1250 (November 30, 2020), at 12-13.

² Id. at 13.

1 proceedings and should, for the same reasons, reject the recommendation of the
2 Sierra Club witness in this proceeding.

3 **Q. PLEASE RESPOND TO WITNESS GLICK'S RECOMMENDATION**
4 **THAT "THE COMMISSION DIRECT DEC TO CONDUCT A NEW**
5 **RETIREMENT STUDY OF EACH UNIT IN THE COMPANY'S**
6 **FLEET."**³

7 A. There is simply no basis under applicable law to suggest that a fuel rider
8 proceeding is the appropriate forum in which to consider a retirement analysis
9 of Company generating units. In fact, Witness Glick acknowledges that a
10 retirement analyses has been conducted in the 2020 Integrated Resource Plan
11 ("IRP") but, inexplicably and without alleging any infirmity in the retirement
12 analyses in the IRP, insists that the same analyses be performed in this
13 proceeding. This recommendation should be completely disregarded.

14 **II. UNIT COMMITMENT AND DISPATCH**

15 **Q. PLEASE PROVIDE A GENERAL DESCRIPTION OF THE CONCEPTS**
16 **OF UNIT COMMITMENT AND DISPATCH?**

17 A. "Unit Commitment" or "Commitment" is the process of modeling the optimal
18 mix of generation units to be placed online to economically and reliably meet
19 projected system needs. "Generation Dispatch" or "Dispatch" is the process of
20 economically optimizing the MW output of individual generators once they
21 have been placed online (through the unit commitment process) by evaluating
22 the instantaneous balancing of load and generation. In lay terms, the

³ Glick Direct, at 42.

1 commitment process determines which generating units should be placed online
2 and dispatch determines how those units are operated once they are online.

3 **Q. PLEASE DESCRIBE GENERALLY THE COMPANY'S APPROACH**
4 **TO COMMITMENT AND DISPATCH?**

5 A. The Company performs a detailed daily process to determine the unit
6 commitment plan that is necessary to economically and reliably meet projected
7 system needs over the next seven days. The Company utilizes a production cost
8 model called GenTrader to determine an optimal unit commitment plan to
9 economically and reliably meet system requirements. Inputs to the model
10 include, but are not limited to, the following: 1) forecasted customer energy
11 demand; 2) fuel commodity and emission allowance market prices; 3)
12 contractual obligations including power market purchases and sales; 4)
13 generating unit parameters such as, but not limited to, minimum load, maximum
14 load, heat rate, ramp rate, variable O&M, start-up costs and shut-down costs;
15 and 5) planned unit outages and unit de-rates. The production cost model output
16 produces the optimized hourly unit commitment plan for the 7-day forecast
17 period. This unit commitment plan also provides the starting point for dispatch,
18 but dispatch is then also subject to real time adjustments due to changing system
19 conditions. The unit commitment plan is prepared daily and adjusted, as needed,
20 throughout any given day to respond to changing real time system conditions.

21 Only variable costs are utilized in the unit commitment model. Fixed
22 costs—which are those costs that will be incurred regardless of whether a unit
23 is committed—are not considered in the development of the unit commitment
24 plan.

1 **Q. WHAT IS WITNESS GLICK’S BENCHMARK FOR ECONOMIC UNIT**
2 **COMMITMENT AND DISPATCH?**

3 A. Witness Glick states in her testimony that “[w]hen a unit is committed
4 economically, the unit is reasonably expected to be lower cost than the marginal
5 cost of energy, called ‘system lambda’ over the next day or days.”⁴

6 **Q. DO YOU AGREE THAT SYSTEM LAMBDA IS AN APPROPRIATE**
7 **MEASURE OF WHETHER A UNIT COMMITMENT DECISION IS**
8 **ECONOMIC?**

9 A. No. System lambda is a calculation of *instantaneous* system *incremental* cost,
10 whereas unit commitment decisions are appropriately made based on the *total*
11 variable cost of generation over a *multi-day* period. If a unit is projected to
12 provide benefit to customers over a multi-day period based on the total variable
13 cost of generation, then the unit is placed online. Once online, the unit is
14 dispatched based on the instantaneous system incremental cost. In other words,
15 system lambda is the appropriate price signal for dispatch decisions but not for
16 unit commitment decisions. Witness Glick fundamentally misunderstands the
17 Company’s unit commitment methodology.

18 **Q. WITNESS GLICK OFFERS A COMPARISON OF CERTAIN UNITS’**
19 **MONTHLY AVERAGE COST OF GENERATION TO A MONTHLY**
20 **AVERAGE SYSTEM LAMBDA.⁵ IS THIS AN APPROPRIATE**
21 **COMPARISON?**

⁴ Glick Direct Testimony, at 13.

⁵ Glick Direct, at 21.

1 A. No. This comparison is not meaningful and provides no useful information.
2 First, system lambda is the instantaneous marginal cost on the system and
3 varies, sometimes substantially, over the course of day and certainly over the
4 course of a month. To average all of these instantaneous values ignores the
5 actually experienced variability. Averaging these values over a month has even
6 less value, as it is ignoring the fact that delivering energy to a customer is a 24
7 hour a day, 7 days a week, 365 days a year obligation. Averaging instantaneous
8 data into a monthly comparison ignores the fact that the unit may have been
9 critical to supplying customer demand at certain critical periods of time. Stated
10 simply, a unit with a higher average cost is still often critical in ensuring
11 reliability during a high price period on the system even where the average
12 system lambda is lower than the average cost of the unit. Witness Glick paints
13 with a broad brush with no appreciation for the actual minute by minute
14 dispatch decisions made by the Company to ensure reliable and economic
15 service.

16
17 Second, the average cost of generation cited by Witness Glick is also misleading
18 because average costs are not the prices on which the Company makes dispatch
19 decisions. A generating unit's marginal cost on which dispatch decisions are
20 made is lower than its average cost of generation because average cost of
21 generation includes fixed fuel transportation costs, start-up fuel costs and no-
22 load cost (which is the cost of fuel needed to produce steam pressure sufficient
23 to synchronize the generator to the grid), all of which are sunk costs.

1 **Q. IS THE PRACTICE OF UNIT COMMITMENT PLANNING AND**
2 **DISPATCHING UNITS BASED ON VARIABLE COSTS CONSISTENT**
3 **WITH GOOD UTILITY PRACTICE?**

4 A. Yes. Fixed fuel-related costs are “sunk,” meaning that the cost will be incurred
5 whether or not a unit is committed and dispatched. It is therefore entirely
6 reasonable, and consistent with industry practice, to only utilize variable costs
7 when making commitment and dispatch decisions.

8 **Q. WHAT OTHER ASPECTS OF THE COMMITMENT AND DISPATCH**
9 **PROCESS DOES WITNESS GLICK OVERSIMPLIFY OR IGNORE?**

10 A. Witness Glick presents an oversimplified view of unit commitment and
11 dispatch decisions but ignores the real world decisions made by the Company
12 to ensure reliable service—that is, the necessity of maintaining day-ahead
13 planning reserves, operating reserves, and regulating reserves in order to
14 maintain system reliability. The Company’s unit commitment plans include
15 1,770 MW of capacity above and beyond DEC’s expected peak load. Capacity
16 must be online (or available) within a short period of time. A coal unit will
17 provide energy and capacity during the peak. The Company recognizes that the
18 capacity factors of its coal fleet are declining. For example, Allen Station’s
19 operation strategy has shifted from a baseload to a cycling resource. However,
20 the Company requires cycling resources, which operate at lower capacity
21 factors, to provide reliable service to customers in periods of high demand. If
22 a needed coal unit were not online then the Company would have to start more
23 expensive additional CTs and/or purchase more expensive energy and capacity

1 from the market (assuming that capacity was even available in the market
2 during such a time).

3 **Q. PLEASE RESPOND TO WITNESS GLICK'S ASSERTIONS**
4 **REGARDING THE "PERFORMANCE" OF THE COMPANY'S COAL**
5 **UNITS.**

6 A. Witness Glick repeatedly refers to the "performance" of the Company's coal
7 units when assessing the capacity factors of the units. As an initial matter,
8 assessing the capacity factors of units and their value to the system is not
9 relevant to a fuel proceeding, and witness Glick's testimony in this respect
10 should be ignored.

11

12 Nevertheless, it is worth noting that witness Glick's description of a unit's
13 "performance" is misleading. There is certainly no dispute that certain of the
14 Company's coal units have low capacity factors. But this does not equate to
15 poor performance. The Company maintains required capacity resources to
16 meet its system requirements and obligations, and the fact that certain units are
17 not required to operate at times does not equate to poor performance or mean
18 that the units are not necessary to ensure reliability. Witness Glick's
19 characterization and comparisons ignore the Company's capacity reserve
20 requirements and obligations and the fact the annualized capacity factors of
21 certain coal units are lower because the Company committed and dispatched
22 other more cost effective units or, if available purchased energy and capacity
23 from the bi-lateral power market before committing and dispatching such units.

1 Glick utterly fails to identify any specific cost that DEC is allegedly mis-
2 categorizing.

3

4 When making unit commitment and dispatch decisions, the Company evaluates
5 all generation cost types and appropriately categorizes them as fixed or variable.
6 Witness Glick has provided no specific examples of costs categorized as fixed
7 that she believes should be categorized as variable. It would be inappropriate
8 and potentially result in a less economic commitment and dispatch outcome to
9 assign fixed costs as variable for inclusion into unit commitment and dispatch
10 prices just to achieve witness Glick's apparently desired result of seeing coal
11 units shift higher on the supply stack.

12 **Q. DOES WITNESS GLICK, IN HER TESTIMONY, EVER DISCUSS OR**
13 **ACKNOWLEDGE THE ABILITY OF THE COMPANY'S COAL**
14 **FLEET TO OPERATE ON NATURAL GAS?**

15 A. No, despite being provided cost of generation for natural gas, natural gas burns
16 and natural gas production costs related to dual fuel operations at Cliffside Units
17 5&6, Belews Creek Unit 1, and Marshall Units 3&4, witness Glick never
18 discusses the dual fuel operation of these units.

19 **Q. HOW DOES THE COMPANY RESPOND TO WITNESS GLICK'S**
20 **ASSERTION THAT THE COMPANY OMITTED FUEL AND**
21 **VARIABLE COSTS REPRESENTING 40% OF THE COMPANY'S**
22 **ACTUAL PRODUCTION COSTS?**

23 A. Based on the working sheet providing by Sierra Club in response to the
24 Company's data request, it appears that witness Glick took the Average Coal

1 Cost of Generation (\$/MWh) and multiplied that by the total daily Net
2 Generation (MWh) aggregated by month including dual fuel natural gas
3 generation. This calculation produced witness Glick's production costs of
4 \$558M. However, witness Glick's calculation excludes the Average Natural
5 Gas Cost of Generation (\$/MWh) for the dual fuel units of Belews Creek,
6 Cliffside and Marshall which were provided to Sierra Club as part of Data 1-
7 3f&j. In other words, it appears that witness Glick's calculations in this respect
8 were fundamentally flawed by ignoring the gas operation of these units.

9
10 Beyond this exclusion, it is not entirely clear what costs witness Glick is
11 referring to that are being omitted. If witness Glick is referring to the omission
12 of variable costs in the unit commitment and dispatch process, the Company
13 vigorously disagrees with the assertion. As previously outlined, the Company
14 includes all variable costs in its unit commitment and dispatch process and
15 excludes fixed costs that would be incurred regardless of whether a unit ran or
16 not.

17 **Q. WITNESS GLICK ALLEGES THAT THE COMPANY INCURRED \$8.5**
18 **MILLION IN AVOIDABLE OPERATIONAL BASED ON A**
19 **COMPARISON OF "MONTHLY PRODUCTION COSTS RELATIVE**
20 **TO SYSTEM LAMBDA."**⁸ **PLEASE RESPOND.**

21 A. I fundamentally disagree with this allegation. Witness Glick's testimony in this
22 instance once again utilizes average monthly numbers (average production
23 costs and average system lambda) in a completely inappropriate manner that

⁸ Glick Rebuttal, at 38.

1 ignores the way in which a utility actually operates its system on an hourly basis
2 to ensure reliable and economic service. The average system lambda does not
3 provide the real picture concerning the hours in which the units in question were
4 called up on to operate when needed.

5 **Q. HOW DOES THE COMPANY RESPOND TO WITNESS GLICK'S**
6 **ASSERTION THAT THE COMPANY DID NOT PROVIDE THE 7 DAY**
7 **AHEAD UNIT COMMITMENT FORECAST?⁹**

8 A. Witness Glick's assertion in this respect is simply incorrect, as in fact the
9 Company provided every 7 day ahead unit commitment forecast published in
10 the year 2020 (1,078 individual forecasts) to Sierra Club in the supplemental
11 response to discovery request Sierra Club DR1-9b. These forecasts were
12 delivered to Sierra Club on May 7, 2021. These files are the output of the
13 GenTrader model and indicated the hourly optimized unit commitment and
14 dispatch plan for the next seven days.

15 **Q. IN WHAT WAYS IS SIERRA CLUB TESTIMONY IN THIS**
16 **PROCEEDING SIMILAR TO ITS TESTIMONY IN THE RECENT DEC**
17 **RATE CASE IN DOCKET NO. E-7, SUB 1214?**

18 A. In the DEC rate case in Docket No. E-7, Sub 1214, Sierra Club's witness made
19 a number of outlandish recommendations concerning the Company's coal units,
20 all of which were rejected by the Commission. In rejecting the Sierra Club's
21 witnesses recommendations, the Commission observed, in part, that the Sierra
22 Club witness had, by her own admission, failed to "evaluate what replacement
23 alternatives the Company should have chosen instead of making the

⁹ Glick Direct, at 39.

1 investments, and did not identify any particular investment DEC should not
2 have made.” The Commission also noted that the Sierra Club witness had
3 acknowledged that “she did not analyze whether shutting the units down was a
4 feasible path DEC could have chosen and still have been able to meet its service
5 obligations.”

6
7 While in this proceeding the Sierra Club witness has not made an actual
8 disallowance recommendation, there are substantial similarities with the Sierra
9 Club positions from the DEC rate case, in that the Sierra Club witness in this
10 proceeding has failed to identify any specific examples of ways in which the
11 Company should have operated its system differently during the test period or
12 identified any specific decision that is imprudent. The Sierra Club’s witness
13 does not undertake a meaningful assessment of reliability and has utterly failed
14 to identify a single decision by the Company during the test period that should
15 have been different.

16
17 **Q. WHAT OTHER GENERAL OBSERVATIONS DO YOU HAVE**
18 **CONCERNING WITNESS GLICK’S TESTIMONY?**

19 A. Sierra Club witness Glick also makes general conclusory assertions with little
20 to no hard evidence to support such assertions. For instance, Witness Glick
21 asserts that “in the past utilities operated their coal-fired plants as baseload
22 resources with little thought given to whether the plants should be turned on or
23 off.” I categorically reject this assertion as it relates to DEC’s operation of its
24 generating facilities—there has been no period of time in which DEC operated
25 its plants “with little thought given to whether the plants should be turned on or

1 off.” When asked in discovery to produce “all analysis, workpapers,
2 documents and supporting data” for such statement, Sierra Club asserted that
3 “[t]his statement is supported by Ms. Glick’s experience reviewing the changes
4 in the operation and performance of coal-fired power plants across historical
5 and current data.” In other words, witness Glick has made a sweeping assertion
6 of a general lack of prudence across all utilities and yet is not able to offer a
7 single concrete piece of evidence to support this assertion.

8
9 Witness Glick also makes generalized recommendations concerning the
10 Company’s coal and transportation contracting strategies. For instance, witness
11 Glick asserts that a “...responsible utility manager should seek to minimize the
12 portion of average costs that falls into these categories and are therefore omitted
13 from the unit commitment process. Specifically, this can be done by (1)
14 securing fuel and transportation contracts that are flexible and have minimal
15 locked-in or must-take provisions; (2) carefully reviewing the costs of fuel
16 contracts relative to alternatives, including reduced operation and retirement of
17 the plant, prior to signing any new fuel contracts...” Yet, when asked in
18 discovery, witness Glick failed to identify a single instance of a fuel or
19 transportation contract at issue in this proceeding that DEC should not have
20 entered. Furthermore, witness Glick acknowledged in discovery response that
21 she has never been “responsible for the negotiation of a fuel or transportation
22 contract in connection with the operation of coal-fired generating facility.” In
23 other words, witness Glick seeks to opine on technical topics regarding which

1 she has no personal experience and for which she is unable to even attempt to
2 identify an alleged imprudent decision.

3
4 **Q. PLEASE COMMENT GENERALLY ON THE PURPOSE OF THIS**
5 **PROCEEDING AS IT RELATES TO THE TESTIMONY OF SIERRA**
6 **CLUB WITNESS GLICK.**

7 A. Once again, the purpose of this proceeding is to establish fuel rates for
8 DEC. Witness Glick has not recommended any changes to the fuel rates
9 proposed by DEC. Instead, witness Glick has sought to leverage this
10 proceeding into an opportunity to opine on a number of topics that are either
11 properly addressed in other proceedings or have previously been rejected by the
12 Commission. In the Company's view, such efforts are not an efficient use of
13 regulatory resources.

14 **Q. DOES THIS CONCLUDE YOUR PRE-FILED REBUTTAL**
15 **TESTIMONY?**

16 A. Yes, it does.

17

1 CHAIR MITCHELL: All right. At this point I
2 believe we have come to the end of at least the -- the
3 cross examination times that were identified by the
4 Commission. I will check in with counsel to see if there
5 are any other matters that need to be addressed before we
6 move towards adjournment?

7 MR. KAYLOR: Chair Mitchell, I'm not aware of
8 any. I think we've moved that all our exhibits be
9 entered into the record, I believe we asked that the
10 Application be entered into the record, and I think this
11 would conclude the Company's case.

12 CHAIR MITCHELL: All right. Thank you, Mr.
13 Kaylor. Ms. Thompson, I see that you are appearing. Do
14 you have anything for the Commission's attention?

15 MS. THOMPSON: No. Thank you, Chair Mitchell.
16 Nothing for the Sierra Club.

17 CHAIR MITCHELL: Okay. Well, as is the case,
18 we will entertain post-hearing filings, briefs, proposed
19 orders 30 days from the notice of the mailing of the
20 transcript. Of course, you're absolutely welcome and
21 encouraged to file those sooner than that. And with
22 that, I thank you all for your preparation and
23 participation in this hearing today. And unless there's
24 anything else for my attention, we will be adjourned.

1 (The hearing was adjourned.)

2

3 ***Reporter's Note: Per Commission Order
4 issued on May 28, 2021, the introduction of
5 the prefiled testimony, exhibits, and
6 affidavits of the following witnesses is
7 ordered, and they were excused from testifying
8 at the expert witness hearing: Bryan L. Sykes,
9 Kevin Y. Houston, Steven D. Capps, June Chiu,
10 and Dustin R. Metz.

11 (Whereupon, the prefiled direct and
12 supplemental testimonies of Bryan
13 L. Sykes were copied into the record
14 as if given orally from the stand.)

15 (Sykes Exhibits 1-6 filed with
16 direct testimony, and Sykes Revised
17 Exhibits 1-4 and Sykes Exhibits 5
18 and 6 filed with supplemental
19 testimony were identified as
20 premarked and admitted into
21 evidence.)

22

23

24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)
Application of Duke Energy Carolinas, LLC)
Pursuant to G.S. 62-133.2 and NCUC Rule)
R8-55 Relating to Fuel and Fuel-Related) **DIRECT TESTIMONY**
Charge Adjustments for Electric Utilities) **OF BRYAN L. SYKES FOR**
) **DUKE ENERGY CAROLINAS, LLC**

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Bryan L. Sykes. My business address is 550 South Tryon Street,
3 Charlotte, North Carolina.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am Rates Manager for Duke Energy Carolinas, LLC (“DEC” or the
6 “Company”).

7 **Q. PLEASE SUMMARIZE YOUR EDUCATION AND PROFESSIONAL
8 QUALIFICATIONS.**

9 A. I received my Bachelor of Science and Master of Science Degrees in Accounting
10 from East Carolina University. I am a certified public accountant licensed in the
11 State of North Carolina. I began my career in 2001 with Arthur Andersen, LLP
12 as a staff auditor. From 2001 until 2006 I held various roles in public accounting
13 firms, including Grant Thornton, LLP (successor to Arthur Andersen, LLP) and
14 subsequently PricewaterhouseCoopers, LLP. In 2006, I started at Progress
15 Energy, Inc. as a financial auditor and subsequently held a variety of positions in
16 the accounting organization before and after the merger with Duke Energy
17 Corporation in 2012. I joined the Rates Department in 2019 as Manager, Rates
18 and Regulatory Filings.

19 **Q. PLEASE DESCRIBE YOUR DUTIES AS RATES MANAGER FOR
20 DEC.**

21 A. I am responsible for providing regulatory support for retail rates, providing
22 guidance on DEC’s fuel and fuel-related cost recovery application in North
23 Carolina, and its fuel cost recovery application in South Carolina.

1 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE NORTH**
2 **CAROLINA UTILITIES COMMISSION?**

3 A. Yes. I provided testimony in Docket Nos. E-7, Sub 1231 and E-2, Sub 1254
4 regarding Duke Energy Carolinas, LLC and Duke Energy Progress, LLC's
5 compliance reports and applications for approval of their respective CPRE cost
6 recovery riders in 2020.

7 **Q. ARE YOU FAMILIAR WITH THE ACCOUNTING PROCEDURES AND**
8 **BOOKS OF ACCOUNT OF DEC?**

9 A. Yes. DEC's books of account follow the uniform classification of accounts
10 prescribed by the Federal Energy Regulatory Commission ("FERC").

11 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

12 A. The purpose of my testimony is to present the information and data required by
13 North Carolina General Statutes ("N.C. Gen. Stat.") § 62-133.2(c) and (d) and
14 Commission Rule R8-55, as set forth in Sykes Exhibits 1 through 6, along with
15 supporting work papers. The test period used in supplying this information and
16 data is the twelve months ended December 31, 2020 ("test period"), and the billing
17 period is September 1, 2021 through August 31, 2022 ("billing period").

18 **Q. WHAT IS THE SOURCE OF THE ACTUAL INFORMATION AND**
19 **DATA FOR THE TEST PERIOD?**

20 A. Actual test period kilowatt hour ("kWh") generation, kWh sales, fuel-related
21 revenues, and fuel-related expenses were taken from DEC's books and records.
22 These books, records, and reports of DEC are subject to review by the appropriate
23 regulatory agencies in the three jurisdictions that regulate DEC's electric rates. In

1 addition, independent auditors perform an annual audit to provide assurance that,
2 in all material respects, internal accounting controls are operating effectively and
3 DEC's financial statements are accurate.

4 **Q. WERE SYKES EXHIBITS 1 THROUGH 6 PREPARED BY YOU OR AT**
5 **YOUR DIRECTION AND UNDER YOUR SUPERVISION?**

6 A. Yes, these exhibits were either prepared by me or at my direction and under my
7 supervision, and consist of the following:

8 Exhibit 1: Summary Comparison of Fuel and Fuel-Related Costs Factors.

9 Exhibit 2:

10 Schedule 1: Fuel and Fuel-Related Costs Factors - reflecting a
11 93.21% proposed nuclear capacity factor and
12 projected megawatt hour ("MWh") sales.

13 Schedule 2: Fuel and Fuel-Related Costs Factors - reflecting a
14 93.21% nuclear capacity factor and normalized
15 test period sales.

16 Schedule 3: Fuel and Fuel-Related Costs Factors - reflecting a
17 91.95% North American Electric Reliability
18 Corporation ("NERC") five-year national
19 weighted average nuclear capacity factor for
20 pressurized water reactors and projected billing
21 period MWh sales.

1 Exhibit 3:

2 Page 1: Calculation of the Proposed Composite Experience
3 Modification Factor (“EMF”) rate.

4 Page 2: Calculation of the EMF for residential customers.

5 Page 3: Calculation of the EMF for general service/lighting
6 customers.

7 Page 4: Calculation of the EMF for industrial customers.

8 Exhibit 4: MWh Sales, Fuel Revenue, and Fuel and Fuel-Related Expense,
9 as well as System Peak for the test period.

10 Exhibit 5: Nuclear Capacity Ratings.

11 Exhibit 6: December 2020 Monthly Fuel Reports.

12 1) December 2020 Monthly Fuel Report required by NCUC
13 Rule R8-52.

14 2) December 2020 Monthly Base Load Power Plant
15 Performance Report required by NCUC Rule R8-53.

16 **Q. PLEASE EXPLAIN SYKES EXHIBIT 1.**

17 A. Sykes Exhibit 1 presents a summary of fuel and fuel-related cost factors, including
18 the current fuel and fuel-related cost factors, the fuel and fuel-related cost factor
19 calculations as required under Rule R8-55, and the proposed fuel and fuel-related
20 cost factors.

21 **Q. WHAT FUEL AND FUEL-RELATED COSTS FACTORS DOES DEC
22 PROPOSE FOR INCLUSION IN RATES FOR THE BILLING PERIOD?**

23 A. DEC proposes fuel and fuel-related costs factors for residential, general

1 service/lighting, and industrial customers of 1.4456¢, 1.7015¢, and 1.8359¢ per
 2 kWh, respectively, to be reflected in rates during the billing period. The factors
 3 DEC proposes in this proceeding incorporate a 93.21% nuclear capacity factor as
 4 testified to by Company witness Capps, projected fossil fuel costs as testified to
 5 by Company witness Verderame, projected nuclear fuel costs as testified to by
 6 Company witness Houston, and projected reagents costs as testified to by
 7 Company witness Immel. The components of the proposed fuel and fuel-related
 8 cost factors by customer class, as shown on Sykes Exhibit 1, are as follows:

Description	Residential cents/kWh	General cents/kWh	Industrial cents/kWh	Composite cents/kWh
Total adjusted Fuel and Fuel Related Costs	1.4755	1.7254	1.7589	1.6414
EMF Increment (Decrement)	(0.0259)	(0.0207)	0.0770	(0.0033)
EMF Interest (Decrement)	(0.0040)	(0.0032)	-	(0.0029)
Net Fuel and Fuel Related Costs Factors	1.4456	1.7015	1.8359	1.6352

9
10
11 **Q WHAT IS THE IMPACT TO CUSTOMERS' BILLS IF THE PROPOSED**
 12 **FUEL AND FUEL-RELATED COSTS FACTORS ARE APPROVED BY**
 13 **THE COMMISSION?**

14 A. The proposed fuel and fuel-related costs factors will result in a 1.89% decrease
 15 on customers' bills. The table below shows both the proposed and existing fuel
 16 and fuel-related costs factors.

Description	Residential cents/kWh	General cents/kWh	Industrial cents/kWh	Composite cents/kWh
Proposed Total Fuel Factor	1.4456	1.7015	1.8359	1.6352
Existing Total Fuel Factor	1.6391	1.8249	1.9310	1.7791
Decrease in Fuel Factor	(0.1935)	(0.1234)	(0.0951)	

17
18 **Q. WHAT ARE THE KEY DRIVERS IMPACTING THE PROPOSED FUEL**

1 **AND FUEL-RELATED COSTS FACTORS?**

2 A. The decrease in the proposed net fuel and fuel-related costs factors is primarily
3 driven by a \$2 million over-recovery in the current test period compared to a \$57
4 million under-recovery included in current rates. In addition, estimated system
5 fuel costs in the billing period are lower due to lower kilowatt-hour sales and lower
6 commodity prices.

7 **Q. HOW DOES DEC DEVELOP THE FUEL FORECASTS FOR ITS**
8 **GENERATING UNITS?**

9 A. For this filing, DEC used an hourly dispatch model in order to generate its fuel
10 forecasts. This hourly dispatch model considers the latest forecasted fuel prices,
11 outages at the generating units based on planned maintenance and refueling
12 schedules, forced outages at generating units based on historical trends, generating
13 unit performance parameters, and expected market conditions associated with
14 power purchases and off-system sales opportunities. In addition, the model
15 dispatches DEC's and DEP's generation resources via joint dispatch, which
16 optimizes the generation fleets of DEC and DEP for the benefit of customers.

17 **Q. PLEASE EXPLAIN WHAT IS SHOWN ON SYKES EXHIBIT 2,**
18 **SCHEDULES 1, 2, AND 3, INCLUDING THE NUCLEAR CAPACITY**
19 **FACTORS.**

20 A. Exhibit 2 is divided into three schedules. Schedule 1 sets forth system fuel costs
21 used in the determination of the prospective fuel and fuel-related costs. The
22 calculation uses the nuclear capacity factor of 93.21% and provides the forecasted
23 MWh sales for the billing period on which system generation and costs are based.

1 Forecasted generation and purchased power associated with the Company's
2 CPRE Program, established by N.C. Gen. Stat § 62-110.8 and approved by this
3 Commission in Docket No. E-7, Sub 1156, used to supply the Company's native
4 load has been included in Exhibit 2. The purchased and generated power costs
5 associated with this generation are included in the Company's Rider CPRE filing
6 in Docket No. E-7, Sub 1247.

7 Schedule 2 also uses the proposed capacity factor of 93.21% along with
8 normalized test period kWh generation, as prescribed by NCUC Rule R8-55
9 (e)(3), which requires the use of the methodology adopted by the Commission in
10 DEC's last general rate case.

11 The capacity factor shown on Schedule 3 is prescribed in NCUC Rule R8-
12 55(d)(1). The normalized five-year national weighted average NERC nuclear
13 capacity factor is 91.95%. This capacity factor is based on the 2015 through 2019
14 data reported in the NERC Generating Unit Statistical Brochure for pressurized
15 water reactors rated at and above 800 MWs. Projected billing period kWh
16 generation was also used for Schedule 3 per NCUC Rule R8-55 (d)(1).

17 Page 2 of Exhibit 2, Schedules 1, 2, and 3 presents the calculation of the
18 proposed fuel and fuel-related costs factors by customer class resulting from the
19 allocation of renewable and cogeneration power capacity costs by customer class
20 on the basis of peak demand, a proxy for the production plant allocator since the
21 annual cost of service study is not available at the timing of filing.

1 Page 3 of Exhibit 2, Schedules 1, 2, and 3 shows the allocation of system
2 fuel costs to the North Carolina retail jurisdiction, and the calculation of DEC's
3 proposed fuel and fuel-related costs factors for the residential, general
4 service/lighting and industrial classes, exclusive of regulatory fee, using the
5 uniform percentage average bill adjustment method.

6 **Q. PLEASE SUMMARIZE THE METHOD USED TO ADJUST TEST**
7 **PERIOD KWH GENERATION IN SYKES EXHIBIT 2, SCHEDULES 2**
8 **AND 3.**

9 A. The methodology used by DEC in its most recent general rate case for determining
10 generation mix is based upon generation dispatch modeling as used on Sykes
11 Exhibit 2, Schedule 1. For purposes of this filing, as a proxy for generation
12 dispatch modeling, Sykes Exhibit 2, Schedules 2 and 3 adjust the coal generation
13 produced by the dispatch model. For example, on Exhibit 2, Schedule 2, which is
14 based on the proposed capacity factor and normalized test period sales, DEC
15 decreased the level of coal generation to account for the difference between
16 forecasted generation and normalized test period generation. On Exhibit 2,
17 Schedule 3, which is based on the NERC capacity factor, DEC increased the level
18 of coal generation to account for the decrease in nuclear generation. The decrease
19 in nuclear generation results from assuming a 91.95% NERC nuclear capacity
20 factor compared to the proposed 93.21% nuclear capacity factor.

21 **Q. SYKES EXHIBIT 3 SHOWS THE CALCULATION OF THE TEST**
22 **PERIOD OVER/(UNDER) RECOVERY BALANCE AND THE EMF**
23 **RATE. HOW DID FUEL EXPENSES COMPARE WITH FUEL**

1 **REVENUE DURING THE TEST PERIOD?**

2 A. Sykes Exhibit 3, Pages 1 through 4, demonstrates that for the test period, DEC
3 experienced an over-recovery for the residential and general service/lighting
4 customer classes of \$6.0 million and \$4.8 million, respectively, and an under-
5 recovery for the industrial customer class of \$8.9 million. There are two
6 adjustments included in the calculation of the over-recovery balance at December
7 31, 2020. The first adjustment relates to the months of January 2020 through
8 March 2020, which were included in the fuel rate approved in the last fuel and
9 fuel-related cost recovery proceeding and are included for Commission review in
10 the current proceeding. The Company has excluded the amount of over-recovery
11 for the months of January 2020 through March 2020 that was included in the EMF
12 approved in Docket E-7, Sub 1228 when computing the proposed EMF factors.
13 For purposes of computing interest on amounts to be refunded to residential and
14 general service customers in this proceeding, a second adjustment is being made.
15 The Company has adjusted the over-recovery amount to exclude customer credits
16 for payments the Company received related to purchased power contract terms.
17 Such amounts are not considered a refund of amounts advanced by customers and
18 accordingly are not included in the computation of interest on over-recovery.

19 The over/(under) recovery amount was determined each month by
20 comparing the amount of fuel revenue collected for each class to actual fuel and
21 fuel-related costs incurred by class. The revenue collected is based on actual
22 monthly sales for each class. Actual fuel and fuel-related costs incurred were first
23 allocated to the NC retail jurisdiction based on jurisdictional sales, with

1 consideration given to any fuel and fuel-related costs or benefits that should be
2 directly assigned. The North Carolina retail amount is further allocated among
3 customer classes as follows: (1) capacity-related purchased power costs were
4 allocated among customer classes based on production plant allocators from
5 DEC's cost of service study and (2) all other fuel and fuel-related costs were
6 allocated among customer classes based on fixed allocation percentages
7 established in DEC's previous fuel and fuel-related cost recovery proceeding
8 based on the uniform percentage average bill adjustment method.

9 **Q. PLEASE EXPLAIN SYKES EXHIBIT 4.**

10 A. As required by NCUC Rule R8-55(e)(1) and (e)(2), Sykes Exhibit 4 sets forth test
11 period actual MWh sales, the customer growth MWh adjustment, and the weather
12 MWh adjustment. Test period MWh sales were normalized for weather using a
13 30-year period and adjusted for projected customer growth. Both of these
14 adjustments were determined using the methods approved for use in DEC's last
15 general rate case (Docket No. E-7, Sub 1146) and used in its last fuel proceeding.
16 Sykes Exhibit 4 also sets forth actual test period fuel-related revenue and fuel
17 expense on a total DEC basis and for North Carolina retail. Finally, Sykes Exhibit
18 4 shows the test period peak demand for the system and for North Carolina retail
19 customer classes.

20 **Q. PLEASE EXPLAIN SYKES EXHIBIT 5.**

21 A. Sykes Exhibit 5 sets forth the capacity ratings for each of DEC's nuclear units, in
22 compliance with Rule R8-55(e)(12).

1 **Q. DO YOU BELIEVE DEC’S FUEL AND FUEL-RELATED COSTS**
2 **INCURRED IN THE TEST YEAR ARE REASONABLE?**

3 A. Yes. As shown on Sykes Exhibit 6, DEC’s test year actual fuel and fuel-related
4 costs were 1.7305¢ per kWh. Key factors in DEC’s ability to maintain lower fuel
5 and fuel-related rates for the benefit of customers include (1) its diverse generating
6 portfolio mix of nuclear, coal, natural gas, and hydro; (2) lower natural gas prices;
7 (3) the high capacity factors of its nuclear fleet; and (4) fuel procurement strategies
8 that mitigate volatility in supply costs. Other key factors include the combination
9 of DEC’s and DEP’s respective skills in procuring, transporting, managing, and
10 blending fuels, procuring reagents and the increased and broader purchasing
11 ability of Duke Energy Corporation after its merger with Progress Energy, Inc., as
12 well as the joint dispatch of DEC’s and DEP’s generation resources. Company
13 witness Capps discusses the performance of DEC’s nuclear generation fleet, and
14 Company witness Immel discusses the performance of the fossil and hydro fleet,
15 as well as the use of chemicals for reducing emissions. Company witness
16 Verderame discusses fossil fuel procurement strategies, and Company witness
17 Houston discusses DEC’s nuclear fuel costs and procurement strategies.

18 **Q. IN DEVELOPING THE PROPOSED FUEL AND FUEL-RELATED**
19 **COSTS FACTORS, WERE THE FUEL COSTS ALLOCATED IN**
20 **ACCORDANCE WITH N.C. GEN. STAT. § 62-133.2(A2)?**

21 A. Yes, the costs for which statutory guidance is provided are allocated in compliance
22 with N.C. Gen. Stat. § 62-133.2(a2). These costs are described in subdivisions
23 (4), (5), (6), (10) and (11) of N.C. Gen. Stat. § 62-133.2(a1). Subdivisions (4),

1 (6), (10) and (11) address purchased power non-capacity costs. Subdivisions (5),
2 (6), (10) and (11) address purchased power capacity costs. The allocation methods
3 for these costs are as follows:

4 (a) Capacity-related purchased power costs in Subdivisions (5), (6), (10)
5 and (11) are allocated based upon peak demand, a proxy for the production plant
6 allocator since the annual cost of service study is not available at the timing of
7 filing from the latest annual cost of service study.

8 (b) Non-capacity related purchased power costs in Subdivisions (4), (6),
9 (10) and (11) are allocated in the same manner as all other fuel and fuel-related
10 costs, using a uniform percentage average bill adjustment method.

11 **Q. HOW ARE THE OTHER FUEL AND FUEL-RELATED COSTS**
12 **ALLOCATED FOR WHICH THERE IS NO SPECIFIC GUIDANCE IN**
13 **N.C. GEN. STAT. § 62-133.2(A2)?**

14 A. System costs are allocated to the NC retail jurisdiction based on jurisdictional
15 sales, with consideration given to any fuel and fuel-related costs or benefits that
16 should be directly assigned. Costs are further allocated among customer classes
17 using the uniform percentage average bill adjustment methodology in setting fuel
18 rates in this fuel proceeding. DEC proposes to use the same uniform percentage
19 average bill adjustment methodology to adjust its fuel rates to reflect a proposed
20 decrease in fuel and fuel-related costs as it did in its 2020 fuel and fuel-related cost
21 recovery proceeding in Docket No. E-7, Sub 1228.

22 **Q. PLEASE EXPLAIN THE CALCULATION OF THE UNIFORM**
23 **PERCENTAGE AVERAGE BILL ADJUSTMENT METHOD SHOWN**

1 **ON SYKES EXHIBIT 2, PAGE 3 OF SCHEDULES 1, 2, AND 3.**

2 A. Sykes Exhibit 2, Page 3 of Schedule 1, shows DEC's proposed fuel and fuel-
3 related cost factors for the residential, general service/lighting and industrial
4 classes, exclusive of regulatory fee. The uniform bill percentage change of
5 (1.89%) was calculated by dividing the fuel and fuel-related cost decrease of
6 \$83,415,574 for North Carolina retail by the normalized annual North Carolina
7 retail revenues at current rates of \$4,419,603,081. The cost decrease of
8 \$83,415,574 was determined by comparing the total proposed fuel rate per kWh
9 to the total fuel rate per kWh currently being collected from customers and
10 multiplying the resulting decrease in fuel rate per kWh by projected North
11 Carolina retail kWh sales for the billing period. The proposed fuel rate per kWh
12 represents the rate necessary to recover projected period fuel costs for the billing
13 period (as computed on Sykes Exhibit 2, Schedule 1) and the proposed composite
14 EMF decrement rate (as computed on Sykes Exhibit 3, page 1). This results in a
15 uniform bill percentage change of (1.89)%. Sykes Exhibit 2, Page 3 of Schedules
16 2 and 3 uses the same calculation, but with the methodology as prescribed by
17 NCUC Rule R8-55(e)(3) and NCUC Rule R8-55(d)(1), respectively.

18 **Q. HOW ARE SPECIFIC FUEL AND FUEL-RELATED COSTS FACTORS**
19 **FOR EACH CUSTOMER CLASS DERIVED FROM THE UNIFORM**
20 **PERCENT ADJUSTMENT COMPUTED ON SYKES EXHIBIT 2, PAGE**
21 **3 OF SCHEDULES 1, 2, AND 3?**

22 A. Sykes Exhibit 2, Page 3 of Schedules 1, 2, and 3 uses the same calculation, but
23 with the methodology as prescribed by NCUC Rule R8-55(e)(3) and NCUC Rule

1 R8-55 (d)(1), respectively, with the breakdown shown on Sykes Exhibit 2, Page
2 2 of Schedules 2 and 3. The equal percent increase or decrease for each customer
3 class is applied to current annual revenues by customer class to determine a dollar
4 amount of increase or decrease for each customer class. The dollar increase or
5 decrease is divided by the period sales for each class (either projected billing
6 period or adjusted test period) to derive a cents per kWh increase or decrease. The
7 current total fuel and fuel-related cost factors for each class are increased or
8 decreased by the proposed cents per kWh increases or decreases to get the
9 proposed total fuel and fuel-related cost factors. The proposed total factors are
10 then separated into the prospective and EMF components by subtracting the EMF
11 components for each customer class (as computed on Sykes Exhibit 3, Page 2, 3,
12 and 4) to derive the prospective component for each customer class. This
13 breakdown is shown on Sykes Exhibit 2, Page 2 of Schedules 1, 2, and 3.

14 **Q. HAS DEC'S ANNUAL INCREASE IN THE AGGREGATE AMOUNT OF**
15 **THE COSTS IDENTIFIED IN SUBDIVISIONS (4), (5), (6), (10) AND (11)**
16 **OF N.C. GEN. STAT. § 62-133.2(a1) EXCEEDED 2.5% OF ITS NORTH**
17 **CAROLINA RETAIL GROSS REVENUES FOR THE TEST PERIOD?**

18 A. No. N.C. Gen. Stat. § 62-133.2(a2) limits the amount of annual increase in certain
19 purchased power costs identified in § 62-133.2(a1) that DEC can recover to 2.5%
20 of its North Carolina retail gross revenues for the preceding calendar year. The
21 amount recoverable in DEC's proposed rates for purchased power under the
22 relevant sections of N.C. Gen. Stat. § 62-133.2(a1) does not increase by more than
23 2.5% of DEC's gross revenues for its North Carolina retail jurisdiction for the test

1 period.

2 **Q. HAS DEC FILED WORKPAPERS SUPPORTING THE**
3 **CALCULATIONS, ADJUSTMENTS, AND NORMALIZATIONS AS**
4 **REQUIRED BY NCUC RULE R8-55(E)(11)?**

5 A. Yes. The work papers supporting the calculations, adjustments and
6 normalizations are included with the filing in this proceeding.

7 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

8 A. Yes, it does.

STATE OF NORTH CAROLINA
UTILITIES COMMISSION
RALEIGH

DOCKET NO. E-7, SUB 1250

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of)	
Application of Duke Energy Carolinas, LLC)	SUPPLEMENTAL TESTIMONY
Pursuant to G.S. 62-133.2 and NCUC Rule)	OF BRYAN L. SYKES FOR
R8-55 Relating to Fuel and Fuel-Related)	DUKE ENERGY CAROLINAS, LLC
Charge Adjustments for Electric Utilities)	

OFFICIAL COPY

Jun 17 2021

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Bryan L. Sykes. My business address is 550 South Tryon Street,
3 Charlotte, North Carolina.

4 **Q. HAVE YOU PREVIOUSLY FILED TESTIMONY IN THIS**
5 **PROCEEDING?**

6 A. Yes, on February 23, 2021, I caused to be pre-filed with the Commission
7 my direct testimony and 6 exhibits and 13 supporting workpapers.

8 **Q. YOUR SUPPLEMENTAL TESTIMONY INCLUDES FOUR (4)**
9 **REVISED EXHIBITS AND TWO (2) REVISED SUPPORTING**
10 **WORKPAPERS. WERE THESE SUPPLEMENTAL EXHIBITS AND**
11 **WORKPAPERS PREPARED BY YOU OR AT YOUR DIRECTION**
12 **AND UNDER YOUR SUPERVISION?**

13 A. Yes. These exhibits and workpapers were prepared by me and consist of
14 the following:

15 Sykes Revised Exhibit 1: Summary Comparison of Fuel and Fuel-Related
16 Costs Factors.

17 Sykes Revised Exhibit 2: Calculation of the Proposed Fuel and Fuel-
18 Related Cost Factors.

19 Sykes Revised Exhibit 3: Calculation of the Proposed Experience
20 Modification Factor (“EMF”) rate.

21 Sykes Revised Exhibit 4: Sales, Fuel Revenue, Fuel Expense and System
22 Peak

23

1 Sykes Revised Workpaper 7a: Calculation of Allocation Percentages Based
2 on Normalized Test Period Sales

3 Sykes Revised Workpaper 12: Weather Normalization Adjustment

4 **Q. WHAT IS THE PURPOSE OF YOUR SUPPLEMENTAL TESTIMONY**
5 **IN THIS PROCEEDING?**

6 A. The purpose of my testimony is to present revised rates reflecting the impacts
7 related to three updates to numbers presented in my direct exhibits.

8 The first update relates to the proposed EMF increment (decrement) for the
9 experienced under-recovery of fuel and fuel-related costs, pursuant to NCUC Rule
10 R8-55(d)(3), which allows the Company to incorporate the fuel and fuel-related
11 cost recovery balance up to thirty (30) days prior to the hearing. The Company
12 elects this option and supplements the direct testimony and exhibits to include the
13 fuel and fuel-related cost recovery balance as of the 11 months ended February
14 28, 2021.

15 The second update corrects the over/under-recovery amounts originally reported
16 in monthly fuel reports and incorporated into the EMF in this proceeding. The
17 Company recently discovered that the cost of power purchased from Duke Energy
18 Progress, LLC under the Joint Dispatch Agreement was inadvertently overstated
19 from September 2020 through March 2021. Regarding the recent discovery of
20 the inadvertent overstatement of power purchased from DEP and the timing of
21 this supplemental filing, the Company and the Public Staff have agreed that it
22 would be difficult for the Public Staff to audit the adjustment prior to the filing
23 of testimony by the Public Staff. Accordingly, the Company proposes that the

1 Public Staff should be entitled to present the results of its audit on this issue in
2 DEC's 2022 fuel adjustment proceeding. An adjustment to correct the
3 over/under-collection amounts for the months included in the EMF period in this
4 proceeding is shown on Revised Exhibit 3.

5 The third update revises one of the fuel rate scenarios presented in my direct filing.
6 The scenario based on the proposed nuclear capacity factor and normalized test
7 period sales is updated to reflect a revision to the weather adjustment related to
8 test period kWh sales for the wholesale jurisdiction. The revised total Company
9 normalized test period sales are shown on Revised Exhibit 4. There are no
10 revisions to proposed rates as a result of this update.

11 **Q. HOW DID THE FUEL AND FUEL-RELATED COST RECOVERY**
12 **BALANCE CHANGE IN THE TWO (2) MONTHS BEING**
13 **INCORPORATED?**

14 A. The Company experienced an under-collection of \$24,376,967 during the months
15 January through February 2021, after considering the second update described
16 above. As shown on Sykes Revised Exhibit 3, the incorporation of the update
17 period under-collection balance resulted in an under-recovered balance of
18 \$20,494,879. Incorporating the under-collections experienced during January and
19 February 2021 will increase the EMF decrement rate charged to residential
20 customers, change the EMF rate from a decrement to an increment charged to
21 general service/lighting customers and increase the EMF increment rate charged
22 to industrial customers.

23 **Q. WHAT IS THE TOTAL RATE IMPACT OF THESE UPDATES?**

- 1 A. The NC Retail Total Fuel Costs were increased by \$24,056,611 from the amounts
 2 filed in my direct Exhibit 2, Schedule 1, page 3. The components of the proposed
 3 fuel and fuel-related cost factors by customer class, as shown on Sykes Revised
 4 Exhibit 1, are as follows:

Description	Residential cents/kWh	General cents/kWh	Industrial cents/kWh	Composite cents/kWh
Total adjusted Fuel and Fuel Related Costs	1.5337	1.6895	1.7243	1.6414
EMF Increment (Decrement)	(0.0282)	0.0476	0.1391	0.0353
EMF Interest (Decrement)	(0.0041)	-	-	-
Net Fuel and Fuel Related Costs Factors	1.5014	1.7371	1.8634	1.6767

6

- 7 **Q. WHAT IS THE IMPACT TO CUSTOMERS' BILLS IF THE REVISED**
 8 **PROPOSED FUEL AND FUEL-RELATED COSTS FACTORS ARE**
 9 **APPROVED BY THE COMMISSION?**

- 10 A. The revised proposed fuel and fuel-related costs factors will result in a 1.34%
 11 decrease on customers' bills, as compared to the previously filed decrease of
 12 1.89%.

- 13 **Q. DOES THIS CONCLUDE YOUR PRE-FILED SUPPLEMENTAL**
 14 **TESTIMONY?**

- 15 A. Yes, it does.

1 (Whereupon, the prefiled direct
2 testimony of Kevin Y. Houston was
3 copied into the record as if given
4 orally from the stand.)

5 (Whereupon, Houston Exhibits 1 and
6 2 were identified as premarked and
7 admitted into evidence.)

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)
Application of Duke Energy Carolinas, LLC) **DIRECT TESTIMONY OF**
Pursuant to G.S. 62-133.2 and NCUC Rule) **KEVIN Y. HOUSTON FOR**
R8-55 Relating to Fuel and Fuel-Related) **DUKE ENERGY CAROLINAS, LLC**
Charge Adjustments for Electric Utilities)

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Kevin Y. Houston and my business address is 526 South Church
3 Street, Charlotte, North Carolina.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am the Manager of Nuclear Fuel Supply for Duke Energy Carolinas, LLC
6 (“DEC” or the “Company”) and Duke Energy Progress, LLC (“DEP”).

7 **Q. WHAT ARE YOUR PRESENT RESPONSIBILITIES AT DEC?**

8 A. I am responsible for nuclear fuel procurement for the nuclear units owned and
9 operated by DEC and DEP.

10 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND**
11 **PROFESSIONAL EXPERIENCE.**

12 A. I graduated from the University of Florida with a Bachelor of Science degree in
13 Nuclear Engineering, and from North Carolina State University with a Master’s
14 degree in Nuclear Engineering. I began my career with the Company in 1992 as
15 an engineer and worked in Duke Energy’s nuclear design group where I performed
16 nuclear physics roles. I assumed my current role having commercial
17 responsibility for purchasing uranium, conversion services, enrichment services,
18 and fuel fabrication services in 2012.

19 I have served as Chairman of the Nuclear Energy Institute’s Utility Fuel
20 Committee, an association aimed at improving the economics and reliability of
21 nuclear fuel supply and use. I became a registered professional engineer in the
22 state of North Carolina in 2003.

1 **Q. HAVE YOU FILED TESTIMONY OR TESTIFIED BEFORE THIS**
2 **COMMISSION IN ANY PRIOR PROCEEDING?**

3 A. Yes. I filed testimony in the DEC fuel and fuel-related cost recovery proceedings
4 in Docket E-7, Sub 1228.

5 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
6 **PROCEEDING?**

7 A. The purpose of my testimony is to (1) provide information regarding DEC's
8 nuclear fuel purchasing practices, (2) provide costs for the January 1, 2020
9 through December 31, 2020 test period ("test period"), and (3) describe changes
10 forthcoming for the September 1, 2021 through August 31, 2022 billing period
11 ("billing period").

12 **Q. YOUR TESTIMONY INCLUDES TWO EXHIBITS. WERE THESE**
13 **EXHIBITS PREPARED BY YOU OR AT YOUR DIRECTION AND**
14 **UNDER YOUR SUPERVISION?**

15 A. Yes. These exhibits were prepared at my direction and under my supervision, and
16 consist of Houston Exhibit 1, which is a Graphical Representation of the Nuclear
17 Fuel Cycle, and Houston Exhibit 2, which sets forth the Company's Nuclear Fuel
18 Procurement Practices.

19 **Q. PLEASE DESCRIBE THE COMPONENTS THAT MAKE UP NUCLEAR**
20 **FUEL.**

21 A. In order to prepare uranium for use in a nuclear reactor, it must be processed from
22 an ore to a ceramic fuel pellet. This process is commonly broken into four distinct

1 industrial stages: (1) mining and milling; (2) conversion; (3) enrichment; and (4)
2 fabrication. This process is illustrated graphically in Houston Exhibit 1.

3 Uranium is often mined by either surface (*i.e.*, open cut) or underground
4 mining techniques, depending on the depth of the ore deposit. The ore is then sent
5 to a mill where it is crushed and ground-up before the uranium is extracted by
6 leaching, the process in which either a strong acid or alkaline solution is used to
7 dissolve the uranium. Once dried, the uranium oxide (“U₃O₈”) concentrate – often
8 referred to as yellowcake – is packed in drums for transport to a conversion
9 facility. Alternatively, uranium may be mined by in situ leach (“ISL”) in which
10 oxygenated groundwater is circulated through a very porous ore body to dissolve
11 the uranium and bring it to the surface. ISL may also use slightly acidic or alkaline
12 solutions to keep the uranium in solution. The uranium is then recovered from the
13 solution in a mill to produce U₃O₈.

14 After milling, the U₃O₈ must be chemically converted into uranium
15 hexafluoride (“UF₆”). This intermediate stage is known as conversion and
16 produces the feedstock required in the isotopic separation process.

17 Naturally occurring uranium primarily consists of two isotopes, 0.7%
18 Uranium-235 (“U-235”) and 99.3% Uranium-238. Most of this country’s nuclear
19 reactors (including those of the Company) require U-235 concentrations in the 3-
20 5% range to operate a complete cycle of 18 to 24 months between refueling
21 outages. The process of increasing the concentration of U-235 is known as
22 enrichment. Gas centrifuge is the primary technology used by the commercial
23 enrichment suppliers. This process first applies heat to the UF₆ to create a gas.

1 Then, using the mass differences between the uranium isotopes, the natural
2 uranium is separated into two gas streams, one being enriched to the desired level
3 of U-235, known as low enriched uranium, and the other being depleted in U-235,
4 known as tails.

5 Once the UF₆ is enriched to the desired level, it is converted to uranium
6 dioxide powder and formed into pellets. This process and subsequent steps of
7 inserting the fuel pellets into fuel rods and bundling the rods into fuel assemblies
8 for use in nuclear reactors is referred to as fabrication.

9 **Q. PLEASE PROVIDE A SUMMARY OF DEC'S NUCLEAR FUEL**
10 **PROCUREMENT PRACTICES.**

11 A. As set forth in Houston Exhibit 2, DEC's nuclear fuel procurement practices
12 involve computing near and long-term consumption forecasts, establishing
13 nuclear system inventory levels, projecting required annual fuel purchases,
14 requesting proposals from qualified suppliers, negotiating a portfolio of long-term
15 contracts from diverse sources of supply, and monitoring deliveries against
16 contract commitments.

17 For uranium concentrates, conversion, and enrichment services, long-term
18 contracts are used extensively in the industry to cover forward requirements and
19 ensure security of supply. Throughout the industry, the initial delivery under new
20 long-term contracts commonly occurs several years after contract execution.
21 DEC relies extensively on long-term contracts to cover the largest portion of its
22 forward requirements. By staggering long-term contracts over time for these
23 components of the nuclear fuel cycle, DEC's purchases within a given year consist

1 of a blend of contract prices negotiated at many different periods in the markets,
2 which has the effect of smoothing out DEC's exposure to price volatility.
3 Diversifying fuel suppliers reduces DEC's exposure to possible disruptions from
4 any single source of supply. Due to the technical complexities of changing
5 fabrication services suppliers, DEC generally sources these services to a single
6 domestic supplier on a plant-by-plant basis using multi-year contracts.

7 **Q. PLEASE DESCRIBE DEC'S DELIVERED COST OF NUCLEAR FUEL**
8 **DURING THE TEST PERIOD.**

9 A. Staggering long-term contracts over time for each of the components of the
10 nuclear fuel cycle means DEC's purchases within a given year consist of a blend
11 of contract prices negotiated at many different periods in the markets. DEC
12 mitigates the impact of market volatility on the portfolio of supply contracts by
13 using a mixture of pricing mechanisms. Consistent with its portfolio approach to
14 contracting, DEC entered into several long-term contracts during the test period.

15 DEC's portfolio of diversified contract pricing yielded an average unit
16 cost of \$47.06 per pound for uranium concentrates during the test period,
17 representing a 4.6% increase from the prior test period.

18 A majority of DEC's enrichment purchases during the test period were
19 delivered under long-term contracts negotiated prior to the test period. The
20 staggered portfolio approach has the effect of smoothing out DEC's exposure to
21 price volatility. The average unit cost of DEC's purchases of enrichment services
22 during the test period decreased 9.6% to \$104.04 per Separative Work Unit.

23 Delivered costs for fabrication and conversion services have a limited

1 impact on the overall fuel expense rate given that the dollar amounts for these
2 purchases represent a substantially smaller percentage – 16% and 4%,
3 respectively, for the fuel batches recently loaded into DEC’s reactors – of DEC’s
4 total direct fuel cost relative to uranium concentrates or enrichment, which are
5 46% and 34%, respectively.

6 **Q. PLEASE DESCRIBE THE LATEST TRENDS IN NUCLEAR FUEL**
7 **MARKET CONDITIONS.**

8 A. Prices in the uranium concentrate markets have recently increased due to
9 production cutbacks; however, prices remain relatively low. Industry consultants
10 believe that production cutbacks have been warranted due to the previously
11 existing oversupply conditions and that market prices need to further increase in
12 the longer term to provide the economic incentive for the exploration, mine
13 construction, and production necessary to support future industry uranium
14 requirements.

15 Market prices for enrichment and conversion services have recently
16 increased primarily due to a reduction in available inventory supplies.

17 Fabrication is not a service for which prices are published; however,
18 industry consultants expect fabrication prices will continue to generally trend
19 upward.

20 **Q. WHAT CHANGES DO YOU SEE IN DEC’S NUCLEAR FUEL COST IN**
21 **THE BILLING PERIOD?**

22 A. Because fuel is typically expensed over two to three operating cycles (roughly
23 three to six years), DEC’s nuclear fuel expense in the upcoming billing period will

1 be determined by the cost of fuel assemblies loaded into the reactors during the
2 test period, as well as prior periods. The fuel residing in the reactors during the
3 billing period will have been obtained under historical contracts negotiated in
4 various market conditions. Each of these contracts contributes to a portion of the
5 uranium, conversion, enrichment, and fabrication costs reflected in the total fuel
6 expense.

7 The average fuel expense is expected to increase from 0.5814 cents per
8 kWh incurred in the test period, to approximately 0.6057 cents per kWh in the
9 billing period.

10 **Q. WHAT STEPS IS DEC TAKING TO PROVIDE STABILITY IN ITS**
11 **NUCLEAR FUEL COSTS AND TO MITIGATE PRICE INCREASES IN**
12 **THE VARIOUS COMPONENTS OF NUCLEAR FUEL?**

13 A. As I discussed earlier and as described in Houston Exhibit 2, for uranium
14 concentrates, conversion, and enrichment services, DEC relies extensively on
15 staggered long-term contracts to cover the largest portion of its forward
16 requirements. By staggering long-term contracts over time and incorporating a
17 range of pricing mechanisms, DEC's purchases within a given year consist of a
18 blend of contract prices negotiated at many different periods in the markets, which
19 has the effect of smoothing out DEC's exposure to price volatility.

20 Although costs of certain components of nuclear fuel are expected to
21 increase in future years, nuclear fuel costs on a cents per kWh basis will likely
22 continue to be a fraction of the cents per kWh cost of fossil fuel. Therefore,
23 customers will continue to benefit from DEC's diverse generation mix and the

1 strong performance of its nuclear fleet through lower fuel costs than would
2 otherwise result absent the significant contribution of nuclear generation to
3 meeting customers' demands.

4 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

5 A. Yes, it does.

1 (Whereupon, the prefiled direct
2 testimony of Steven D. Capps was
3 copied into the record as if given
4 orally from the stand.)
5 (Capps Confidential Exhibit 1
6 was identified as premarked and
7 admitted into evidence and was filed
8 under seal.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)
Application of Duke Energy Carolinas, LLC) **DIRECT TESTIMONY OF**
Pursuant to G.S. 62-133.2 and NCUC Rule) **STEVEN D. CAPPS FOR**
R8-55 Relating to Fuel and Fuel-Related) **DUKE ENERGY CAROLINAS, LLC**
Charge Adjustments for Electric Utilities)

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Steven D. Capps and my business address is 526 South Church Street,
3 Charlotte, North Carolina.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am Senior Vice President of Nuclear Operations for Duke Energy Corporation
6 (“Duke Energy”) with direct executive accountability for Duke Energy’s South
7 Carolina nuclear plants, including Duke Energy Carolinas, LLC’s (“DEC” or the
8 “Company”) Catawba Nuclear Station (“Catawba”) in York County, South
9 Carolina, the Oconee Nuclear Station (“Oconee”) in Oconee County, South
10 Carolina, and Duke Energy Progress, LLC’s (“DEP”) Robinson Nuclear Plant,
11 located in Darlington County, South Carolina.

12 **Q. WHAT ARE YOUR PRESENT RESPONSIBILITIES AS SENIOR VICE
13 PRESIDENT OF NUCLEAR OPERATIONS?**

14 A. As Senior Vice President of Nuclear Operations, I am responsible for providing
15 executive oversight for the safe and reliable operation of Duke Energy’s three
16 South Carolina operating nuclear stations. I am also involved in the operations of
17 Duke Energy’s other nuclear stations, including DEC’s McGuire Nuclear Station
18 (“McGuire”) located in Mecklenburg County, North Carolina.

19 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND
20 PROFESSIONAL EXPERIENCE.**

21 A. I hold a B.S. in Mechanical Engineering from Clemson University and have over
22 33 years of experience in the nuclear field in various roles with increasing
23 responsibilities. I joined Duke Energy in 1987 as a field engineer at Oconee.
24 During my time at Oconee, I served in a variety of leadership positions at the

1 station, including Senior Reactor Operator, Shift Technical Advisor, and
2 Mechanical and Civil Engineering Manager. In 2008, I transitioned to McGuire
3 as the Engineering Manager. I later became plant manager and was named Vice
4 President of McGuire in 2012. In December 2017, I was named Senior Vice
5 President of Nuclear Corporate for Duke with direct executive accountability for
6 Duke Energy's nuclear corporate functions, including nuclear corporate
7 engineering, nuclear major projects, corporate governance and operation support
8 and organizational effectiveness. I assumed my current role in October 2018.

9 **Q. HAVE YOU TESTIFIED OR SUBMITTED TESTIMONY BEFORE THIS**
10 **COMMISSION IN ANY PRIOR PROCEEDINGS?**

11 A. Yes. I provided testimony and appeared before the Commission in DEC's fuel
12 and fuel related cost recovery proceeding in Docket No. E-7, Sub 1163 and
13 provided testimony in DEC's fuel and fuel related cost recovery proceedings in
14 Docket No. E-7, Sub 1190 and Docket No. E-7, Sub 1228.

15 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
16 **PROCEEDING?**

17 A. The purpose of my testimony is to describe and discuss the performance of DEC's
18 nuclear fleet during the period of January 1, 2020 through December 31, 2020
19 ("test period"). I provide information about refueling outages completed during
20 the period and also discuss the nuclear capacity factor being proposed by DEC for
21 use in this proceeding in determining the fuel factor to be reflected in rates during
22 the billing period of September 1, 2021 through August 31, 2022 ("billing
23 period").

1 **Q. PLEASE DESCRIBE EXHIBIT 1 INCLUDED WITH YOUR**
2 **TESTIMONY.**

3 A. Exhibit 1 is a confidential exhibit outlining the planned schedule for refueling
4 outages for DEC's nuclear units through the billing period. This exhibit represents
5 DEC's current plan, which is subject to adjustment due to changes in operational
6 and maintenance requirements.

7 **Q. PLEASE DESCRIBE DEC'S NUCLEAR GENERATION PORTFOLIO.**

8 A. The Company's nuclear generation portfolio consists of approximately 5,389
9 megawatts ("MWs") of generating capacity, made up as follows:

10	Oconee -	2,554 MWs
11	McGuire -	2,316 MWs
12	Catawba -	519 MWs ¹

13 The three generating stations summarized above are comprised of a total
14 of seven units. Oconee began commercial operation in 1973 and was the first
15 nuclear station designed, built, and operated by DEC. It has the distinction of
16 being the second nuclear station in the country to have its license, originally issued
17 for 40 years, renewed for up to an additional 20 years by the NRC. The license
18 renewal, which was obtained in 2000, extends operations to 2033, 2033, and 2034
19 for Oconee Units 1, 2, and 3, respectively.

20 McGuire began commercial operation in 1981, and Catawba began
21 commercial operation in 1985. In 2003, the NRC renewed the licenses for
22 McGuire and Catawba for up to an additional 20 years each. This renewal extends
23 operations until 2041 for McGuire Unit 1, and 2043 for McGuire Unit 2 and

¹ Reflects DEC's ownership of Catawba Nuclear Station.

1 Catawba Units 1 and 2. The Company jointly owns Catawba with North Carolina
2 Municipal Power Agency Number One, North Carolina Electric Membership
3 Corporation, and Piedmont Municipal Power Agency.

4 **Q. WHAT ARE DEC'S OBJECTIVES IN THE OPERATION OF ITS**
5 **NUCLEAR GENERATION ASSETS?**

6 A. The primary objective of DEC's nuclear generation department is to safely
7 provide reliable and cost-effective electricity to DEC's customers in North and
8 South Carolina. The Company achieves this objective by focusing on a number
9 of key areas. Operations personnel and other station employees receive extensive,
10 comprehensive training and execute their responsibilities to the highest standards
11 in accordance with detailed procedures that are continually updated to ensure best
12 practices. The Company maintains station equipment and systems reliably, and
13 ensures timely implementation of work plans and projects that enhance the
14 performance of systems, equipment, and personnel. Station refueling and
15 maintenance outages are conducted through the execution of well-planned, well-
16 executed, and high-quality work activities, which ensure that the plant is prepared
17 for operation until the next planned outage.

18 **Q. PLEASE DISCUSS THE PERFORMANCE OF DEC'S NUCLEAR FLEET**
19 **DURING THE TEST PERIOD.**

20 A. The Company operated its nuclear stations in a reasonable and prudent manner
21 during the test period, providing approximately 63% of the total power generated
22 by DEC. During 2020, DEC's seven nuclear units collectively achieved a fleet
23 capacity factor of 95.05%, marking the 21st consecutive year in which DEC's
24 nuclear fleet exceeded a system capacity factor of 90%. With comprehensive and

1 successful Covid-19 mitigation protocols, the Company successfully executed
2 five refueling outages with no impact to schedule or planned scope. All refueling
3 outages were completed within budget and four of the five refueling outages
4 completed under the scheduled allocation. McGuire Unit 2 entered its 2020
5 refueling outage after completing a breaker-to-breaker continuous cycle run, and
6 Oconee Unit 2 established a new annual net generation record during 2020.

7 **Q. HOW DOES DEC'S NUCLEAR FLEET COMPARE TO INDUSTRY**
8 **AVERAGES?**

9 A. The Company's nuclear fleet has a history of performance that consistently
10 exceeds industry averages. The most recently published North American Electric
11 Reliability Council's ("NERC") Generating Unit Statistical Brochure ("NERC
12 Brochure") indicates an average capacity factor of 91.95% for the period 2015
13 through 2019 for comparable units. The Company's 2020 capacity factor of
14 95.05% and 2-year average² of 96.07% both exceed the NERC average of
15 91.95%.

16 Industry benchmarking efforts are a principal technique used by the
17 Company to ensure best practices, and Duke Energy's nuclear fleet continues to
18 rank among the top performers when compared to the seven-other large domestic
19 nuclear fleets using Key Performance Indicators ("KPIs") in the areas of personal
20 safety, radiological dose, capacity factor, forced loss rate, industry performance
21 index, and total operating cost. On a larger industry basis using early release data
22 for 2020 from the Electric Utility Cost Group, all three of DEC's nuclear plants
23 rank in the top quartile in total operating cost among the 56 U.S. operating nuclear

² This represents the simple average for the current and prior 12-month test periods.

1 plants. By continually assessing the Company's performance as compared with
2 industry benchmarks, the Company continues to ensure the overall safety,
3 reliability and cost-effectiveness of DEC's nuclear units.

4 The superior performance of DEC's nuclear fleet has resulted in
5 substantial benefits to customers. DEC's nuclear fleet has produced
6 approximately 47.1 million MWhs of additional, emissions-free generation over
7 the past 21 years (as compared with production at a capacity factor of 90%), which
8 is equivalent to an additional 9.8 months of output from DEC's nuclear fleet
9 (based on DEC's average annual generation for the same 21-year period). These
10 performance results demonstrate DEC's continuing success in achieving high
11 performance without compromising safety and reliability.

12 **Q. WHAT IMPACTS A UNIT'S AVAILABILITY AND WHAT IS DEC'S**
13 **PHILOSOPHY FOR SCHEDULING REFUELING AND**
14 **MAINTENANCE OUTAGES?**

15 A. In general, refueling, maintenance, and NRC required testing and inspections
16 impact the availability of DEC's nuclear system.

17 Prior to a planned outage, DEC develops a detailed schedule for the outage
18 and for major tasks to be performed, including sub-schedules for particular
19 activities. The Company's scheduling philosophy is to strive for the best possible
20 outcome for each outage activity within the outage plan. For example, if the "best
21 ever" time an outage task was performed is 12 hours, then 12 hours becomes the
22 goal for that task in each subsequent outage. Those individual aspirational goals
23 are incorporated into an overall outage schedule. The Company then aggressively
24 works to meet, and measures itself against, that aspirational schedule. To

1 minimize potential impacts to outage schedules due to unforeseen maintenance
2 requirements, “discovery activities” (walk-downs, inspections, etc.) are scheduled
3 at the earliest opportunities so that any maintenance or repairs identified through
4 those activities can be promptly incorporated into the outage plan.

5 As noted, the schedule is utilized for measuring outage preparation and
6 execution and driving continuous improvement efforts. However, for planning
7 purposes, particularly with the dispatch and system operating center functions,
8 DEC also develops an allocation of outage time that incorporates reasonable
9 schedule losses. The development of each outage allocation is dependent on
10 maintenance and repair activities included in the outage, as well as major projects
11 to be implemented during the outage. Both schedule and allocation are set
12 aggressively to drive continuous improvement in outage planning and execution.

13 **Q. HOW DOES DEC HANDLE OUTAGE EXTENSIONS AND FORCED**
14 **OUTAGES?**

15 A. If an unanticipated issue that has the potential to become an on-line reliability
16 challenge is discovered while a unit is off-line for a scheduled outage and repair
17 cannot be completed within the planned work window, the outage is extended
18 when in the best interest of customers to perform necessary maintenance or repairs
19 prior to returning the unit to service. The decision to extend an outage is based on
20 numerous factors, including reliability risk assessments, system power demands,
21 and the availability of resources to address the emergent challenge. In general, if
22 an issue poses a credible risk to reliable operations until the next scheduled outage,
23 the issue is repaired prior to returning the unit to service. This approach enhances
24 reliability and results in longer continuous run times and fewer forced outages,

1 thereby reducing fuel costs for customers in the long run. In the event that a unit
2 is forced off-line, every effort is made to safely perform the repair and return the
3 unit to service as quickly as possible.

4 **Q. DOES DEC PERFORM POST OUTAGE CRITIQUES AND CAUSE**
5 **ANALYSES FOR INTERNAL IMPROVEMENT EFFORTS?**

6 A. Yes. DEC applies self-critical analysis to each outage and, using the benefit of
7 hindsight, identifies every potential cause of an outage delay or event resulting in
8 a forced or extended outage, and applies lessons learned to drive continuous
9 improvement. The Company also evaluates the performance of each function and
10 discipline involved in outage planning and execution to identify areas in which it
11 can utilize self-critical observation for improvement efforts.

12 **Q. IS SUCH ANALYSES INTENDED TO ASSESS OR MAKE A**
13 **DETERMINATION REGARDING THE PRUDENCE OR**
14 **REASONABLENESS OF A PARTICULAR ACTION OR DECISION?**

15 A. No. Given this focus on identifying opportunities for improvement, these critiques
16 and cause analyses are not intended to document the broader context of the outage
17 nor do they make any attempt to assess whether the actions taken were reasonable
18 in light of what was known at the time of the events in question. Instead, the
19 reports utilize hindsight (*e.g.*, subsequent developments or information not known
20 at the time) to identify every potential cause of the incident in question. However,
21 such a review is quite different from evaluating whether the actions or decisions
22 in question were reasonable given the circumstances that existed at that time.

1 **Q. WHAT OUTAGES WERE REQUIRED FOR REFUELING AT DEC'S**
2 **NUCLEAR FACILITIES DURING THE TEST PERIOD?**

3 A. There were five refueling outages completed during the test period: McGuire Unit
4 2, Oconee Unit 3, and Catawba Unit 1 in the spring of 2020, followed by McGuire
5 Unit 1 and Oconee Unit 1 in the fall. All five outages were completed within
6 budget, and all outage scope completion goals were met. The combined O&M
7 outage costs for the five refueling outages totaled \$132.9 million compared to the
8 combined budget for the five outages of \$136.4 million. Total days offline for
9 refueling during the test period totaled 146.9 days compared to a total scheduled
10 allocation of 151.5 days. Four of the five refueling outages were completed under
11 allocation. The McGuire Unit 1 refueling outage extended 4 days beyond
12 allocation.

13 After completing a continuous cycle run of 524.5 days, McGuire Unit 2
14 entered a spring refueling outage on March 21, 2020. In addition to refueling,
15 safety and reliability enhancing maintenance, inspections and testing were
16 completed. Maintenance work included the replacement of the 2D reactor coolant
17 pump seal, and preventive maintenance on the 2A nuclear service work pump, 2A
18 chemical and volume control motor, and 2A containment spray motor. Both the
19 2A and 2B component cooling heat exchangers were cleaned. Inspections on the
20 reactor vessel head, 2B low pressure turbine, and thrust bearings were completed.
21 After refueling, maintenance, and inspections and testing were completed, the unit
22 returned to service on April 13, 2020, for a total duration of 23.4 days compared
23 to a 25-day schedule allocation. The outage was accomplished with the lowest
24 dose in the station's history.

1 Oconee Unit 3 shut down for refueling on April 10, 2020. During the
2 outage, the unit's low-pressure turbines were replaced. Safety enhancements
3 included the replacement of the standby shutdown letdown line. Reliability
4 enhancements included the replacements of the 3A high pressure injection motor,
5 3B reactor building cooling unit motor, 3D1 heater drain pump and motor, 3B1
6 reactor coolant pump seal, and 20 air operated valve positioners. Preventive
7 maintenance was completed on the 3A and 3B feedwater pumps, main
8 transformer, 3TB switchgear and breaker, and the 3X8 load center. Inspections
9 and testing completed included radiography tests on the high-pressure injection
10 nozzle thermal sleeve and valves, condenser waterbox and discharge piping
11 inspections, and 3TC switchgear inspections. After refueling, maintenance,
12 testing and inspections completed, the unit returned to service on May 9, 2020.
13 The outage duration was 28.97 days compared to a schedule allocation of 34.5
14 days.

15 Catawba Unit 1 shut down on May 2, 2020 for refueling. In addition to
16 refueling activities, safety and reliability enhancements, testing and inspections
17 were completed. Replacement of the unit's low-pressure turbines were
18 completed. Other maintenance activities included replacement of the 1C reactor
19 coolant pump motor, replacement of the 1A, 1C, and 1D reactor coolant pump
20 seal packages, and replacement of the 1B reactor coolant charging pump motor.
21 The 1B component cooling water heat exchanger tubes were replaced with new
22 stainless-steel tubes. Volumetric inspection of the reactor vessel head and all head
23 welds, and inspections and testing of seven motor-control centers were completed.
24 After refueling, maintenance, inspections, and testing completed, the unit returned

1 to service on June 1, 2020, for a total duration of 30.2 days compared to a 31-day
2 schedule allocation.

3 McGuire Unit 1 was removed from the grid on September 19, 2020 to
4 begin refueling. Along with routine refueling activities, safety and reliability
5 enhancements and inspections were completed. Reliability enhancements
6 completed during the refueling outage included replacement of the 1A reactor
7 coolant pump seal and the 1B1 component cooling pump motor. Valve work and
8 modifications completed included valve and valve actuator replacements in the
9 heater drain, safety injection, nuclear service water and station air systems.
10 Inspections completed included the reactor vessel 10-year in-service inspection,
11 material reliability program upper and lower internals inspection, and inspection
12 of the reactor coolant hot and cold leg nozzles. An 8-year reactor coolant pump
13 switchgear inspection and testing of the 1A engineered safety features was also
14 completed. The unit's turbine driven auxiliary feedpump turbine and 1C low
15 pressure turbine were also inspected. With the exception of duration, all outage
16 goals were met. The outage extended four days beyond the scheduled allocation
17 due to challenges with reactor vessel inspection equipment performance and an
18 emergent repair on a cold leg accumulator outlet check valve. Once work
19 activities, testing and inspections were completed, the unit returned to service on
20 October 21, 2020. The total outage duration was 32.1 days compared to a 28-day
21 scheduled allocation.

22 The fifth and final refueling outage executed during the test period began
23 on October 16, 2020 when Oconee Unit 1 shutdown for refueling. In addition to
24 refueling, safety and reliability enhancements, testing and inspections were

1 completed. Significant outage scope included the replacement of the unit's low-
2 pressure turbine rotors, completing a multi-year project to replace the aging low-
3 pressure turbines on all three Oconee units. The replacement of the low-pressure
4 turbine rotors improves reliability, and reduces maintenance expense and
5 inspection requirements during future refueling outages. Other reliability
6 enhancements included replacement of the 1B1 reactor coolant pump motor, 1A1
7 and 1B2 reactor coolant pump seals, 1D2 heater drain pump and 1A high pressure
8 injection pump motor. Replacement of the unit 1 standby shutdown facility
9 reactor coolant letdown line also completed a multi-year station project; with this
10 work now completed on all three Oconee units. Electrical work completed
11 included main power relaying upgrade and preventive maintenance on the Unit 1
12 main transformer and various switchgear and breakers. Inspection activities
13 included steam generator Eddy Current and reactor vessel materials reliability
14 program inspections. After refueling, maintenance, inspections and testing
15 completed, the unit returned to service on November 18, 2020, for a total duration
16 of 32.2 days compared to a 33-day schedule allocation.

17 **Q. WHAT CAPACITY FACTOR DOES DEC PROPOSE TO USE IN**
18 **DETERMINING THE FUEL FACTOR FOR THE BILLING PERIOD?**

19 A. The Company proposes to use a 93.21% capacity factor, which is a reasonable
20 value for use in this proceeding based upon the operational history of DEC's
21 nuclear units and the number of planned outage days scheduled during the billing
22 period. This proposed percentage is reflected in the testimony and exhibits of
23 Company witness Sykes and exceeds the five-year industry weighted average

1 capacity factor of 91.95% for comparable units as reported in the NERC Brochure
2 during the period of 2015 to 2019.

3 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

4 **A.** Yes, it does.

1 (Whereupon, the Affidavit of
2 June Chiu and Appendix A were
3 copied into the record as if
4 given orally from the stand.)

5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

**STATE OF NORTH CAROLINA
UTILITIES COMMISSION
RALEIGH**

DOCKET NO. E-7, SUB 1250

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of		
Application of Duke Energy Carolinas, LLC,)	
Pursuant to N.C.G.S. § 62-133.2 and)	<u>AFFIDAVIT</u>
Commission Rule R8-55 Relating to Fuel and)	<u>OF</u>
Fuel-Related Charge Adjustments for Electric)	<u>JUNE CHIU</u>
Utilities)	

STATE OF NORTH CAROLINA

COUNTY OF WAKE

I, June Chiu, first being duly sworn, do depose and say:

I am a Staff Accountant with the Accounting Division of the Public Staff - North Carolina Utilities Commission. A summary of my duties, education, and experience is attached to this affidavit as Appendix A.

The purpose of my affidavit is to present the results of the Public Staff's investigation of the Experience Modification Factor (EMF) riders proposed by Duke Energy Carolinas, LLC (DEC or the Company) in this proceeding. The EMF riders are utilized to "true-up," by customer class, the recovery of fuel and fuel-related costs incurred during the test year. DEC's test year in this fuel proceeding is the twelve months ended December 31, 2020.

In its application, filed on February 23, 2021, DEC proposed EMF increment/(decrement) riders in cents per kilowatt-hour (kWh), excluding the

North Carolina regulatory fee, for each North Carolina retail customer class, as follows:

Residential	(0.0259) cents per kWh
General Service/Lighting	(0.0207) cents per kWh
Industrial	0.0770 cents per kWh

DEC also proposed EMF interest decrement riders for two of three North Carolina retail customer classes, as follows:

Residential	(0.0040) cents per kWh
General Service/Lighting	(0.0032) cents per kWh
Industrial	0.0000 cents per kWh

On April 29, 2021, DEC filed the Supplemental Testimony of Bryan L. Sykes with Revised Sykes Exhibits and supporting workpapers. Witness Sykes' supplemental testimony and revised exhibits reflect the impact of three updates to numbers presented in witness Sykes' direct exhibits and workpapers. They are as follows:

- (1) An update to the EMF increments and decrements to incorporate the fuel and fuel-related cost recovery balances for January through February 2021, pursuant to Commission Rule R8-55(d)(3). The reported under-recovery included in the update, although included in this proceeding, would be reviewed as part of next year's fuel and fuel-related cost proceeding;

- (2) A correction to the over/under-collection amounts for the months included in the EMF period. The cost of power purchased from Duke Energy Progress, LLC under the Joint Dispatch Agreement was inadvertently overstated from September 2020 through March 2021. The Company proposes that the Public Staff should be entitled to present the results of its audit on this adjustment in DEC's 2022 fuel adjustment proceeding; and
- (3) A revision to the weather adjustment related to test period kWh sales for the wholesale jurisdiction. There are no revisions to proposed rates as a result of this update.

Revised Sykes Exhibit 1 included in witness Sykes' supplemental testimony sets forth the Company's revised proposed EMF increment/(decrement) riders in cents per kilowatt-hour (kWh), excluding the North Carolina regulatory fee, for each North Carolina retail customer class, as follows:

Residential	(0.0282) cents per kWh
General Service/Lighting	0.0476 cents per kWh
Industrial	0.1391 cents per kWh

DEC also now proposes an EMF interest decrement rider for one of three North Carolina retail customer classes, as follows:

Residential	(0.0041) cents per kWh
General Service/Lighting	0.0000 cents per kWh

Industrial 0.0000 cents per kWh

In witness Sykes' Revised Exhibits filed on April 29, 2021, DEC's proposed revised (over)/under-recovery of fuel for each of the North Carolina retail customer classes is as follows:

Residential	\$(6,587,808)
General Service/Lighting	\$10,990,202
Industrial	\$16,092,490

The revised riders were calculated by dividing the fuel cost under-recoveries by DEC's normalized test year N.C. retail sales of 23,329,575 megawatt-hours (MWh) for the residential class, 23,102,975 MWh for the general service/lighting class, and 11,570,060 MWh for the industrial class.

The Public Staff's investigation included procedures intended to evaluate whether the Company properly determined its per books fuel and fuel-related costs and revenues during the test period. These procedures included a review of the Company's filing, prior Commission orders, the Monthly Fuel Reports filed by the Company with the Commission, and other Company data provided to the Public Staff. The Public Staff also reviewed certain specific types of expenditures impacting the Company's test year fuel and fuel-related costs, including reagents (limestone, ammonia, urea, etc.), renewable energy, and purchased power, as well as reviews of source documentation of fuel and fuel-related costs for certain selected Company generation resources. Performing the Public Staff's investigation required the review of numerous responses to written and verbal

data requests, and several telephone conferences with Company representatives.

As a result of the Public Staff's investigation, I am recommending that DEC's EMF riders for each customer class be based on net fuel and fuel-related cost (over)/under-recoveries of \$(6,587,808) for the residential class, \$10,990,202 for the general service/lighting class, and \$16,092,490 for the industrial class, and normalized North Carolina retail sales of 23,329,575 MWh for the residential class, 23,102,975 MWh for the general service/lighting class, and 11,570,060 MWh for the industrial class, as proposed by the Company. These amounts produce EMF increment/(decrement) riders for each North Carolina retail customer class as follows, excluding the regulatory fee:

Residential	(0.0282) cents per kWh
General Service/Lighting	0.0476 cents per kWh
Industrial	0.1391 cents per kWh

I also recommend an EMF interest decrement rider for each North Carolina retail customer class as follows, excluding the regulatory fee, resulting from the over-recovered fuel amounts from each class:

Residential	(0.0041) cents per kWh
General Service/Lighting	0.0000 cents per kWh
Industrial	0.0000 cents per kWh

I have provided these amounts to Public Staff witness Dustin Metz for incorporation into his recommended final fuel factor. The Public Staff also

reserves its rights to review and audit the January and February 2021 fuel and fuel-related costs and the Joint Dispatch adjustment between DEC and Duke Energy Progress, LLC, included by the Company in its supplemental filing in DEC's 2022 fuel rider proceeding.

This completes my affidavit.

June Chiu

June Chiu

Sworn to and subscribed before me this the 10th day of May, 2021.

Cleo L. Ackerman

Cleo L. Ackerman
Notary Public

Cleo L Ackerman
NOTARY PUBLIC
WAKE COUNTY, N.C.
My Commission Expires 01-08-2023

My Commission Expires: 1-08-2023

OFFICIAL COPY

MAY 10 2021

JUNE CHIU

Qualifications and Experience

I graduated from Drake University with a Masters degree in Business Administration. Prior to joining the Public Staff, I worked in the state government and corporate areas. My duties varied from performing audit engagements to supervision of accounting and internal controls and preparing SEC filings.

I joined the Public Staff in October 2017. I am responsible for (1) examining and analyzing testimony, exhibits, books and records, and other data presented by utilities and other parties under the jurisdiction of the Commission or involved in Commission proceedings, and (2) preparing and presenting testimony, exhibits, and other documents for presentation to the Commission.

I have performed audits and/or presented testimony and exhibits before the Commission for water cases involving Ridgecrest, Water Resources, Aqua, Lake Junaluska, Carolina Water Service Inc. of NC, JAARS, etc. I have participated in electric cases such as the Dominion Energy North Carolina 2019 general rate case, Duke Energy Carolinas, LLC's 2019 general rate case, and Duke Energy Progress, LLC's 2020 REPS proceeding.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

(Whereupon, the testimony of
Dustin R. Metz and Appendix A was
copied into the record as if given
orally from the stand.)
(Whereupon, Metz Exhibit 1 was
identified as premarked and
admitted into evidence.)

OFFICIAL COPY
Jun 17 2021

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-7, SUB 1250

In the Matter of)	
Application of Duke Energy Carolinas,)	TESTIMONY OF
LLC Pursuant to G.S. 62-133.2 and)	DUSTIN R. METZ
NCUC Rule R8-55 Relating to Fuel and)	PUBLIC STAFF – NORTH
Fuel-Related Charge Adjustments for)	CAROLINA UTILITIES
Electric Utilities)	COMMISSION

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION**DOCKET NO. E-7, SUB 1250****Testimony of Dustin R. Metz****On Behalf of the Public Staff****North Carolina Utilities Commission****May 10, 2021**

1 **Q. PLEASE STATE YOUR NAME AND ADDRESS FOR THE**
2 **RECORD.**

3 A. My name is Dustin R. Metz. My business address is 430 North
4 Salisbury Street, Raleigh, North Carolina.

5 **Q. WHAT IS YOUR POSITION WITH THE PUBLIC STAFF?**

6 A. I am an engineer in the Energy Division of the Public Staff
7 representing the using and consuming public.

8 **Q. WOULD YOU BRIEFLY DISCUSS YOUR EDUCATION AND**
9 **EXPERIENCE?**

10 A. Yes. My education and experience are outlined in detail in
11 Appendix A of my testimony.

12 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
13 **PROCEEDING?**

1 A. The purpose of my testimony is to present the results of the Public
2 Staff's investigation and recommendations regarding the proposed
3 fuel and fuel-related cost factors for the residential, general
4 service/lighting, and industrial customers of Duke Energy Carolinas,
5 LLC (DEC or the Company), as set forth in the Company's February
6 23, 2021 application and testimony and April 29, 2021 supplemental
7 testimony.

8 **Q. WHAT ARE THE TEST AND BILLING PERIODS FOR THIS**
9 **PROCEEDING?**

10 A. For this proceeding, the test period is January 1, 2020, through
11 December 31, 2020, and the billing period is September 1, 2021,
12 through August 31, 2022.

13 **Q. PLEASE DESCRIBE THE SCOPE OF THE PUBLIC STAFF'S**
14 **INVESTIGATION.**

15 A. The Public Staff's investigation included a review of the Company's
16 test period and projected fuel and fuel-related costs and also the
17 following: (1) the Company's application, testimony, supplemental
18 testimony, and responses to Public Staff data requests; (2)
19 documents related to the performance of the Company's power
20 plants, including the specific performance of the Company's nuclear
21 facilities; (3) the Company's purchased power transactions; (4) the
22 cost of renewable energy and associated fuel prices; and (5) the

1 Company's coal, natural gas, nuclear, and reagent procurement
2 practices and contracts.

3 **Q. PLEASE SUMMARIZE THE RESULTS OF YOUR**
4 **INVESTIGATION AND YOUR RECOMMENDATIONS.**

- 5 • For the test year, the Company achieved the capacity factor
6 standard in Commission Rule R8-55(k), and calculated the
7 proposed base system average fuel factor for the billing period
8 appropriately.
- 9 • The Company correctly calculated the proposed fuel and fuel-
10 related cost factors in this proceeding.
- 11 • The inadvertent overstatement of power purchased from Duke
12 Energy Progress, LLC (DEP) will be reviewed/audited in DEC's
13 next annual fuel rider.

14 **Q. DID THE COMPANY ACHIEVE THE STANDARDS OF**
15 **COMMISSION RULE R8-55(K) FOR THE TEST YEAR?**

16 A. Yes. For the test year, the Company achieved the standards found
17 in Commission Rule R8-55(k) with an actual system-wide nuclear
18 capacity factor that exceeded the NERC (North American Electric
19 Reliability Corporation) weighted average nuclear capacity factor.
20 Additionally, the Company's two-year simple average of its system-
21 wide nuclear capacity factor exceeded the NERC weighted average
22 nuclear capacity factor.

1 **Q. DID THE PUBLIC STAFF REVIEW THE BILLING PERIOD OR**
2 **PROJECTED FUEL AND FUEL-RELATED COSTS AS SET**
3 **FORTH BY THE COMPANY IN THIS FILING?**

4 A. Yes. The projected fuel and reagent costs are reasonable and were
5 calculated appropriately. The projected fuel and fuel-related costs
6 are impacted by minor projected fluctuations in the costs of nuclear
7 fuel, coal, and natural gas. DEC based its proposed fuel and fuel-
8 related costs on a 93.21% system nuclear capacity factor, which the
9 Company anticipates for the billing period.¹

10 **Q. PLEASE PROVIDE THE PROPOSED FUEL AND FUEL-**
11 **RELATED COST FACTORS.**

12 A. Metz Exhibit No. 1 shows the Proposed Fuel and Fuel-Related Cost
13 Factors. The Public Staff recommends approval of the fuel
14 components and total fuel factors (excluding the regulatory fee),
15 shown in Metz Exhibit No. 1, Table 1, effective for the twelve months
16 beginning September 1, 2021.

17 Public Staff witness June Chiu discusses the Public Staff's review
18 of the test period Experience Modification Factor (EMF) and EMF
19 interest in her affidavit, and I have incorporated her
20 recommendations in Metz Exhibit No. 1.

¹ The Company's actual system nuclear capacity factor for the test year was 95.05%. In comparison, the most recent North American Electric Reliability Council (NERC) five-year average weighted for the size and type of reactors in DEC's nuclear fleet was 91.05% during the test period.

1 **Q. YOU STATED PREVIOUSLY THAT YOU REVIEWED TEST YEAR**
2 **POWER PLANT PERFORMANCE. DID ANY PARTICULAR**
3 **OUTAGES OR EVENTS OCCUR THAT YOU WOULD LIKE TO**
4 **BRING TO THE COMMISSION'S ATTENTION?**

5 A. Yes. In previous Orders,² the Commission instructed the Public Staff
6 to continue to investigate and present its concerns to the
7 Commission regarding test year outages. For the test period in this
8 proceeding, the Public Staff identified two outages at the Catawba
9 Nuclear Station that merited in-depth investigations.

10 **Q. ARE YOU RECOMMENDING DISALLOWANCE OF**
11 **REPLACEMENT POWER COSTS FOR THESE TWO OUTAGES?**

12 A. No.

13 **Q. IF YOU ARE NOT RECOMMENDING DISALLOWANCE OF**
14 **REPLACEMENT POWER COSTS, PLEASE EXPLAIN WHY YOU**
15 **ARE BRINGING THESE OUTAGES TO THE COMMISSION'S**
16 **ATTENTION.**

17 A. First, the Public Staff believes the Commission and the Company
18 should be aware of the Public Staff's investigation and conclusions
19 should the issues continue or recur.

² Docket No. E-22, Sub 546, Order Approving Fuel Charge Adjustment, Evidence and Conclusions for Findings of Fact Nos. 6-9, p. 19, January 25, 2018; and Docket No. E-7, Sub 1163, Order Approving Fuel Charge Adjustment, Evidence and Conclusions for Findings of Fact Nos. 4-6, p. 28, August 20, 2018.

1 Second, while the Public Staff did not find imprudence or
2 mismanagement on the Company's part, the Public Staff believes
3 the Company should implement and continue mitigation actions to
4 prevent future similar outages, while evaluating the costs (both
5 monetary and non-monetary) against potential gains in safety and
6 reliability.

7 Third, the replacement power costs to DEC retail customers for the
8 outages in the test year are relatively small, primarily due to the joint
9 ownership of Catawba Nuclear Station³, along with continued low
10 natural gas costs, and the relatively short outage durations. As a
11 result, the replacement power costs do not change the proposed
12 fuel factors.

13 Fourth, to the extent these issues continue or recur at Catawba or
14 at other nuclear stations, the Public Staff may find imprudence or
15 mismanagement on the Company's part that justifies a disallowance
16 of replacement power costs.

17 **Q. PLEASE DISCUSS YOUR PARTICULAR OBSERVATIONS AND**
18 **FINDINGS ABOUT THE NUCLEAR-RELATED OUTAGES FROM**
19 **THE TEST PERIOD.**

20 A. The two outages of concern were distinct, but occurred at the same
21 facility.

³ Duke Energy Carolinas has a ~19.2% ownership.

1 The first outage occurred on February 12, 2020, and was the result
2 of a component failure on a generator exciter in the proximity of the
3 exciter's brush⁴ location. The failure resulted in a turbine trip and
4 subsequent reactor trip. Based upon my review of the event, and
5 interviews with Company staff, the outage and the contributing
6 events that led up to the unit trip are very complex and stem from
7 procedural changes over the past decade. While some of the
8 Company's actions that contributed to this outage were not ideal,
9 the Company had completed on-schedule general bi-weekly
10 inspections (preventative maintenance activities) to ensure
11 component operation. I give substantial weight to the Company's
12 completion of bi-weekly inspections per schedule just prior to the
13 turbine trip. Based on my professional experience, I understand the
14 risk and conditions associated with entering, inspecting, and
15 working in the limited space in which the generator exciter is
16 located. Based on my interviews and discussion with Company
17 staff, I believe the Company has identified potential program
18 enhancements to mitigate exciter failure while balancing worker and
19 equipment safety.

20 The second outage occurred on September 8, 2020, and was the
21 result of a technician performing a routine scheduled calibration. In

⁴ A brush is a component used to transmit electric current from a non-moving (static) device to a rotating piece of equipment (generator or exciter).

1 doing so, the technician inadvertently performed an action on an
2 incorrect piece of equipment. This inadvertent action resulted in a
3 reactor trip. Based upon my review of the events, as well as
4 interviews with Company staff, the Company adhered to the proper
5 procedures and general work practices. The Company considered
6 the event to be human error/performance deficiency. In my
7 professional opinion, I agree with the Company's determination. To
8 my knowledge, all safety control systems responded in accordance
9 with technical specifications.

10 **Q. PLEASE DISCUSS THE INADVERTENT OVERSTATED**
11 **PURCHASES FROM DEP.**

12 A. Just prior to the filing of Company witness Sykes' supplemental
13 testimony, the Company informed the Public Staff of an internal
14 finding related to the inadvertent overstatement of power purchased
15 under the Joint Dispatch Agreement (JDA) between DEC and DEP.
16 The Company's supplemental filing provides supporting information
17 on the error that started in September 2020 and was corrected in
18 March 2021. The Public Staff requests that the Commission allow
19 the correction to flow through the as-filed revised exhibits of witness
20 Sykes, but to allow the Public Staff to review the costs in DEC's next
21 annual fuel rider. If an error is found in the September 2020 through
22 March 2021 correction, an adjustment will be made in DEC's next

1 annual fuel rider and likely cause an accompanying offset in DEP's
2 annual fuel rider.

3 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

4 **A.** Yes, this concludes my testimony.

QUALIFICATIONS AND EXPERIENCE

DUSTIN R. METZ

Through the Commonwealth of Virginia Board of Contractors, I hold a current Tradesman License certification of Journeyman and Master within the electrical trade, awarded in 2008 and 2009, respectively. I graduated from Central Virginia Community College, receiving Associate of Applied Science degrees in Electronics and Electrical Technology (Magna Cum Laude) in 2011 and 2012, respectively, and an Associate of Arts in Science in General Studies (Cum Laude) in 2013. I graduated from Old Dominion University in 2014, earning a Bachelor of Science degree in Engineering Technology with a major in Electrical Engineering and a minor in Engineering Management. I completed engineering graduate course work in 2019 and 2020 from North Carolina State University.

I have over twelve years of combined experience in engineering, electromechanical system design, troubleshooting, repair, installation, commissioning of electrical and electronic control systems in industrial and commercial nuclear facilities, project planning and management, and general construction experience. My general construction experience includes six years of employment with Framatome, where I provided onsite technical support, craft oversight, and engineer design change packages, as well as participated in root cause analysis teams at commercial nuclear

power plants, including plants owned by both Duke and Dominion. I also worked for six years for an industrial and commercial construction company, where I provided field fabrication and installation of electrical components that ranged from low voltage controls to medium voltage equipment, project planning and coordination with multiple work groups, craft oversight, and safety inspections.

I joined the Public Staff in the fall of 2015. Since that time, I have worked on general rate cases, fuel cases, applications for certificates of public convenience and necessity, service and power quality, customer complaints, North American Electric Reliability Corporation (NERC) Reliability Standards, nuclear decommissioning, National Electric Safety Code (NESC) Subcommittee 3 (Electric Supply Stations), avoided costs and PURPA, interconnection procedures, integrated resource planning, and power plant performance evaluations. I have also participated in multiple technical working groups and been involved in other aspects of utility regulation.

STATE OF NORTH CAROLINA


COUNTY OF WAKE

C E R T I F I C A T E

I, Linda S. Garrett, Notary Public/Court Reporter, do hereby certify that the foregoing hearing before the North Carolina Utilities Commission in Docket No. E-7, Sub 1250, was taken and transcribed under my supervision; and that the foregoing pages constitute a true and accurate transcript of said Hearing.

I do further certify that I am not of counsel for, or in the employment of either of the parties to this action, nor am I interested in the results of this action.

IN WITNESS WHEREOF, I have hereunto subscribed my name this 15th day of June, 2021.



Linda S. Garrett

Notary Public No. 19971700150