

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

PLACE: Via Videoconference
DATE: Monday, April 12, 2021
TIME: 1:30 p.m. - 3:30 p.m.
BEFORE: Chair Charlotte A. Mitchell, Presiding
Commissioner ToNola D. Brown-Bland
Commissioner Lyons Gray
Commissioner Daniel G. Clodfelter
Commissioner Kimberly W. Duffley
Commissioner Jeffrey A. Hughes
Commissioner Floyd B. McKissick, Jr.

IN THE MATTER OF:
PRESENTATION
E-100, Sub 101
Petition for Approval of Revisions to Generator
Interconnection Standards
and
E-100, Sub 101B
Implementation of IEEE Standard 1547

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

A P P E A R A N C E S:

FOR DUKE ENERGY CAROLINAS, LLC and
 DUKE ENERGY PROGRESS, LLC:

Jack Jirak, Esq.
 Duke Energy Corporation
 410 South Wilmington Street, NCRH 20
 Raleigh, North Carolina 27601

Brett Breitschwerdt, Esq.
 McGuireWoods LLP
 \$55001 Fayetteville Street, Suite 500
 Raleigh, North Carolina 27601

PRESENTERS: Anthony Williams and Philip Baker

FOR NORTH CAROLINA ELECTRIC MEMBERSHIP CORPORATION:

Tim Dodge, Esq., Regulatory Counsel
 3400 Sumner Boulevard
 Raleigh, North Carolina 27616

PRESENTERS: Tony Eason and John Lemire

1 A P P E A R A N C E S Cont'd:
2 FOR VIRGINIA POWER and LIGHT COMPANY, d/b/a
3 DOMINION ENERGY NORTH CAROLINA:
4 Andrea Kells, Esq., Associate
5 McGuireWoods LLP
6 501 Fayetteville Street, Suite 500
7 Raleigh, North Carolina 27601
8 PRESENTERS: Mike Nester and Mamadou Diong

9
10 FOR ELECTRICITIES OF NORTH CAROLINA, INC.:
11 Dan Higgins, Esq.
12 Burns Day & Presnell, P.A.
13 1427 Meadow Wood Boulevard
14 Raleigh, North Carolina 27604
15 PRESENTERS: Andy Fusco and Kathy Moyer

16
17 FOR THE CAROLINAS CLEAN ENERGY BUSINESS ALLIANCE:
18 John Burns, Esq., General Counsel
19 811 Ninth Street, Suite 120-158
20 Durham, North Carolina 27705
21 PRESENTER: John Gajda

22
23
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

A P P E A R A N C E S Cont'd:
FOR THE USING AND CONSUMING PUBLIC:
Robert Josey, Esq.
Public Staff - North Carolina Utilities Commission
4326 Mail Service Center
Raleigh, North Carolina 27699-4300
PRESENTERS: Dustin Metz and Tommy Williamson

1 P R O C E E D I N G S

2 CHAIR MITCHELL: Good afternoon everyone. I
3 now call to order Docket Number E-100, Sub 101B. We
4 are here to take presentations from Duke as well as
5 several other presenters on efforts thus far on the
6 implementation of IEEE Standard 1547.

7 On June 14th, 2019, the Commission issued
8 its Order Approving Revised Interconnection Standard
9 and Requiring Reports and Testimony in Docket Number
10 E-100, Sub 101 in which, among other things, the
11 Commission required the electric utilities to host
12 stakeholder meetings on IEEE Standard 1547 and to file
13 a report with the Commission by April 1st, 2020.

14 On April 1st, 2020, Duke Energy Carolinas
15 and Duke Energy Progress to which I will refer jointly
16 as Duke filed the required report. North Carolina
17 Clean Energy Business Alliance, now referred to as or
18 known as Carolina Clean Energy Business Alliance,
19 filed comments on that report.

20 On March 2nd, 2021, the Commission issued
21 its Order Requiring Reports and Scheduling
22 Presentation in which the Commission expressed the
23 intent of the interest in staying informed of the IEEE
24 Standard 1547 implementation efforts in North

1 Carolina. The Order also required Duke to annually
2 file the most recent version of the Standard, its
3 implementation guidelines, and a narrative explanation
4 of any stakeholder meetings that have occurred since
5 its previous filing.

6 The Order directed the Duke Utilities and
7 DENC to make filings by March 15th in Docket Number
8 E-100, Sub 101B. The Order also directed Duke to
9 appear before the Commission to make a presentation to
10 include a brief overview of the Standard; a discussion
11 of the Standard provisions that Duke has prioritized
12 in order to increase the amount of DER capacity that
13 can interconnect with minimal feeder upgrades, and the
14 status of implementing those provisions; discussion of
15 the Standard provisions that would help secure the
16 bulk power system by addressing DER ride-through
17 capability and the status of those provisions; an
18 overview of the IEEE Standard 1547 provisions that are
19 anticipated to require any Commission decision making;
20 and any recommendations that Duke might have for
21 future stakeholder engagement efforts on these topics.
22 The Order authorized NCCEBA, now CCEBA, the Public
23 Staff, NCEMC, Electricities, and DENC to provide brief
24 responsive comments at the presentation.

1 We're here to receive those presentations
2 from the Duke Utilities, and following Duke's
3 presentation, it's my understanding that we'll hear
4 from CCEBA, and then from NCEMC. My understanding
5 also is that representatives from Electricities, DENC,
6 and the Public Staff are in attendance and are
7 available to answer questions from the Commission
8 should there be any.

9 In the interest of efficient use of time,
10 we're going to limit questions to Commissioners only
11 and not -- we will not take questions from the parties
12 of one another.

13 Our court reporter is with us today creating
14 a transcript that will be filed in the docket and
15 available for your review on the Commission's website.
16 We ask also that the presenters file their
17 presentations in the docket specifically 101B as well.

18 As a reminder to our presenters, the
19 Commissioners may ask you questions as you go along.
20 As we are conducting this presentation remotely, I ask
21 that you identify yourself before you start speaking,
22 announcing your name, title, and party on whose behalf
23 you are making presentation.

24 All right. In the interest of getting going

1 this afternoon, we will go ahead and begin with Duke.
2 It's my understanding that Duke has three presenters
3 this afternoon, so I'll ask those gentlemen to
4 identify themselves for purposes of the record before
5 they begin with their presentation.

6 Before I hand over the mic to Duke, I will
7 pause here and see if counsel, you all have any
8 questions for me.

9 MR. BREITSCHWERDT: Chair Mitchell, Brett
10 Breitschwerdt on behalf of Duke Energy. One
11 clarification. There's actually going to be two
12 presenters on behalf of Duke, not three.

13 CHAIR MITCHELL: Okay. Perfect.

14 MR. BREITSCHWERDT: And then if I could, one
15 second clarification. You had mentioned filing the
16 presentations in 101B. Did you say the Commission is
17 going to take that step or that you would like the
18 parties to do so?

19 CHAIR MITCHELL: I would like -- I
20 understand that the presentations have been made
21 available to the Commission, but I'd like for you all
22 to file them in the docket as well.

23 MR. BREITSCHWERDT: Not a problem. Thank
24 you.

1 CHAIR MITCHELL: Mr. Breitschwerdt, I'll
2 turn it over to your presenters.

3 MR. BREITSCHWERDT: Great.

4 CHAIR MITCHELL: Noting that there are only
5 two of them.

6 MR. BREITSCHWERDT: All right. Anthony
7 Williams and Philip Baker, if y'all would like to
8 proceed. Anthony, you have the slide deck.

9 CHAIR MITCHELL: Mr. Williams, make sure you
10 are off mute.

11 MR. WILLIAMS: Sorry about that. Can you
12 see the presentation now?

13 CHAIR MITCHELL: We can, and we can hear you
14 now, so please proceed.

15 MR. WILLIAMS: All right. Good afternoon.
16 I'm Anthony Williams. I'm a Principal Engineer in
17 Distributed Energy Technologies Technical Standards.
18 For the last 30 years, I've performed power system
19 analysis in a wide variety of areas. Right now, my
20 focus is on distributed energy resources. I also lead
21 the Technical Standards Review Group, the TSRG, and
22 which we'll discuss that again a little bit later.

23 Philip Baker will join me later on the
24 presentation, but first I'll begin with a general

1 discussion of Duke's implementation of IEEE Standard
2 1547-2018. I think Charlotte went over all these
3 items. But recently the Commission asked us to give a
4 brief overview of 1547 to discuss the implementation
5 guidelines, how we prioritize them, and how we address
6 the interconnection capacity and ride-through topics
7 specifically. We'll conclude by providing comments on
8 the status, Commission decisions, and stakeholder
9 engagement.

10 EPRI shared a few slides and graphics with
11 us, so we'll use some of those. I like this slide
12 because it highlights the evolution from the 2003
13 version of the Standard up to the 2018 version. So
14 2003 established the unity power factor and the
15 abnormal event tripping, so in those cases it shall
16 not regulate, and it shall not trip. As a
17 transmission planner, you know, such requirements are
18 not really desirable, so as we move to 2014, the
19 language changed over to "may" and allowed voltage
20 regulation and active power ride through -- well, ride
21 through for abnormal voltage. Then in 2018 they
22 expanded on the details and the capabilities and now
23 everything changed back to "shall", but they shall be
24 capable of regulating riding through and capable of

1 frequency response. While the Standard is rather
2 broad and has many different parts, this surveys the
3 more critical parts.

4 So very quickly on the purpose of the
5 Standard. It has two main parts I wanted to talk
6 about; the Uniform Standard piece and then also the
7 requirements. So in terms of a standard it's for an
8 interconnection, it's not just about the capacity but
9 also about uniformity across the DER equipment itself.
10 So just making it, you know, a more standard device
11 and easier to understand what's there. The
12 interoperability piece, a little bit of a strange word
13 to me but I think of it just in terms of SCADA, so and
14 that's the control and the data that's shared between
15 the Utility and the DER.

16 In terms of requirements, and I see this
17 more as a functional standardization, each device,
18 each manufacturer they're free to design their
19 functions differently, but what the device does it's
20 essentially the same, you know, in terms of that
21 particular function. So in this presentation our
22 attention will be mainly on the functionality or the
23 performance piece. There are the other sections that
24 are mentioned here in the requirement section like

1 testing and interoperability, but today we're not
2 specifically going to focus on those.

3 1547 is for distribution connected DER only.
4 It's not transmission connected. Those have their own
5 standards and requirements. The focus is on DER
6 requirements in terms of, you know, more of an
7 equipment standard, not so much on utility
8 requirements. It's still focused mainly at the DER.
9 And then it also expands on the interface between the
10 power system and the DER itself in terms of the power
11 system connections and the communication connections
12 at the interface.

13 So as we talked about it's about performance
14 of the inverter, not how to design it, or about the
15 functions, not the utilization. And there's at least
16 eight main technical sections with many requirements
17 in each section. And then towards the end of 1547
18 there's two other large sections for nesting and
19 interoperability.

20 And a little bit of a final point, but we
21 tend to still call the Standard 1547-2018 although
22 there is a small revision in 2020 for category 3 ride
23 through. We still just generally say 1547-2018.

24 The Commission specifically asked about

1 interconnection capacity, and voltage regulation is
2 one of the few functions that could impact that. This
3 slide is an EPRI slide and so they've highlighted a
4 couple of words here and they note that the Standard
5 requires capability in the DER, but the Standard does
6 not require that the function be used. So again, just
7 focusing on the equipment side of things.

8 So although the table is a little bit busy
9 it comes right out of the Standard, but I wanted to
10 call your attention to the right-hand column for
11 category B which indicates that all the voltage
12 regulation functions are mandatory with that
13 classification of control. So at the top of the table
14 there are four reactive power controls. And so two,
15 inject or absorb reactive power, that does require
16 some of the ABA capability. So in some cases,
17 depending on how the equipment or facility is
18 designed, that can impact the overall active power
19 generation where the last controller is active power
20 control, and you would not expect that to impact the
21 ABA capability.

22 The last bullet is about applications. Many
23 times with voltage and reactive power control, your
24 uses for interconnection which would be like the

1 initial connection to the power system and also grid
2 support providing, you know, voltage or reactive
3 control support. So right now Duke is mainly focused
4 on the interconnection piece and not grid support
5 right now.

6 A good bit of effort is put into clarifying
7 tripping for events and capability to ride through in
8 the Standard. These are the sections that -- two of
9 the main sections here, 641 involves tripping, and
10 then the second requirement focuses on the capability
11 of the DER to operate until it trips. So, you know,
12 whenever there is an event, the capability portion of
13 the requirement keeps the inverter in service and
14 provides time for protection systems and other
15 controls to mitigate the event. If the event
16 persists, then the tripping occurs.

17 So the tripping requirement as we discuss,
18 it's always been here, but more emphasis has been
19 placed on the capability to ride-through disturbances
20 and also for longer periods of time. So if we put
21 these two together, then the capability allows the
22 inverter to continue to operate or ride through until
23 the trip times are reached.

24 Since mid-2019, Duke has been considering

1 how to apply the Standard. The first discussion of
2 that was around May 2019, the TSRG meeting, and the
3 discussion there was around providing, you know, some
4 type of guideline document to decide how we're going
5 to implement the Standard.

6 So overall the -- so as a quick review, just
7 real quick on the TSRG. So again, we said that's the
8 Technical Standards Review Group. So Duke and the DER
9 stakeholders meet quarterly to discuss the technical
10 standards for interconnection, with the distributed
11 energy resources, to both systems in, you know, North
12 and South Carolina.

13 Soon after that May meeting, the
14 Commission also requested the guidelines be filed, so
15 we did file that original version back in '18 -- April
16 of 2020 and that's the table of contents, this here on
17 the right-hand side. There's 26 different topics in
18 that version of the Standard or the guidelines.

19 But below, I want to talk a little bit about
20 this graphic from EPRI. We use it to just talk about
21 the structure that was kind of standing behind the
22 guidelines that we're developing. So the blue layer
23 at the bottom is just the basic standard as it's
24 adopted and with the default values, so you're just

1 taking in as it is. The next level up is the regional
2 level for RTOs, ISO requirements or specific settings
3 that they may have which will not be an issue for
4 Duke. And then the yellow layer is the
5 utility-specific guidelines that take into account how
6 the system is designed and operated and, you know,
7 many utilities have some specific requirements in this
8 area just to address, you know, their unique systems.
9 The top of the pyramid indicates that there could be
10 some specific requirements, you know, just to unique
11 or one site and this is kind of the crossover point
12 from utility guidelines to specific DER settings.

13 So our guidelines are structured somewhat
14 this way. We prefer to focus mainly on the Standard
15 as it's written and the default values that are there
16 and try to adhere to those, try to keep it simple and
17 follow the guidelines there.

18 But then as we need to, up in the yellow
19 layer, you know, there are some places in the Standard
20 where they require the Utility to specify settings or
21 other requirements, so in those areas and then we'll
22 be adding, you know, our own specific language to the
23 guidelines. But we're trying not to just repeat
24 everything that's in the IEEE Standard in our

1 guidelines. That way when you come to the guidelines,
2 it's really about the things that are going on with
3 Duke.

4 Concerning prioritization of the items that
5 are in our guidelines, we've considered many different
6 factors. We've highlighted those here. Starting at
7 the top is just the different items that impact grid
8 support. The main document there is the NERC
9 reliability guideline. There's also been some similar
10 guidelines put out by other RTOs, ISOs, so we
11 considered those in selecting our priorities as well.

12 We also looked at the functions that are in
13 1547, specifically those that could directly increase
14 the amount of DER interconnections, and really these
15 three stand out in that sense: Limiting active power,
16 voltage and reactive power control, and voltage and
17 active power control.

18 Of course, through the TSRG we took
19 stakeholder comments. We polled the group on what was
20 important to them. And then we also looked at
21 implementation plan reviews from other utilities to
22 see how they were prioritizing the various items.

23 And because there are so many topics, we
24 looked at the high, medium, and low priority, but also

1 the complexity of resolving the technical issues, or
2 utility scale DER, and that's what's in the graphic
3 here on the right-hand side. The technical parts of
4 the Standard kind of range from complex to detailed to
5 even basic, so the amount of effort to understand the
6 topic and decide how to implement it varies. It can
7 vary a good deal.

8 Then the high, medium, and low just
9 expresses, you know, kind of the value of that
10 requirement itself. So we tried to minimize how many
11 complex topics are being addressed at one time just to
12 kind of allow the right focus on the topics. So
13 considering all these bullets above, a priority order
14 was set following the April 2020 TSRG meeting.

15 And so those priorities can be summarized
16 like this. There's basically five. So the first one
17 is about reactive power and voltage control; second
18 for ride through; and then three, four, and five more
19 or less divide things out between high, medium, and
20 low priority of the remaining items. They're not all
21 in section four, but that's the general idea of the
22 structure that's in the guidelines.

23 So to address reactive power specifically,
24 the current state at Duke, you know, we only use

1 constant power factor right now and the default is
2 unity power factor. The first study which was filed
3 with the Commission April of 2020 was performed by
4 Navigant and the focus there was how well reactive
5 power control even worked at the various locations
6 along the feeder looking at locations close to the
7 feeder head, middle of the feeder, end of the feeder,
8 that type of thing.

9 We also considered how well a universal
10 setting might work for all utility scale DER. At this
11 point, you know, we weren't very sure how complex the
12 whole question was, and the analysis, and could one
13 universal setting work at those three locations -
14 head, middle, and end - or would it be kind of a
15 case-by-case study for each individual site. We
16 wanted to get a better idea of that. Also, with that
17 study we were able to affirm that Category B was the
18 normal performance requirement that we would like to
19 use. But that first day it left a lot of questions as
20 well, so we talked about it in the TSRG, and we
21 commissioned a second study. EPRI is working on that
22 study now, and it would focus on a time series
23 analysis.

24 So the first study was performed more

1 similar to just a traditional power-flow study where
2 you have one load condition and one generation
3 condition, such as minimum load at peak generation.
4 Whereas in the second study, we considered different
5 load levels throughout the day, hour by hour. So
6 basically there's one study each hour from min load to
7 peak load, and then we considered the corresponding
8 output from the DER for those same hours. So many
9 more analyses in the second study.

10 Then we considered the impact, and we
11 evaluated the interaction between the existing voltage
12 control devices and the DER that it would have, the
13 reactive power control. So in the first study since
14 it's a fixed-load case, it was easier to set any
15 devices that are on the feeder as they should be for
16 that load condition. Those devices might be load tap
17 changers, voltage regulators, capacitors, but when you
18 start sequencing throughout the hours of the day with
19 various load levels, all those devices may change --
20 you know, have the potential to change state, so we
21 had to model that and include that in the study as
22 well, and that study should be wrapping here in the
23 next couple of weeks.

24 So during this time we've also committed to

1 some pilots with a few facilities for reactive power.
2 And then following the second study with EPRI and
3 discussions in the TSRG meetings, we'll determine what
4 the next steps are in terms of studies and for
5 reactive power.

6 So next I'd like to turn it over to Philip
7 and he'll discuss the protection settings and ride
8 through.

9 MR. BAKER: Thank you, Anthony. My name is
10 Philip Baker. I've worked at Duke Energy for 33
11 years. I'm currently a Principal Engineer in the
12 Transmission System Standards Group. I'm going to
13 talk specifically about protection settings for ride
14 through, so it's a continuation of some of the topics
15 Anthony has introduced and I've got about three
16 slides, and it'll go back to Anthony in a moment.

17 I want to call specific attention to the
18 first half of the IEEE definition for ride through.
19 And that is the ability to withstand voltage or
20 frequency disturbances inside defined limits. I think
21 Anthony mentioned on a prior slide that there are
22 three categories for this, and they have overlap, so
23 given a certain setting it may exist in all three
24 categories. The time delay may exist in all three

1 categories. It just depends on the settings that
2 you've selected. There's a lot of latitude in each
3 category. As the categories increase, the guard rails
4 widen I should say, be a good way to say that. But
5 it's up to the Utility to pick the settings that --
6 that actually work.

7 And system protection, it's a very broad
8 topic. People spend their careers dealing with just
9 this subject, but I wanted to mention three key
10 objectives that relate to the selecting of the
11 settings. These three objectives are ride through
12 bulk electric system faults to prevent unnecessary
13 tripping of the ER. Second bullet is trip for faults
14 in protection zones where tripping is required. And
15 the third one is trip for unintentional islands. It
16 boils down to avoid unnecessary tripping but yet trip
17 when required and that's the -- turns out that's a
18 fairly difficult thing to achieve.

19 Adopting protection settings that
20 exclusively emphasize one objective may compromise one
21 of the other objectives. So a balanced approach is
22 needed, and research is needed to optimize these
23 settings for the best performance.

24 So next slide, Anthony.

1 Okay. Research plan focus areas. I want to
2 highlight a couple of focus areas and then some things
3 about how we're implementing that.

4 Settings optimization, this is research
5 directly targeting the balancing of the three
6 objectives on the prior slide as well as other things.
7 This optimization does include mitigation for any
8 known past event or predicted events. The Commission
9 had specifically asked about a BES event that we had
10 where a lot of DERs tripped. This event is included
11 in that research proposal.

12 And then there's coordination of settings
13 with the DER settings. So at sites typically bigger
14 than a megawatt, Duke has a protection device
15 installed at the site so the settings in the Duke
16 devices have to coordinate with the settings in the
17 DER facility whether that be onboard settings or flat
18 level settings, and that's going to require a good bit
19 of stakeholder engagement as we go through this
20 coordination exercise.

21 So how are we implementing our research
22 plan? There are three main areas. One is consultant
23 based. This is our most comprehensive research area
24 to look at all aspects that Duke is interested in to

1 try to optimize the protection settings. There's the
2 EPRI IPRAT project which is the Islanding Preventing
3 Risk Assessment Tool. That's an important piece to
4 help quantify risk associated with one of the key
5 points that was mentioned. And then there's a CAPER
6 project. This is a consortium of universities and
7 some industry. It does include NC State, UNCC, and
8 Clemson. And the main avenue of research here is
9 combining the transmission and distribution studies
10 together to validate the proposed, the ride-through
11 settings.

12 Next slide, Anthony.

13 All right. Apply settings. So once we know
14 what the settings are, we have to -- we have to put
15 them to use, so in other words what does it take to
16 put boots on this thing and make it work. Two areas
17 to mention here; in-service sites and new sites.

18 For in-service sites, we are mainly focused
19 on sites at 1 MW and above. Those are the sites that
20 typically have a utility recloser, so we do have to
21 visit those sites and put new settings in them. And
22 then we have to find out what is the ability of the
23 in-service DER equipment to accommodate new settings.
24 One way to do that may be to look at the old 2003

1 Standards and see are our optimized settings, do they
2 fall within the bandwidth of the requirements from
3 that era. If they do, then it's almost certain that
4 these devices will be able to accommodate the
5 settings. It may need a survey to find out what the
6 setting abilities are, and then we have to change
7 settings in those sites. So that's the summary of the
8 in-service work.

9 For new sites, it's a couple of bullets
10 here, but in summary the new optimized settings we
11 come up with, the goal is to have one set of settings
12 that works across the board, so this will be for any
13 new site regardless of size. Again, the sizes of
14 megawatt and above would likely still have a Duke
15 recloser, so -- but these should get -- the hope is
16 that these will get the same settings that we develop
17 for the in-service sites. We see no reason to have
18 different settings at this time, but the research will
19 reveal that if there is a necessity to have different
20 settings for new sites, but the hope is that they'll
21 all be the same.

22 So that summarizes and ties up my protection
23 settings slides. I'll hand it back over to Anthony.

24 MR. WILLIAMS: All right. Thank you,

1 Philip. So to summarize the implementation
2 activities, we've established the priority order to
3 focus on the most relevant sections of the Standard.
4 We've issued the 1547 guidelines and revised them
5 three times since March 2020, and we should have the
6 fourth revision out for this TSRG meeting at the end
7 of the month. We've discussed the guidelines in at
8 least five meetings so far. And we've finalized the
9 proposed technical testing and interoperability
10 requirements on 11 of the 26 prioritized sections of
11 1547. And then there's several sections in there that
12 aren't quite finalized, but, you know, they're in
13 various levels of completion.

14 And then we will be soon completed with the
15 two reactive power studies between November of '19 and
16 April of '21, and we have those reactive power pilots
17 planned. And then Duke plans to discuss the schedule
18 and timeline at TSRG meetings later this year.

19 In terms of Commission decisions, there are
20 not really any known decisions at this time, but I
21 think they talked about anticipated so it's possible
22 there could be some, so we've listed a few areas here.
23 With new Interconnection Agreements, should we go
24 forward with the reactive power capabilities, you

1 know, since unity with default-to-power factor has
2 been what we've had so far, there's not much in the
3 agreements about reactive power, so there would
4 probably need to be some additions there.

5 And then we just wanted to review and make
6 sure that we have the right references to 1547 or if
7 there's any specific requirements that need to be
8 added or included there as well.

9 Then for the North Carolina Interconnection
10 Procedures, it's possible that there would need to be
11 an adjustment for additional data to support new
12 studies and new inverter functions. Everything in
13 there now is not focused on the smart inverters.

14 And then qualifications and clarifications
15 about the grounding issues. There's a few different
16 sections in the Standard about grounding and that's
17 been something we've been trying to address in the
18 NCIP anyway.

19 And then there could be some changes with
20 Section 3 Fast Track and Supplemental Review. Again,
21 the thoughts are kind of around reactive, you know, if
22 we can develop some way to screen or some basic
23 supplemental reviews that may help address, you know,
24 moving those projects through the queue or identifying

1 the right ones that need system impact studies. And
2 then again, just making sure the right references are
3 there for 1547.

4 Method of Service Guidelines is included.
5 That's the interconnection guidelines that Duke has
6 now. So the 1547 Implementation Guidelines is a
7 separate standalone document that's just about the
8 technical issues with the new version of 1547,
9 implementing those guidelines, testing
10 interoperability; all those things are in the
11 guidelines. So as those things are finalized, we may
12 want to move some of those over to the Method of
13 Service Guidelines. So there's the potential to have
14 changes there.

15 And so Duke will continue with stakeholder
16 input and continue to identify and evaluate anything
17 that we think needs Commission decisions.

18 In terms of stakeholder engagement, that's
19 been part and parcel to the process from the start.
20 So the first time we addressed this was a January 2020
21 meeting, and been determining how to address the 1547
22 implementation, and the TSRG decided then to continue
23 to address it in the quarterly meetings. We've had
24 multiple meetings since that time, so we discussed

1 mainly the changes that's happened in the guidelines
2 since the last revision. We had a discussion on those
3 topics, but that's just at the meeting time, you know,
4 we really have like open door where people can submit
5 comments any time they would like. You know, so we
6 encourage comments even outside the meetings. And the
7 TSRG has been effective so far, so we plan to continue
8 to use that as the forum for implementing this and for
9 discussing all the issues.

10 Just a little bit more on the TSRG. There
11 is a public website and the address is listed here at
12 the top of the slide. And so on the -- there's a
13 screenshot on the right of the web page and you'll
14 find references to technical standards, commissioning
15 documents, meeting information. And then on the left
16 side of the page, I kind of expanded one of the more
17 recent meetings where you can see all the documents
18 that are provided there; agendas, presentations, any
19 documents that we discuss during the meeting.

20 So in summary, we'll keep developing the
21 guidelines with the TSRG, those three areas that we've
22 been talking about. We'll complete the necessary
23 studies. And we'll define any of the Interconnection
24 Agreement or other process changes that we need to do

1 and that includes Duke internal process changes. And
2 we'll continue to work on the schedule and timeline,
3 and then we'll go back and pick up the lower priority
4 1547 items and address those as well.

5 So that's the conclusion of the presentation
6 that we have for Duke Energy. Thanks.

7 CHAIR MITCHELL: All right. Thank you,
8 Mr. Williams and Mr. Baker. I do have a few questions
9 for you and I'll just sort of direct them your way and
10 you all can handle them as it is appropriate.

11 And I'll preface this by saying y'all have
12 to remember I'm an attorney by training, not an
13 engineer, so some of my questions are going to display
14 my ignorance of the engineering in that regard. But
15 so the -- is it the case that the Standards
16 encapsulated by 1547-2018 can be applied to any
17 inverter? Or are there only a certain generation of
18 inverters that can be set to 1547-2018 in its, you
19 know, in going forward? And the reason I ask that is
20 this, I mean, you know, are we looking at going back
21 and recalibrating a bunch of inverters existing on the
22 system now or are we looking only at making these
23 types of changes in these types of settings on
24 inverters as they come on going forward or inverters

1 that have not even yet been developed? Does that --
2 does my question make sense?

3 MR. WILLIAMS: Yes. I think so.

4 CHAIR MITCHELL: Okay. Go ahead.

5 MR. WILLIAMS: So to take the first part of
6 the question, so can you -- what's the Standard really
7 directed towards? So I think it's really directed
8 towards what we classify as new inverters, so UL is
9 working on a standard for testing. They completed the
10 Standard, but the manufacturers have to submit the
11 inverters that they have to go through the UL testing,
12 and then they would be certified to the 2018 version
13 of the Standard. And so coming out of that testing,
14 you'd know that you could apply settings from the
15 Standard that all those inverters would have the
16 functions that are required by the Standard and you'd
17 be able to go forward.

18 So, you know, it's possible for -- if we go
19 back to the very beginning and we look at the EPRI
20 slide about the evolution, you know, in 2014 there
21 were some inverters that may regulate voltage, may
22 ride through, so there are some functions of older
23 inverters that maybe you could apply some of the same
24 settings from 2018, but I think you would just have to

1 take a hard look at that to really make sure they had
2 that capability. They may or may not.

3 Some other people maybe have already crossed
4 that bridge and may know more about it, but, you know,
5 our focus is more on applying the 2018 version of
6 Standard to inverters that have been certified to that
7 Standard.

8 CHAIR MITCHELL: Okay. That makes sense. I
9 appreciate that clarification. That's helpful to me.

10 In part of your presentation you discussed
11 changes that you all envision to the North Carolina
12 Interconnection Procedures primarily as I recall
13 pertaining to the reactive power setting. So help me
14 understand, I mean, are you all envisioning a scenario
15 where an interconnected facility is providing reactive
16 power to the system or otherwise sort of absorbing
17 reactive power such that it's providing a service to
18 the system that it would get paid for?

19 MR. WILLIAMS: Right. So right now we are
20 not. On this slide, the very last bullet I was
21 talking about grid support functions, so right now
22 we're not considering those which would be, for lack
23 of a better term, you know, assisting Duke with
24 maintaining voltage on the system. We're focusing

1 more on the interconnection piece where you would use
2 that functionality to help maintain voltage just for
3 the interconnection of the DER.

4 So, many times because the DER, the inverter
5 is injecting active power that causes voltage to rise,
6 and that can create a voltage violation. So if they
7 absorb reactive power, that brings the voltage down.
8 So then that may remove the violation, so then they
9 don't have a violation for interconnection.

10 So that's how we're using it, you know, in
11 terms of the interconnection, but not so much as hey,
12 we just want to maintain 124 volts on the system, so
13 you regulate the voltage. You know, that would be
14 more grid support and we're not looking at that piece
15 right now.

16 CHAIR MITCHELL: Okay. Thank you for that.
17 I appreciate that clarification. That helps me as
18 well.

19 All right. I'll pause here and see if any
20 other Commissioners have questions for the Duke
21 presenters before we turn them loose.

22 (Pause).

23 Okay. I'm not seeing -- I'm not seeing
24 anyone else's hand up. So, with that, I appreciate

1 your presentation this afternoon, Mr. Baker and
2 Mr. Williams. And we look forward to staying informed
3 of y'all's progress in implementing this Standard.

4 MR. WILLIAMS: All right. Thank you.

5 CHAIR MITCHELL: We will hear next from
6 CCEBA. And I think Mr. Gajda you are up to present on
7 behalf of CCEBA.

8 MR. BURNS: Madam Chair, this is John Burns.
9 I'm counsel for CCEBA. I appreciate the opportunity
10 to appear before you for my first time today. You are
11 correct. John Gajda will be doing our presentation.
12 He has prepared some slides and is in control of his
13 slide deck, so I will turn it over to him.

14 CHAIR MITCHELL: All right. Thank you, Mr.
15 Burns.

16 MR. BURNS: Yes, ma'am.

17 CHAIR MITCHELL: And good afternoon, Mr.
18 Gajda. Good to see you again.

19 MR. GAJDA: Yes. Yes. Good to see you all.
20 Hopefully, you've got my screen there and you can see
21 it and you can hear me all right?

22 CHAIR MITCHELL: We can hear you and we can
23 see your slides, so you may proceed.

24 MR. GAJDA: Fantastic. Well, to all of the

1 Commissioners, thank so much for the opportunity to
2 speak to you today. And we just wanted to provide a
3 kind of perspective from the Carolina Clean Energy
4 Business Association. Again, my name is John Gajda.
5 I'm Principal Engineer with Strata Clean Energy of
6 course here representing CCEBA.

7 So just a little perspective, and I expected
8 and that, of course, Duke would, you know, give an
9 overview, so what we've done here is really just try
10 to focus our comments not so much on the overview
11 which Duke has well provided, but these are kind of
12 where we wanted to focus our kind of some points to
13 just, you know, give some other perspective, you know,
14 give a reference to some adoption status across the
15 US. I'm not really going to spend time on that, but
16 I've provided that, and we can talk about if there's
17 any questions but I included that here at the end of
18 the presentation.

19 I thought it was useful and I think Duke did
20 a pretty good job of this, but to really understand
21 1547 stakeholders, it is a very technical standard and
22 I kind of actually tried to draw a little comparison
23 to electric vehicle plug standards. I don't profess
24 to be an EV expert, but I think this will work for

1 everyone.

2 There's been some comments in the filings
3 about TSRG engagement and I wanted to address that,
4 because I think that's really important. TSRG has
5 been a valuable entity to have, so I wanted to talk
6 about that. And then just kind of a calibration on,
7 you know, so where are we. And then I think an
8 interesting little example from the Massachusetts
9 TSRG, and then just really what success looks like for
10 us.

11 And this is, again, just a reference slide
12 I've provided in the appendix. This is publicly
13 available. It's from the IEEE Standards Association
14 and EPRI and they really provided just a small number
15 of slides on adoption status across the US. It felt
16 like it was really good to put here for everybody to
17 reference and -- but I think for the sake of the
18 Commission I'm not going to present those.

19 So let's dig into talking just a little bit
20 about understanding 1547's stakeholders and how do
21 standards help us. And I thought actually this
22 comparison to EV standards was kind of maybe
23 interesting. And again, I don't profess to be an EV
24 expert. But if you look across the middle of the page

1 you see I kind of draw a linkage here. You have EV
2 manufacturers. You have DER equipment manufacturers
3 like inverter manufacturers. So anybody who has
4 purchased an EV, okay, you're a purchaser or an
5 operator, you might be kind of similar to a developer
6 or an operator of a renewable generation site.

7 Deploying charging stations across, you
8 know, some kind of area is kind of the other piece of
9 that, and you might draw a linkage to utility
10 equipment manufacturers and utilities. And then in
11 both cases we've heard it's the public and the
12 environment is a stakeholder.

13 So where I draw this, too, is an interesting
14 question which is who cares about the plug itself
15 versus what a standard plug actually provides. Many
16 of you have seen an EV or have seen an EV plug. It's
17 got a certain number of prongs on it. And a lot of
18 engineers can get together and talk about how many
19 prongs should be on that plug. Now, that's important
20 to people like Tesla or Chevrolet or Nissan or people
21 like that. It's also very important if you're a
22 manufacturer of a charging station or you're
23 developing charging stations and putting them out
24 there. But ultimately what you really care about is

1 that those match. And you don't really care about how
2 many pins there are. That might be a General Motors
3 or a Tesla thing.

4 I mention this because this may tell us a
5 little about which stakeholders will really be engaged
6 and how they will be engaged. And I want to revisit
7 that in a second.

8 So I think Duke mentioned this a little bit,
9 but I think Anthony did but, you know, technical
10 standards are to make everything the same which is to
11 reduce cost for the whole value chain and all the
12 stakeholders here. So we very much view plug
13 standards as spurring the adoption of EVs. If they
14 all had different plugs, you know, that wouldn't be
15 good for adoption.

16 Kind of similar with 1547. It standardizes
17 the equipment. I think the key element to enable
18 success on the EV side is you could have a whole bunch
19 of cars with the same plug, but if you talk about a
20 charging network and if it's not really there or it
21 doesn't really develop or expand, then you perhaps
22 don't reap the value of that.

23 And in this case you're going to hear me
24 mention a couple of times the Utility what I call T&D

1 planning and operating standards, which is really a
2 level above or different than 1547 itself. And I
3 think there is a reference to the fact that 1547 is a
4 standard for the equipment or for the facility but the
5 Utility may or may not end up really implementing that
6 part of the Standard in such a way that the equipment
7 can, you know, fully utilize its capabilities.

8 So a quick couple of comments about the TSRG
9 and kind of engagement from both of the parties. I
10 think there was a very valid concern. Duke mentioned
11 once or twice a little concern I think, if that's a
12 valid term here, for engagement of the DER
13 stakeholders. I think there is -- I wanted to take
14 this opportunity to highlight why I think that is.

15 Two big things, I think. Much of 1547's
16 requirements are impacting right now, before
17 everything is available, they're impacting equipment
18 manufacturers. DER engineers, engineers, say
19 developers and such organizations, can't even really
20 yet specify nor purchase this equipment.

21 It's also well known that DER equipment
22 manufacturers like inverter manufacturers have
23 struggled for years with robust product documentation
24 and understanding grid requirements and how utilities

1 approach such requirements. And that's just been a
2 weakness on the equipment manufacturer's side which is
3 getting better over time. So when folks show up at
4 the TSRG meetings from various developers, they're
5 very aware of what's happening with 2018, mostly
6 thankful to Duke, but also outside of Duke because a
7 lot of them are engaged in the 1547 Standards process.

8 That being said, it's very important to
9 figure out how many pins are in an EV plug; however,
10 the DER side of the house may mostly be worried about,
11 you know, the Standard being effectively carried out
12 as opposed to worrying are there four or five pins in
13 that plug. So that could explain really a little bit
14 about why, you know, you may not have -- like Duke
15 isn't necessarily seeing a lot of, you know, questions
16 or say criticism from the DER side and the TSRG.

17 And the other piece is just a reality which
18 is very, very -- you know, I'm personally very aware
19 of this just through my background, DER engineers are
20 not transmission and distribution experts and I think
21 nobody should expect them to be. There is a heavy
22 reliance on the Utility to move ahead with changes to
23 its what I call again planning and operating standards
24 to be compatible with 1547. So, you know, we heard

1 from Anthony and Philip and, you know, there's a lot
2 of technical content you see that they presented, and
3 so the DER industry is definitely relying upon that.

4 The piece that where we're just not at yet
5 that is to be talked about is once these application
6 guidelines are fully developed, developed out, where
7 will the -- will there be any changes to planning and
8 operating standards that then allow say, for example,
9 voltage regulation capability to be more fully used.
10 If those changes happen, and then there's more --
11 there's clear requirements for DER developers, that
12 will allow for increased DER development and
13 penetration.

14 I think the Utilities, and I think this is
15 not really a critique or a criticism of the Utilities,
16 this is an acknowledgment of where we're at and with
17 where utilities sit when they come to a TSRG, but it's
18 kind of three main points here. If utilities are not
19 incentivized to maximize DER penetration, and I'm not
20 really here to say if they should or not be, but if
21 they aren't, then there's not really a lit fire to
22 move ahead with altering the Utility side of, you
23 know, again, the planning and operating standards.
24 There's really not a, you know, fire to move that

1 piece ahead. They can go ahead and clarify the
2 existing 1547 and, you know, every one of its
3 individual little detailed pieces and how that might
4 work with their system, but the Utility is clearly,
5 and this is stated everywhere, is not under an
6 obligation to advance the use of those in a broader
7 sense.

8 So why do I keep kind of talking about this
9 operating and planning standards thing? Well again,
10 the active control requirements that 1547 enables, and
11 I think that's a great term is "1547 enables", these
12 capabilities and it enables voltage control, reactive
13 power control, active power control, these are some of
14 the things Anthony talked about, 1547 enables this,
15 but you can't really -- but the other piece of it has
16 to happen. If there are no changes really considered
17 to the say planning and operating standards, then we
18 all know we're operating with unchanged distribution
19 system architecture. And I'm just kind of really
20 throwing this out here to really say that, you know,
21 this needs to be a transparent piece of all of this.

22 Without guidance which encourages things
23 like new voltage regulation schemes or, you know,
24 different polices on multi-circuit feeders, there

1 could be a number of things, things like new inverter
2 regulation or voltage regulation capabilities, risk
3 being used in isolated situations only. So that's
4 important to note.

5 I'm not -- Duke's engagement on abnormal
6 conditions requirements which are really kind of the
7 ride-through piece of this, this has been an ongoing
8 topic in the TSRG. But actually, I was really excited
9 to see the update from Duke today because this
10 actually -- we haven't seen a comprehensive update in
11 the TSRG on the ride through piece in the last few
12 meetings, so seeing Duke's presentation today I would
13 almost retract a few of these comments. It looks like
14 they are making some decent progress.

15 There are ISOs and RTOs across the country
16 which have moved ahead already with developing
17 guidelines for voltage and frequency settings. I know
18 Duke would be aware of this through their involvement
19 with PJM and MISO outside of North Carolina. So I
20 just mention that the DER industry is really ready to
21 engage on that piece. This piece will impact to some
22 degree, could impact existing sites even though
23 existing inverters don't even -- weren't built to the
24 2018 Standard. There is a connection to those, and I

1 think Philip actually referenced that. So we look
2 forward to really just engaging with them deeper on
3 that. That's really -- that has to be initiated by
4 them because it's all about grid reliability.

5 So just kind of where are we now? I think,
6 you know, Duke's efforts to date are all in the right
7 direction. So I think, you know, at CCEBA we really
8 want to acknowledge that. The VOLT/VAR studies, this
9 is in my time in this business, this is exactly what I
10 envisioned would first need done to figure out how
11 inverters could be used on the distribution system
12 with these enhanced capabilities. The creation of the
13 application guidelines, yep, also very much in the
14 right direction. So again, this is why CCEBA's filing
15 we didn't really highlight that. You know, we felt
16 like it was moving in the right direction here and --
17 you know, and they are.

18 We do think there might be some under
19 estimation with volume and complexity to come. We
20 made some comments in filings about the idea of
21 possibly kicking off a subcommittee in the TSRG, which
22 has been done in other places to specifically address
23 1547. And, you know, I think our only point there is
24 really to highlight the need to be able to dig into

1 the volume and complexity, and if we can do that in
2 the regular TSRG, then great. But if other topics
3 kind of come in there, you know, I think it's going to
4 be important to have the bandwidth and the time to
5 address that.

6 I think there is a need to move, and this is
7 another update that Duke gave today which I was really
8 glad to see, was the idea of moving some 1547
9 guidelines into the Method of Service Guidelines,
10 which sounds to me, I don't want to over interpret
11 that, but sounds to me like a move to a comprehensive
12 requirements manual. That would be highly valuable I
13 think for all stakeholders to have a comprehensive DER
14 requirements manual.

15 You know, this is something really that
16 could be -- that could be started, you know, fairly
17 soon. Existing requirements documents are in a few
18 different places so comprehensive manuals like this
19 minimize controversy, they provide predictability for
20 everybody, but, you know, that's a great thing we look
21 forward to talking with Duke about. And the DER
22 industry agrees its personnel needs to be ready to
23 listen and engage as Duke drafts specific
24 requirements.

1 You know, necessity is the mother of
2 invention as they say, so when we see these
3 application guidelines and they address grounding or
4 various things, I can see -- at the meetings I can see
5 where some of the DER side might -- it might look like
6 the engagement isn't there. I think they are in a
7 serious listening mode, because in some cases Duke is
8 clarifying things that need clarified and -- but they
9 may not actually immediately impact anything on the --
10 you know from a standpoint of how the DER site might
11 build a site. So in that case there may not be a lot
12 of feedback in some cases.

13 So there likely will be I think in the
14 future more than one way to skin the cat as they say,
15 more than one way for a DER design to meet certain
16 requirements, and that will be the important time to
17 have the two-way conversations in the TSRG.

18 You know, I don't believe every state needs
19 to do things the same. I personally visited the
20 Massachusetts' TSRG once, and I bring it up not just
21 because they formed a TSRG subcommittee, but I bring
22 it up because the exact meeting that I happened to
23 attend in November of 2017 there was a really unique
24 kind of little situation which occurred which I think

1 highlights the value of a TSRG in this situation and I
2 think it's just great for I think hopefully for all
3 the Commissioners to hear this.

4 I happened to be sitting in this meeting and
5 it was the New York ISO that was bringing concerns to
6 the Massachusetts Utilities about these ride-through
7 settings. And what was fascinating was everybody -- a
8 few prior meetings everybody had already talked about
9 this, but the rubber was getting ready to hit the road
10 and they really wanted this to start happening and
11 they told the distribution utilities you need to start
12 talking to your interconnection customers about
13 implementing this. We're in the inverters. You know,
14 in -- somebody programming the exact frequency
15 setting.

16 And in the space of that meeting what they
17 determined was that if these settings got individually
18 keyed in, it was going to be very error prone and that
19 inverter technicians individually keying in settings
20 did not somehow sound like a great plan. And when
21 they got the right inverter manufacturer on the phone
22 and they got to talking, what they realized is they
23 said hey, wait a minute, if -- and this was kind of a
24 comment back to the ISO, said if you guys, if there's

1 any way you guys can put off your requirement date by
2 just a little bit, we can encourage the appropriate
3 inverter manufacturers to put a settings profile in
4 their inverter. And what that means is is essentially
5 then you just tell an inverter technician who, of any
6 kind of inverter size we're talking about here,
7 central station, residential, you tell the technician,
8 he goes in there with his laptop and he selects the
9 New York ISO profile and that's a simple pull down.
10 And it highly removed kind of the error-prone nature
11 of what was being talked about which was specifically
12 keying in settings.

13 What was fascinating to me in watching this
14 kind of 45 to 60-minute discussion was that as a group
15 they arrived at a whole new solution that it seemed
16 like nobody would've really gotten to without that
17 kind of discussion. So I hope that's valuable to you.
18 I look forward to those kind of things occurring in
19 the TSRG here. And we may just not be there yet just
20 because of where we're at but I look forward to those.

21 So just to kind of summarize, I think
22 success from the Utility and then the DER side, I
23 think a Utility commitment, I think this idea of a
24 comprehensive DER requirements manual should really be

1 looked at. It'll be really valuable. I think when
2 available, the DER industry is really interested in
3 getting the clear requirements from the Utility on the
4 required inverter and relay settings for abnormal
5 conditions requirements, the ride-through settings.

6 This will involve cooperation of DER
7 developers and operators. Philip referenced this.
8 And I think there will be a discussion in the TSRG on,
9 you know, what's feasible and how and when. How do we
10 carry it out? So we look forward to that.

11 I think transparency around this concept of
12 planning and operating standards, you know, the
13 Standard is an EV plug standard in a sense. Will
14 there be any changes to planning and operating
15 standards to enable the use of the new plug standard?
16 And this could very well -- there's a whole proceeding
17 around ISOP, Integrated Systems Operations and
18 Planning; this could very well have a connection to
19 this, but I think that's a separate discussion.

20 And further developing out any, you know,
21 TSRG structure, I think CCEBA is wide open on what
22 that structure can be just to meet what needs done,
23 the agreed-upon needs and goals.

24 Finally, the DER industry needs to commit to

1 engagement in, you know, in practical discussions.
2 And I think the commitment is there. I think it's
3 just going to have to continue to increase. And one
4 of the things that I know the industry, and I know
5 from speaking with Strata, the industry is looking at
6 is is really ramping up its critical grid control
7 equipment, which is mostly inverters and a few other
8 devices; just really ramping up its ability to track
9 those assets, manage those settings. This is
10 something the Utilities have done for years with
11 relays, manage settings at every substation on the
12 system. Well, you know, now this is where DER owners
13 and operators are at and so this is a big piece that
14 we are ramping up with right now. And again, another
15 commitment to developing out the TSRG structure.

16 So I hope that's helpful. I think that all
17 that's left on my slides are the information about
18 adoption across the country which I'll just leave if
19 anybody wants to look at.

20 Commissioner Mitchell, I hope that was -- I
21 hope that's helpful.

22 CHAIR MITCHELL: It was. And Mr. Gajda, it
23 looks like we may have just -- I lost video connection
24 with you. I hope you can still -- oh, there you are.

1 I do have a couple of questions for you. First, I'm
2 looking at your slide number nine and you make the
3 point further develop TSRG structure to meet
4 agreed-upon needs and goals; so --

5 MR. GAJDA: Yes.

6 CHAIR MITCHELL: -- help me understand, sort
7 of start at the beginning here. The TSRG is a group
8 that convenes on a regular basis and discusses
9 technical issues, a subset of which have been
10 implementation of 1547 sub -- I mean, 1547-2018?

11 MR. GAJDA: That's correct.

12 CHAIR MITCHELL: How much of the TSRG's time
13 has been allocated to this topic?

14 MR. GAJDA: The meetings especially, and
15 Anthony will correct me if I'm wrong, but the --
16 they've been roughly half-day meetings during COVID
17 for about the last year, and there's been generally
18 around three topics. So I would say it was -- it's
19 been an hour to an hour and a half of the four-plus
20 hour TSRG meeting has been usually Duke's 1547 update
21 in those meetings.

22 CHAIR MITCHELL: In your opinion how much
23 time should have been devoted or should be devoted
24 going forward to this topic?

1 MR. GAJDA: I think it's up for discussion
2 going forward. I really don't have an overt criticism
3 at all really for Duke on recent past. I think it
4 more gets down to as they develop out, say for
5 example, of a comprehensive manual and these sorts of
6 things, and as it becomes more real for developers, I
7 just think we need to be open to the flexibility of
8 having some more time. I could very well see it
9 requiring some more time. And I certainly haven't
10 seen anything from Duke saying that they're interested
11 in limiting the time, so, you know -- so I think as
12 that becomes needed, we'll want to bring that up and
13 discuss that and look forward to, you know, using more
14 time as it's needed.

15 CHAIR MITCHELL: And that all makes sense,
16 but you're not saying Duke hasn't spent sufficient
17 time on the topic now but that going forward you
18 anticipate additional time will need to be devoted to
19 the topic?

20 MR. GAJDA: I think that's accurate,
21 Commissioner; yes.

22 CHAIR MITCHELL: Okay. Your slide seven
23 makes the point that we're underestimating the volume
24 and complexity to come. And I understand the larger

1 point you're making is that the Utility should
2 consider this comprehensive DER requirements manual.
3 And you pointed to Massachusetts as an example of a
4 jurisdiction where a similar type of undertaking is
5 ongoing, but --

6 MR. GAJDA: Right.

7 CHAIR MITCHELL: -- what do you mean by
8 underestimating the volume and complexity to come?
9 Help me just sort of speak in very real terms of what
10 do you mean by that?

11 MR. GAJDA: Sure.

12 CHAIR MITCHELL: Realistic or practical
13 terms is what I meant to say.

14 MR. GAJDA: Sure. So, for example, and
15 again, I don't know that Massachusetts has everything
16 figured out, but they have developed a comprehensive
17 manual. And in developing that manual, that will not
18 only involve Duke's spending time on their own which
19 doesn't have to happen in the meeting, but I believe
20 my gut tells me that then bringing that manual forward
21 and drafts of that manual, that will now become a lot
22 more real to the development community in terms of how
23 it impacts their designs. And my gut tells me that's
24 when the discussions are really going to blossom out

1 further. And so referencing my comment a minute ago,
2 I believe that's where the time needed will likely
3 increase and, of course, we can wait to see that
4 happen, but I believe that's where it's going to
5 increase.

6 And I think the -- it's volume and
7 complexity. It's volume in that there will be many
8 things to be discussed that haven't just quite come to
9 the forefront yet and there will be complexity
10 involved as well.

11 So it's, you know, it's a bit of just a
12 prospective statement arguably without, you know,
13 without me being able to deliver a lot, you know, to
14 back that up outside of saying I look at the fact that
15 the substantive amount of 1547 was roughly -- I've
16 seen a statistic that said it's, you know, 10 times
17 the size of the prior 1547 Standard. If you include
18 all the header information, I think it's a 138-page
19 document versus a 30-something page document. So
20 that's certainly an increase in complexity and I just
21 see it being some very in-depth discussions that we
22 just haven't had an opportunity to have yet just
23 because we haven't gotten to that point yet.

24 CHAIR MITCHELL: Okay. And that makes

1 sense. I mean, you anticipate the Standard increasing
2 in complexity as we move forward and learn more about
3 the operation of DERs on the system and reliabilities
4 or implications. I get that. I just I wonder are you
5 talking also about increasing numbers of DERs on the
6 system? Are you talking about sort of the increased
7 complexity with respect to what's there now and what
8 we're going to learn going forward about, you know,
9 how settings that should be made and ways that, you
10 know, those type -- DERs should be operated or
11 otherwise controlled by the owner?

12 MR. GAJDA: Yes. I think more so the
13 latter. So I think it's not so much the number of
14 DERs, because --

15 CHAIR MITCHELL: Yeah.

16 MR. GAJDA: -- ideally if this sort of thing
17 happens right it will apply to five, it will apply to
18 500. I think it's more so, for example, voltage
19 regulation, which is a well-understood thing on the
20 distribution system today, the complexity of voltage
21 regulation depending on how the Utility chooses to
22 fully really implement 1547 that's -- I can see a lot
23 of complexity showing up in that and a lot of
24 discussion happening around that. So yeah, and just

1 really formulating what's written as a standard but
2 then Duke or anybody taking that and then fully
3 implementing it.

4 CHAIR MITCHELL: Last question for you, Mr.
5 Gajda, then I'll pause and see if my -- any other of
6 my colleagues have questions for you. Reliability, I
7 mean, do you -- is it your opinion or do you think
8 that we've got to sort of move towards this
9 development of a comprehensive DER manual or devote
10 more time and resource to this particular topic in the
11 interest of reliability? Does reliable operation of
12 the system dictate that we take action that is
13 different than what -- the way things are proceeding
14 now?

15 MR. GAJDA: I believe that what the
16 requirements of a comprehensive manual, it has a
17 relation to reliability, but what I think it primarily
18 does is it really just helps the -- just
19 comprehensively helps the interconnection process not
20 just for developers but also for utilities. It's
21 really just -- it's just a more -- it's a clear recipe
22 book.

23 From a reliability perspective, I think
24 that's really more so for the Utility to assess

1 internally. That is, you know, Duke has a handle on
2 how many sites are out there. I think Anthony or
3 Philip talked about, and the TSRG has talked about,
4 they're moving ahead with doing simulations and
5 various things. So yeah, I don't think I'll try to go
6 too far out on a limb on that one, because I think
7 that's really for them to assess and -- and the
8 requirements manual only has a little connection to
9 that in that if we want inverters to be set with
10 particular settings based on what comes out of say
11 Duke's studies and Duke's requirements, if you want
12 that to be done properly, the better kind of more
13 disciplined process we have that just helps the -- on
14 the DER side we'll have a much better shot of
15 implementing that --

16 CHAIR MITCHELL: Okay.

17 MR. GAJDA: -- because essentially if Duke
18 has the requirements, we have to implement it.

19 CHAIR MITCHELL: All right. I follow you
20 now, so you've cleared it up.

21 MR. GAJDA: Good.

22 CHAIR MITCHELL: I appreciate that
23 additional explanation.

24 All right. I'll pause to see if anybody

1 else has questions for Mr. Gajda before we move onto
2 NCEMC.

3 (Pause).

4 All right. Mr. Gajda, you are off the hook
5 this afternoon. We appreciate your being here with us
6 and your remarks.

7 MR. GAJDA: Yes, ma'am. Thank you very
8 much.

9 CHAIR MITCHELL: All right. We will now
10 hear from NCEMC. Mr. Dodge, I think you are with us
11 and I believe Tony Eason and John Lemire.

12 MR. DODGE: Yes. Good afternoon, Chair
13 Mitchell. This is Tim Dodge with North Carolina
14 Electric Membership Corporation. How are you today?

15 CHAIR MITCHELL: Good. How are you?

16 MR. DODGE: Good. Good. Yes, like you
17 indicated earlier, I'm an attorney by trade and not an
18 engineer, and so rather than try to belabor these
19 points or explain them in detail, we've asked John
20 Lemire from North Carolina Electric Membership
21 Corporation and Tony Eason from PDEMC to provide some
22 responsive comments. Our comments and presentation
23 have also been filed with the Commission already as
24 well.

1 And with that, I'll turn it over to John
2 Lemire to get things started.

3 MR. LEMIRE: Good afternoon. My name is
4 John Lemire. I'm the Director of Grid Management for
5 North Carolina's Electric Cooperatives. I've been
6 with the Electric Cooperatives for eight years and
7 have 16 years of utility experience in system
8 operations and planning.

9 During my time with North Carolina's
10 Electric Cooperatives, one of my roles has been
11 coordinating with our member cooperatives on DER
12 integration, interconnections, and their integration
13 monitoring and coordination into our Distributed
14 Energy Resource Management System also known as DERMS.

15 I'm joined by Tony Eason from PD Electric
16 which is one of our 26 distribution cooperatives in
17 the State. After my comments, Tony will provide a
18 perspective from a rural electric utility on
19 implementing DER interconnections in this technical
20 standard. We have a few slides to support our
21 comments, and as Tim said, they were filed with our
22 comments to the Commission today.

23 Okay. Since joining the Cooperatives in
24 2012, I've seen the DER landscape transform across the

1 State. The level of activity and total number of
2 megawatts connected has responded to legislation, tax
3 incentives, equipment cost, and power purchase rates.
4 Today, you can see that the Cooperatives have over 360
5 MW of connected DER across 2,300 interconnections,
6 majority of those sites being small-scale solar.

7 The Electric Cooperatives serve from Murphy
8 to Manteo and as such the DER deployment has not and
9 will not be uniform across our membership. NCEMC and
10 its member cooperatives are aware of the evolution of
11 technical standards related to DER connection and the
12 operations on the electric grid. NCEMC has closely
13 followed this Commission's interconnection docket and
14 FERC's Order 828 and 845 on both the small and large
15 generator procedures.

16 These requirements and standards have been
17 topics of presentations and discussions at state and
18 national cooperative organized technical conferences
19 that are regularly attended by engineering and
20 operation staff.

21 The Electric Cooperatives acknowledge that
22 each utility, including the distribution cooperatives
23 who are independently governed by their boards of
24 directors, continue to be solely accountable and

1 responsible for maintaining adequate customer
2 reliability and power quality on its system.
3 Distribution cooperatives have authority which is
4 reinforced by FERC and NERC over the safety and
5 reliability of their systems. And we do recognize
6 that DER when not integrated properly within the
7 distribution system will negatively impact both with
8 the potential to cascade upstream to the transmission
9 system as well.

10 Just as DER deployment on Cooperative
11 systems will not take place at a uniform pace, the
12 adoption of the IEEE Standards will not be uniform for
13 our members, and we expect the adoption to reflect the
14 existence and materiality of DER on any system.

15 NCEMC does continue to engage with our
16 Member Cooperative Boards to consider the accelerated
17 adoption of the IEEE 1547-2018 Standard to require DER
18 to enable remote data acquisition and some limited
19 level of control of the DER output. With increased
20 DER deployment on their systems, these smart
21 capabilities can support Cooperatives in managing
22 their obligation to serve and provide reliable service
23 to their members.

24 As we discussed at the March Technical

1 Conference, NCEMC and its member cooperatives are
2 embarking on an initiative to create a distribution
3 operator focused on reliability coordination. The
4 distribution operator must be able to see the resource
5 and understand its impact on the grid, and then
6 coordinate that impact among the other operational
7 components at work in concert to keep the lights on.

8 The integration provides visibility and
9 coordination to our transmission providers such as
10 Duke, Dominion, and PJM while maintaining autonomy of
11 the distribution cooperatives. This visibility
12 provided by the distribution operator erases the blind
13 spot below the delivery point and the ability to
14 coordinate DER to manage the growing complexity of the
15 grid's request.

16 I'd like to ask Tony Eason to discuss the
17 DER and the IEEE Standard from the rural cooperative
18 perspective. Just to share with the Commission, Tony
19 has both provided technical expertise to NCEMC's
20 templates and the evaluation of the IEEE Standard
21 itself.

22 Tony?

23 MR. EASON: Thank you, John. Hello
24 everyone. I am Tony Eason. I'm a licensed PE in

1 North and South Carolina currently employed by PD and
2 hope to retire here.

3 I have a diverse background in power
4 generation, transmission and distribution over my
5 25-year career. The second half of my career focused
6 on DER integration at the transmission and
7 distribution level mainly from a protection engineer
8 standpoint, but, you know, I had a lot of discussions
9 with planning and operations along the way.

10 I was also part of a response that was
11 coordinated through Edison Electric Institute back in,
12 oh my, maybe 2014 timeframe. Several utilities came
13 together and went up to Washington, sat down with FERC
14 and was trying to slow them down just a little bit on
15 Order 828 which was FERC's first attempt to reach down
16 into the distribution to sort of invoke some of this
17 ride through.

18 And one of your questions earlier was around
19 can you apply 2018 to older inverters or older DER
20 equipment. And I was in some discussion with some
21 inverter manufacturers and one of them told me if you
22 take it out of unity power factor, basically you break
23 the anti-islanding functionality that was within it so
24 there was no real well-defined function description

1 within the 2003 version of IEEE.

2 In 2018, that's what we were hoping to do
3 was slow down 828 to allow 2018 to catch up with it.
4 So that was some discussions we had with that group
5 similar, you know, to how we're trying to invoke 2018
6 now, which I think is very timely.

7 Like I say, I plan to finish out my career
8 here. PD Electric, we have 21,000 meters spinning on
9 about 3,500 miles of line. We have 32 DER sites,
10 mostly solar, mostly rooftop residential. Oftentimes,
11 I say it's better to describe us in the miles per
12 customer rather than customers per mile. You know,
13 while it's a little bit humorous to say that it does
14 carry a deeper message. Utilities vary even within
15 the State of North Carolina quite a bit.

16 You know, if we were to invoke a single
17 profile, I like that concept that John put forward and
18 I think this could work. I just think maybe we need a
19 couple of profiles because not all utilities are the
20 same. The density is not the same. The conductors,
21 the layout of the system. So it's a complex DER
22 equation that we have to sort of find solutions to on
23 the fly.

24 As smaller Cooperatives we may not see the

1 volume that Duke sees either, so we don't have the --
2 typically have the level of knowledge and experience
3 with these sites that others do. That's where the
4 resources of NCEMC and the NRECA, which is the
5 national level of the Cooperatives, comes into play.
6 John is certainly correct that NCEMC has taken a
7 proactive role in communicating changes, generating
8 documents, establishing training sessions. We have a
9 system engineer meeting every December. This topic
10 has come around twice. Once was Robert Harris with
11 NRECA came down; he was very active in the 2018-1547
12 development. I was also in that main working group.
13 I spent several years developing the larger document
14 and was on several subcommittees in developing that.

15 But the collaboration doesn't stop at the
16 NRECA level and the NCEMC level. I know a lot of
17 peers in the industry. I know several names on this
18 meeting as well. You know, we see each other at
19 various informal meetings and training sessions across
20 the United States. If you've been in this industry
21 five-plus years, you kind of know the players and have
22 to some degree discussed DER.

23 And we carry that to other Cooperatives
24 within our North Carolina footprint. So anything I

1 learn, we share with other Cooperatives, and NCEMC
2 takes the best practices of each Cooperative and
3 spreads that around. So it's a very well-oiled
4 machine the way it operates.

5 The key message I have is that we're going
6 to start seeing the DER, I think it's already been
7 covered, but we're going to start seeing DER with the
8 2018 Standard regardless of how we adopt it. So, you
9 know, we as utilities either have to ride the train or
10 get run over by it.

11 And like John Gajda said earlier, you know,
12 it pretty much, the 1547 outlines the DER equipment
13 and it does offer some guidance. Some sections are
14 simply informative in nature to help guide the Utility
15 on what direction we must go. And I love the analogy
16 that -- I'm going to say John Gajda because John
17 Lemire is sitting here also. So John Gajda provided
18 the analogy of EV chargers and I like that. We at PD
19 may have to slow down the ramp rates in which these EV
20 chargers charge or we may have to define periods of
21 time that are different from the periods of time that
22 Duke would define, and then maybe the ramp rates would
23 vary with Duke, and I know Dominion is on the call.
24 So if your density is higher and your conductor is

1 bigger, then you know obviously you can charge things
2 a lot faster. Then that same mentality falls over
3 into the DER connections as well. You know, it just
4 varies depending on what your system is.

5 But the 1547, one of the reasons why PD
6 would like to adopt it is it clearly defines several
7 things; trip versus cease to energize, which those are
8 different things. It clearly defines when the DER
9 must meet these parameters at the PCC which is the
10 Utility side, or at the point of connection which is
11 right at the DER terminals. That was always a
12 question in the past. But there's a clear, a very
13 clear delineation of size and output that gives us
14 guidance and basically cleared up a lot of nonstandard
15 discussions I would say. And coupled with
16 interoperability capabilities, it does make it
17 attractive to adopt 2018. Now, I'm not very familiar
18 with the 2020 amendment to Annex B, which is, again,
19 an informative section, but I think I got a good grasp
20 on what it's got involved with it.

21 My question as we develop these -- or
22 incorporate these standards, do we adopt it? The same
23 question you had; do we adopt it going forward? Do we
24 try to go backwards? As a small Cooperative, you

1 know, Grandpa Jones is my example. So I have Grandpa
2 Jones with a residential inverter, he comes around for
3 a 10-year renewal. Do I go tell Grandpa Jones look,
4 you either got to bump this up to 2018 or get off the
5 system? You know, I don't think that's very
6 attractive for our membership and, you know, maybe
7 even grandfathering some of these old ones in is
8 attractive to retain them on our grid as we try to
9 build upon the existing DER we have.

10 So, you know, it's a lot more questions out
11 there that we as utilities are going to have to
12 answer. And I love the comradery and things that I
13 have seen so far, and it really helps us small
14 Cooperatives by listening in on the more experienced
15 Duke folks and to have the feedback from folks like
16 Mr. Gajda. It certainly helps us small folks out.

17 So I would like to say thank you for your
18 time and refer it back to John Lemire, I guess.

19 MR. LEMIRE: Sure. Thanks, Tony. That does
20 conclude our comments and we're happy to answer any
21 questions that the Commission may have.

22 CHAIR MITCHELL: Okay. I appreciate your
23 comments today, Mr. Eason, Mr. Lemire. I don't have
24 questions for you, but I'll see if any of my

1 colleagues have questions for you. I'm not seeing any
2 hands raised at this point in time, so you all may be
3 off the hook for the afternoon.

4 (Pause).

5 All right. No questions for you all, so
6 thank you very much for your time and your remarks
7 this afternoon. I look forward to continuing the
8 discussion with you all in the future.

9 At this point there are no more
10 presentations scheduled for the afternoon. Though
11 representatives from Electricities, DENC, and the
12 Public Staff are available for questions should there
13 be any from the Commissioners. I will pause here to
14 see if there are any questions from Commissioners for
15 any of the other participants.

16 (Pause).

17 I'm not seeing any. I do have a question
18 for the Public Staff. Mr. Josey, correct me if I'm
19 wrong, it's my understanding that you have Mr. Metz
20 and Mr. Williamson here.

21 MR. JOSEY: Yes. They are available for
22 questions.

23 CHAIR MITCHELL: All right. Mr. Metz, if
24 you would, would you please go on camera?

1 MR. METZ: Yes, ma'am.

2 CHAIR MITCHELL: All right. There you are.
3 Question for you, and Mr. Williamson, you can chime in
4 on this one too if you have an opinion.

5 You all heard Mr. Gajda's remarks about a
6 comprehensive manual. I assume you heard Mr. Eason
7 say that while that's sort of a good idea in concept,
8 conditions on the systems will vary location to
9 location, some being from denser, you know, denser
10 areas and then sort of more rural areas like where his
11 Cooperative is located on the system, and so a
12 comprehensive manual should address various scenarios
13 if we move in that direction. Does the Public Staff
14 have any thoughts on whether it makes sense to develop
15 a comprehensive DER manual in light of all the remarks
16 today?

17 And let me ask it a different way, Mr. Metz.
18 Well, would that be time well spent by all of these
19 parties given everything else that you all are working
20 on sort of, and matters of priority?

21 MR. METZ: I'm just thinking carefully about
22 trying to answer this. I mean, just trying to take a
23 step back and say okay, what is 1547? Looking over
24 some of my notes it's a standard established for a

1 function specified and may need to be supplemented
2 going forward. So even in that, there would be a
3 dynamic element always -- it would always have to be
4 taken into consideration if we were to go with ongoing
5 Standard or a more deep dive at what -- we could spend
6 our energy now and potentially work on this
7 collaborative effort, but once it's completed this
8 can't be shelved. It will be dynamic. It will have
9 to be updated. We would have to work through and say
10 okay, what will constitute an update when we would
11 have to revisit it? What cycle would it have to be
12 revisited?

13 Another aspect that I have some concerns
14 about is 1547 isn't retroactive. So we could work
15 towards this goal of a comprehensive design, but how
16 would we apply it based upon the penetration levels
17 already exhibiting on the system? That creates
18 another complexity, another dynamic of the system; how
19 this manual would be alive.

20 So maybe to answer your question more
21 blunt, I think it would be of value for stakeholders
22 to get together and understand where we might want to
23 go. I would also just take heed of we can't lock
24 ourselves in.

1 CHAIR MITCHELL: Okay. One last question
2 for you, Mr. Metz. I -- at least I think I have
3 fleshed out or have a better understanding of the
4 Utility, of the comprehensive manual of which or about
5 which Mr. Gajda spoke, and concerns relating to
6 reliability, inverter settings related to reliability.
7 Is there anything else we need to be doing to ensure
8 the reliable operation of the system in light of
9 current penetration and expected penetration?

10 MR. METZ: Yes. So on the -- I want to
11 maybe take a step back and say are we mixing
12 repeatability versus reliability? When we sort of
13 look at Interconnection Standards, we look at can the
14 Utility design the system and always have expected
15 results. That's what I mean by repeatability. So if
16 the Utility who's responsible for the distribution
17 system is relying on DER generation to provide these
18 services, what happens when those DER services are no
19 longer available? The unit can go offline. System
20 load can change five years, 10 years, 15 years down
21 the road. Utility needing to rely on DER. Are we
22 also creating more burden for the Utility to provide a
23 backstop to the service?

24 For example, if we're relying on reactive

1 power to slow for a voltage condition and we lose that
2 DER for whatever reason, what will the Utility do?
3 What will the people who rely on service from that
4 feeder do? Will this result in the Utility now
5 needing to build an additional backstop? Or would we
6 have to curtail load off that particular feeder? And
7 then try to deploy that in scale, because I think Tony
8 made a good point of saying well, circuits are
9 different as we look across the entire state. I mean,
10 circuits are different as we just look at Duke.
11 Trying to create a one-size-fits-all would possibly be
12 very problematic.

13 CHAIR MITCHELL: All right. Thank you,
14 Mr. Metz.

15 All right. I want to give -- Mr.
16 Breitschwerdt, I want to give your presenters an
17 opportunity to respond to the questions I've asked of
18 Public Staff and CCEBA and -- well, I didn't have any
19 for NCEMC, but just if they have any sort of final
20 thoughts or remarks, again, in response to the
21 questions asked today of the others.

22 Let's see if Mr. Williams, Mr. Baker --

23 MR. BAKER: This is Mr. Baker. I don't have
24 anything further. Thank you.

1 CHAIR MITCHELL: Okay.

2 MR. WILLIAMS: This is Anthony. No, I think
3 I'm good right now. Thanks.

4 CHAIR MITCHELL: Okay. All right. Thanks,
5 Mr. Williams.

6 MS. KELLS: Chair Mitchell, this is Andrea
7 Kells. Can you hear me?

8 CHAIR MITCHELL: I can. Good afternoon,
9 Ms. Kells. I can't -- oh, there you are.

10 MS. KELLS: Okay. Hi. I'm here with
11 McGuireWoods on behalf of Dominion. May the
12 representatives from Dominion offer a brief comment on
13 what they've heard here today? I can introduce them.

14 CHAIR MITCHELL: Yes, please do. I would
15 appreciate that.

16 MS. KELLS: Thank you. Okay. We have Mike
17 Nester, who is Manager with Electric Distribution DG
18 Integration and Mamadou Diong who is a Consulting
19 Engineer with DER Integration and Strategy for
20 Dominion. Y'all go ahead.

21 CHAIR MITCHELL: All right. Gentleman,
22 y'all may proceed.

23 MR. NESTER: Good afternoon, Chair Mitchell.

24 CHAIR MITCHELL: Good afternoon, Mr. Nester.

1 Good to see you.

2 MR. NESTER: I appreciate the Commission's
3 time this afternoon to participate in the session
4 about IEEE 1547-2018. And Mamadou Diong and I have
5 just a few comments as it pertains to Dominion Energy
6 North Carolina and the implementation or the
7 development of the Standard. And I will let Mamadou
8 speak to the actual, you know, technical parameters.
9 You know, Dominion is involved in the working groups
10 and Mamadou has a leadership role in the working group
11 that's developing the Standard and also, you know,
12 documenting the Standard just at a general level
13 process though.

14 You know, Dominion Energy North Carolina
15 supports the capabilities that are represented by the
16 Standard. You know, we do view it was a equipment
17 specification standard as opposed to a utility
18 implementation standard, and there is, you know, some
19 distinction between those descriptors. But in the
20 equipment capability standard, we support the ride
21 through and the VAR support capabilities, but we
22 believe that the inverter capabilities, you know, as
23 we view inverter capabilities today should be utilized
24 at the discretion of the Utility to ensure the safety,

1 reliability, and operability of the grid for all
2 customers.

3 Some of the participants in the session
4 today have also, you know, issued similar comments
5 that the distribution grid is a dynamic grid. It was
6 originally designed for radial flow and we are
7 designing it -- trying to design it to accept
8 bidirectional flow. But it is, you know, the vehicle
9 by which all customers, you know, certainly utilize
10 electricity, the provision of service, you know, for
11 the benefit of those customers.

12 And, you know, the Utility is the entity
13 that has the regulatory responsibility for ensuring
14 the safety, reliability, and operability of the grid.
15 And that is, you know, one regulatory responsibility
16 that we take very seriously. And just a challenge as
17 we consider the use of inverter capabilities is the
18 distributed energy resource doesn't necessarily share
19 that same regulatory responsibility.

20 But again, you know, we are very active in
21 the working groups with IEEE that are developing the
22 Standard. As was mentioned earlier, there's not a
23 UL-certified inverter on the market today that has
24 been tested to the Standard. You know, there are some

1 considerations once that does come to the market in
2 that the inverters are tested in a standalone fashion;
3 they're not tested as a system. And so there are some
4 questions on how, you know, even UL inverters that are
5 tested to these standards will operate with each other
6 at a particular solar farm installation or, you know,
7 interoperate with other inverters that are connected
8 to the same circuit or to the same distribution bus.

9 So there's definitely some challenges that
10 could be addressed by all stakeholders.

11 But I'd like to turn it over to Mamadou
12 Diong, he's a Consulting Engineer in our DER Planning
13 Group, for some additional comments from a technical
14 perspective. Mamadou?

15 MR. DIONG: Good afternoon. Can you hear
16 me? Good afternoon, Chair Mitchell and good afternoon
17 Commissioners. Thank you, again, for giving me the
18 opportunity to join the discussion. And I want to
19 echo what Mike Nester just mentioned.

20 Again, to give you a little background on
21 me, I've been involved with the 1547 working group
22 since 2012. And I'm also an Officer in 1547 and also
23 helping put together a guide for the 1547 Standard,
24 because we recognize that it is a very complex

1 standard, it has -- although it is just 138 pages
2 long, it has a lot of new additions which could be a
3 little bit challenge for the DER community to be able
4 to understand it and implement it as it is intended
5 to.

6 Now, with that established, I listened very
7 careful to a lot of the comment all of the presenters
8 made, and I was hoping that I can give a little bit of
9 clarity to the Commissioners and to Chair Mitchell.

10 The IEEE Standard is a DER Standard. It is
11 trying to provide some criteria and requirement for
12 how we can interconnect a DER. And when we say DER,
13 we mean by any electric power equipment or source that
14 is directly connected to the power system. And it can
15 be not only inverters -- again, I don't -- I just want
16 to make sure that we understand that it is a
17 technology agnostic standard. It includes all DER
18 equipment - generators, energy storage, and inverters.

19 Now, I think the confusion may come from the
20 fact that UL 1741, which is a standard, a test to the
21 1547 Standard, it's mainly focused on inverters and
22 converters. And the UL 1741 right now, it is being
23 revised to be a little bit more in line with the
24 1547-2018 Standard. There's a lot of work that's

1 going on and I think John Gajda, that I know very
2 well, and some other presenters have summarized that
3 very well, but it is still a work in progress. And as
4 we know today, just like Mike mentioned, there is no
5 inverter equipment that meets the requirement of UL
6 1741 -- sorry -- the 1547-2018 because, again, it is a
7 work in progress to be able to put together the
8 Standard -- the testing regiment and have lives ready
9 to test those equipment to that new standard.

10 And I hope that's helpful. Because again, I
11 heard a question about is it just inverter; no, it's
12 not just inverter. 1547 goes beyond inverters. But
13 UL 1741 yes, it's focused on inverters.

14 Now, another item that I wanted to comment
15 on is that the 1547 Standard has those requirements,
16 especially the 1547-2018. It addresses some of those
17 requirements. And the reason the 1547 Standard was
18 revised is that they recognized that we're getting
19 higher penetration of DER into the power system and it
20 may be different across different territory utilities.
21 In a sense, my colleague Tony Eason in their territory
22 they may not have the same penetration so that's the
23 recognition. But knowing that the penetration is
24 increasing, we need to make sure that the DER

1 equipment, when they come to the system, they play
2 well with the system and they don't cause harm to the
3 system. They're to help the system instead of hurting
4 it.

5 And so that's why most of the requirement, I
6 will say mainly all of it, are geared toward what the
7 inverter should be capable of doing because it was
8 recognized that if they're able to do A or B, then
9 they will be able to help the grid or its electric
10 system when it needs it so that we don't lose a grid
11 which means losing the customer or putting the
12 customer in the dark.

13 But one thing that the Standard does not
14 address, again that's something that leaves to the
15 Utility to figure out, is how when you implement some
16 of those requirement that, let's say that all the
17 inverter manufacturer going to adopt those, and they
18 all meet those 1547-2018 requirement. How are you
19 able to deal with those, because everything you do in
20 the grid has -- may have some unintended consequences.

21 What I mean by that is that the grid is
22 designed, just like Mike mentioned, that to be able to
23 serve the system and the loads and to serve the need,
24 but then when you inject reactive power, then that has

1 a tendency to raise the voltage. When you inject push
2 current, it raises the voltage. So some way you have
3 to be able to ensure that the voltage and the current
4 are not -- or the frequency are not outside of what
5 the Commission has said we should maintain that within
6 that filing.

7 So there's a lot of items that are not being
8 addressed in the Standard that the Utility -- just
9 like Duke also mentioned in its presentation, Duke is
10 putting together plans to be able to address those and
11 continue operating system safely and reliable. And I
12 hope this is the case also for Dominion. We are,
13 again, actively engaged with 1547 and we know a lot of
14 the things in there are meant to help the grid and
15 we're all for the DER equipment to be able to offer
16 all those capabilities. We all welcome those.

17 And if I can, one other topic that I wanted
18 to mention, I want to return back to the 1547 guide.
19 I am actually Secretary for that Standard guide. The
20 guide, once it's out, which we're hoping it will be
21 sometime end of 2021, early 2022, I believe will be a
22 welcome addition to a series of Standard in 1547 in
23 that it can help explain to whoever or any stakeholder
24 including the Commission again, how and what was the

1 rationale behind the 1547 Standard. And I'm bringing
2 that up because I'm thinking if we're able to give
3 time for that Standard to come out, to that Standard
4 guide to come out, it will help us remove some of the
5 burden of coming and going back and trying to
6 understand and debate what exactly the Standard was
7 trying to do.

8 So the goal for the Standard is to help
9 anyone understand how the Standard may affect the
10 Utility, may affect the equipment vendors, may affect
11 the developer, and what the developer may need to
12 worry about, or make you to understand on the Utility
13 perspective in a sense. Again, John Gajda mentioned
14 in his presentation that the utility engineers know
15 things that the DER engineer doesn't know. But I will
16 add onto that, also the developer may not know, the
17 other Stakeholder may not know. So it's important
18 that everyone understand the other's perspective and
19 see how one thing may affect the other one.

20 So it's just a lot more involved in
21 implementing 1547. It's just -- it's mainly the
22 equipment, but the Utilities do have to understand how
23 it can affect this electric system.

24 But that's what I wanted to comment on and

1 I'm hoping that it's helpful. Again, I've been taking
2 notes to make sure that some items that I wasn't -- or
3 were not totally or fully addressed. I flushed them a
4 little bit to help you along, because again, 1547 is
5 very technical. Some items maybe may have been
6 misunderstood or some things may not be well
7 explained. I hope this is helpful.

8 CHAIR MITCHELL: Thank you, Mr. Diong. Your
9 remarks are helpful. And I -- so I want to make sure
10 I'm hearing sort of the important points that you've
11 made. I mean, the guidance on the Standard isn't
12 going to be issued until the end of 2021, 2022, and
13 that will -- your opinion is that that -- once that
14 guidance comes out, it's really going to advance the
15 discussions that have been ongoing about the
16 implementation of the Standard. But until then, you
17 also -- I mean, you see value in the stakeholders
18 continuing to work together in discussing
19 implementation of the Standard?

20 MR. DIONG: Yes, I do.

21 CHAIR MITCHELL: Okay.

22 MR. DIONG: And I agree, Ms. Chair, and
23 that's exactly what I meant. That guide I think will
24 be a great compliment to the discussion. And I really

1 don't want us to redo all the five-years of discussion
2 that we've done to come up with what the 1547-2018 has
3 done. That's a lot of time. Five years is a long
4 time. So the guide hopefully can help with that
5 process.

6 CHAIR MITCHELL: All right. Thank you,
7 gentlemen. Any questions for the gentlemen from
8 Dominion from Commissioners? Commissioner McKissick?

9 COMMISSIONER MCKISSICK: I just want to get
10 some clarity as well on the last points that were
11 discussed. I gather that 1547 is going to go beyond
12 inverters in terms of looking at all DER equipment; is
13 that correct? I mean, because I thought it was
14 basically establishing more of that uniform standard
15 dealing with smart inverters and their functionality,
16 but you're saying it goes beyond that scope; is that
17 correct?

18 MR. DIONG: That's correct. This is Mamadou
19 again. This is correct. The 1547 Standard try to be
20 technology agnostic, so it covers beyond inverters.
21 It could be a battery storage. It could be just a
22 rotating machine. So that's why the 1547 Standard
23 created different categories recognizing that some
24 equipment may not be able to do all that the inverters

1 are capable of doing, but they still have some
2 requirement to meet if we want them to adopt some of
3 the 1547 requirement.

4 COMMISSIONER McKISSICK: Okay. And one
5 quick follow-up, because I read a lot about smart
6 inverters and their functionality and what they're
7 capable of doing, but then I also read information
8 about hybrid inverters. Are hybrid inverters kind of
9 a subsection, subcategory of smart inverters in terms
10 of being a type of it or how are they distinguishable?

11 MR. DIONG: To be honest, Mr. Commissioner,
12 I'm not quite sure what they mean by hybrid inverter.
13 One thing I can say that being technology agnostic
14 means that if it is connecting to the power system and
15 trying to push power into the power system, then it
16 has to meet the 1547 requirement. If it's deciding to
17 not connect in parallel with the power system, then yes,
18 they may be off -- they may not need to meet the
19 requirement for 1547. But as long as they're pushing
20 power to the power system, they are interconnecting
21 with the power system and paralleling for a certain
22 time; yes, 1547 will still apply.

23 But to your question, I don't understand. I
24 don't know exactly what it means, "hybrid".

1 COMMISSIONER McKISSICK: Well, when I was
2 reading about hybrid, they referred to it as being,
3 you know, like with battery backup, that type of
4 thing, or some type of capability such as that
5 whereas, you know -- so let's say your regular
6 inverter it detects some difference in voltage and it
7 automatically shuts off where your smart inverter is
8 automatically going to have functionality when it
9 begins to monitor things. It brings on a supplemental
10 support and it maintains it and monitors it until it
11 determines what the perhaps this force of that voltage
12 fluctuation might've been in terms of responding, so
13 there's a lack of what I would call interruption to
14 the grid. But it distinguished the two. That's what
15 I wasn't quite sure, but --

16 MR. DIONG: Okay. So no, I think I see now.
17 Yeah.

18 COMMISSIONER McKISSICK: Yeah.

19 MR. DIONG: So I think now I see what you
20 mean by hybrid. So it's almost like you having
21 something that's not typically parlaying with the
22 Utility, with now some of the devices that I recognize
23 by 1547 as needing to meet some of those requirements.

24 COMMISSIONER McKISSICK: Exactly.

1 MR. DIONG: Yes, in this case, yes, you are
2 correct. It will need to meet the Standard. And the
3 1547 Standard didn't exactly explain that case and
4 that's some of the -- one of the example of the items
5 that the guide is actually trying to address as well.
6 So with that guide that I mentioned, it's called 1547,
7 that too has a component where it talks about that.
8 And I think it has a term that I don't -- I don't
9 quite remember the term we used. It's a technical
10 term to define those hybrid systems.

11 But yes, you are correct it still meets
12 that. It needs to meet the requirement.

13 COMMISSIONER McKISSICK: Thank you, sir.

14 MR. DIONG: No problem.

15 CHAIR MITCHELL: All right. Thank you,
16 Commissioner McKissick.

17 Any additional questions from Commissioners?

18 (No response)

19 All right. It looks like there are no
20 additional questions from Commissioners, so at this
21 point we have come to the end of the afternoon. I
22 want to reiterate my thanks to all of you for your
23 remarks and presentations to us today and helping our
24 understanding of ongoing efforts to implement the

1 Standard.

2 And with that, we will be adjourned, and
3 let's go off the record.

4 (The proceedings were adjourned)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings in the above-captioned matter were
taken before me, that I did report in stenographic
shorthand the Proceedings set forth herein, and the
foregoing pages are a true and correct transcription
to the best of my ability.

Kim Mitchell

Kim Mitchell