

1 PLACE: Dobbs Building, Raleigh, North Carolina

2 DATE: Monday, January 21, 2020

3 DOCKET NO.: EMP-100, Sub 164

4 TIME IN SESSION: 1:00 p.m. to 3:12 p.m.

5

6 BEFORE: Chair Charlotte A. Mitchell, Presiding

7 Commissioner ToNola D. Brown-Bland

8 Commissioner Lyons Gray

9 Commissioner Daniel G. Clodfelter

10 Commissioner Kimberly W. Duffley

11 Commissioner Jeffrey A. Hughes

12 Commissioner Floyd McKissick, Jr.

13

14 IN THE MATTER OF:

15 Investigation of Energy Storage in North Carolina

16 Presentation by:

17 Dr. Jeffrey Taft, Chief Architect for Electric Grid

18 Transmission, Pacific Northwest National Laboratory

19 and

20 Dr. Andrew Mills, Research Scientist, Electric Markets

21 and Policy Group, Lawrence Berkeley National Laboratory

22

23 Volume 4

24

1 P R O C E E D I N G S

2 CHAIR MITCHELL: Good afternoon, and welcome.

3 I'm Charlotte Mitchell, the Chair of the Utilities  
4 Commission, and with me this afternoon are Commissioners  
5 ToNola D. Brown-Bland, Lyons Gray, Daniel G. Clodfelter,  
6 Kimberly Duffley, Jeffrey Hughes, and Floyd McKissick.

7 This is the fourth in a series of presentations  
8 pursuant to the Commission's September 4th, 2019 Order  
9 Initiating Investigation in Docket Number E-100, Sub 164,  
10 in which the Commission has initiated a series of  
11 educational presentations by invited experts on energy  
12 storage related topics.

13 We're happy to have with us today Dr. Jeffrey  
14 Taft and Dr. Andrew Mills. Dr. Taft is the Chief  
15 Architect for Electric Grid Transformation at PNNL in  
16 Washington state, and Dr. Mills is a Research Scientist  
17 in the Electricity Markets and Policy Group at Lawrence  
18 Berkeley in California.

19 Our speakers will be working from slide decks  
20 that will be displayed on the monitors here in the  
21 hearing room this afternoon. These slides have also been  
22 posted on the Commission's website in this docket which  
23 is E-100, Sub 164.

24 Our court reporter is creating a transcript

1 that will be filed in the docket and available on the  
2 Commission's website.

3 These sessions are structured for the benefit  
4 of the Commission's learning and understanding, and the  
5 speakers will be asked to share their expertise and  
6 answer the Commission's questions. People in the  
7 audience will not have the opportunity to ask questions,  
8 however, if you want to file information in this docket  
9 in response to what you hear or if you'd like to suggest  
10 other speakers who could appear before the Commission,  
11 please file these comments or suggestions in the docket  
12 for our future planning purposes.

13 Gentlemen, if it's okay, we'd like to ask you  
14 all questions as we go, if that's acceptable.

15 DR. MILLS: That would be great.

16 CHAIR MITCHELL: Okay. Thank you. We will do  
17 that. Again, we appreciate your preparing this material  
18 and spending your time with us today, and look forward to  
19 hearing from you.

20 So I will turn it over to you all. I assume  
21 you've arranged an order of presentation. Okay.

22 DR. TAFT: Well, those are my slides, so I  
23 guess I'll start.

24 CHAIR MITCHELL: Okay. You may start. Thank

1     you very much.

2                   DR. TAFT:   I'm Jeffrey Taft from PNNL, and I  
3     actually live and work in Pennsylvania.  The lab is in  
4     the state of Washington, but I live near Pittsburgh.  
5     Sometimes I call it Pacific Northeast National  
6     Laboratory.  And it's in the county -- it's in Washington  
7     County in Pennsylvania, so the lab is in the state of  
8     Washington.  Of course, DOE being our primary sponsor is  
9     in Washington, D.C., and I live in Washington County, so  
10    when my boss says where are you going to be, I used to  
11    say Washington, pick one, you know, whatever you want.

12                  So I'm going to talk about storage in a way  
13    that may be a little bit unfamiliar to the Commission  
14    today.  It's relatively new thinking that came out of  
15    work that we've been doing on grid architecture for the  
16    last several years under the sponsorship of the U.S.  
17    Department of Energy.  And to do that, I'm going to start  
18    off talking a little bit about that discipline of grid  
19    architecture so you can see how we get to some of the  
20    answers that we get to and why we think the way we do.

21                  Along the way, some of the ways that we use to  
22    reason about that may be useful to the Commission as  
23    well; not just the results that we get, but the way that  
24    we get there.  And I say that because we've worked with

1 more than a dozen state commissions on this type of work,  
2 and we know from filings and so on that at least 26 state  
3 commissions make use of our work in one way or another,  
4 so I think they find it useful. And so we're going to  
5 talk a little bit about that, then we'll talk  
6 specifically about this idea of storage as being  
7 something that you would treat as core infrastructure to  
8 the grid as opposed to ancillary services devices. So  
9 next slide, please.

10 One of the biggest problems that we have in  
11 dealing with the grid is managing the complexity of it.  
12 You know, I want you to appreciate that what you are  
13 working on has a level of complexity that's so large we  
14 actually have a special name for it in the grid  
15 architecture world and the system architecture world.  
16 It's called ultra large-scale complexity.

17 If you look at that -- that illustration there,  
18 I made a little bit of a graph. There's a course that's  
19 taught on system architecture at MIT, and in that course  
20 they talk about complexity of systems, and they give us  
21 an example of what they call medium complexity, a  
22 refrigerator. So I thought about that and I thought,  
23 well, if that's the case, we'll say a kitchen timer is  
24 low complexity, and refrigerator is medium complexity, a

1 space shuttle is pretty high complexity. Most people  
2 would agree with that. Then way off to the right so far  
3 it shouldn't even be on the page is our power grids.

4 That's the problem with some of this stuff, is  
5 that you have this amazing amount of complexity that  
6 we've inherited, it's legacy, and we're trying to make  
7 changes and understand the nature of the changes and the  
8 implications of it. The reason that we have all this  
9 complexity is because the grid is made up of a number of  
10 different things that are interconnected in complex ways.  
11 So next slide, please.

12 To deal with complexity, we use a discipline  
13 that's used in a number of different fields. It's used  
14 in electronics, it's used in aerospace, it's used in  
15 defense and a lot of places where they deal with  
16 complicated systems. It's called system architecture.

17 Now, architecture itself is a word you probably  
18 hear a lot, and to some extent it's overused, sometimes  
19 it's misused. But when we talk about it, we're talking  
20 about a depiction of a complex system, this kind of  
21 abstract. And it gives us the ability to reason about  
22 that system without going down into all the details.  
23 That's part of the way that we manage the complexity.

24 So an architecture really has three kinds of

1 things to it. It has what we call black box components,  
2 it has structure, and it has externally visible  
3 characteristics. Now, when I say black box components,  
4 that's kind of important for the way that we're going to  
5 talk about storage because we do not at this level  
6 concern ourself with the internal details of how those  
7 things work.

8           So when we talk about storage at the  
9 architectural level, it doesn't matter whether it's  
10 lithium ion or sodium sulfur or hauling a railway car  
11 full of boxes -- rocks up a hill. We don't care how it  
12 works. What we care about is what it looks like from the  
13 outside. How much energy does it store, how fast does it  
14 go in and out, that kind of thing. So that's what we  
15 mean by black boxes.

16           Structure is the way things are connected  
17 together. So if you'll think about a block diagram for a  
18 second, the boxes are the components, and we're not going  
19 to look inside the boxes. The lines that connect them  
20 are the structure, and we focus a lot on that for some  
21 very good reasons.

22           So what we did was we took the discipline of  
23 system architecture, and when I came to the lab six years  
24 ago we went to the Department of Energy and said, look,

1 we can use this for architecture of our power systems of  
2 our grid, so we call that discipline that applies system  
3 architecture to the grid, grid architecture. So when you  
4 hear me use that phrase, that's what that means.

5 So it's the application, and one of the things  
6 that's really useful about it is it helps us reason about  
7 the properties, behavior, implications of change to our  
8 grid without having to go down into details and without  
9 having to spend a lot of money to find out what's going  
10 to happen.

11 One of the problems that you have with complex  
12 systems is that when you make a change somewhere, it's  
13 kind of like dealing with a tapestry. If you tug on the  
14 thread someplace in the tapestry, it's going to bunch up  
15 somewhere else, but you might not know where that is  
16 until it happens. Well, with the grid we'd rather know  
17 about those things before they happen, so grid  
18 architecture is a discipline that helps you understand  
19 that stuff.

20 So it has a lot of different purposes, and some  
21 of them are listed there, but the one that I marked in  
22 red that's maybe the most important is it helps you  
23 manage complexity because complexity is the big hidden  
24 bear in the room for understanding all of this stuff, so



1 this discipline helps us think about that. It gives us a  
2 lot of other tools as well. Next slide, please.

3 In the grid architecture work we focus on  
4 structure a lot, and this is really important because the  
5 grid is composed of a number of different structures.  
6 The one that everybody would automatically think about is  
7 the electric infrastructure, the circuits, the  
8 substations and so on, but there are a lot of other  
9 structures we have to deal with as well. One of them is  
10 industry structure, and that means the collection of  
11 entities, the different kinds of businesses, the  
12 different kinds of organizations involved and how they  
13 relate to each other and, of course, that's different in  
14 different parts of the country. In an area where you  
15 have vertical integration, you have a different kind of  
16 industry structure than you might have at places where  
17 they are restructured and have things like system  
18 operators and so on. So all of those different  
19 structures, and you can see several different classes of  
20 them, they are in the gold boxes, comprise the grid and  
21 are interconnected with each other in complicated ways,  
22 and that's where all this complexity comes from.

23 So why do we focus on structure so much?  
24 You're going to see that when I talk about storage here

1 in a little bit. Well, in the box there you see two  
2 reasons. If you get the structure right, the downstream  
3 decisions become a lot simpler to make. Things become  
4 much clearer. If you don't get the structure right, you  
5 run into a very high risk of stranded assets, stranded  
6 investments, unrealized benefits, and we've seen this  
7 time and again. You can greatly simplify the problem by  
8 thinking about the structure first.

9 Now, we have inherited a massive amount of  
10 structure in our power systems from the 20th century.  
11 They were designed a particular way for reasons that were  
12 well and good at that time, but the problem, as you know  
13 probably as well as anybody, is that we are changing the  
14 rules. We are changing the way we want things to work.  
15 Some of those changes are, in fact, structural changes.  
16 Some of them are impeded by the legacy structure that  
17 we've had in the past.

18 When I talk about storage in a few minutes, I'm  
19 going to show you one of the biggest problems with  
20 structure in the grid today that storage can address but  
21 does not presently address. Next slide, please.

22 Some of the work we do is very complex, and we  
23 use mathematical methods and all that, and it's not my  
24 suggestion that we try to turn everybody into architects,

1 but you don't have to be an architect to use the results  
2 of this work. In fact, some of the biggest uptake we get  
3 in the use of grid architecture is among regulators.  
4 We've worked with regulators in a large number of states.  
5 We know that our work is used in even more states. And  
6 one of the things that we get frequently as feedback from  
7 that work is that we help make issues crystal clear.  
8 That comes about not because we're smarter than anybody  
9 else; it comes about because of the methods that we use,  
10 and we find those methods to be helpful. So next slide,  
11 please.

12 So just to be a little bit clearer about this,  
13 we start off with definitions because you will run into  
14 an amazing number of terms that people use and throw  
15 around without being entirely clear about them. Some of  
16 those terms have multiple definitions. Some of them are  
17 ambiguous. And we always start off with let's be clear  
18 about what we mean about these various terms. I'm going  
19 to show you in a little bit how bad that gets.

20 And as I mentioned, we focus on structure. We  
21 use some foundational principles to deal with all that.  
22 And we are driven by things like user requirements,  
23 emerging trends, and public policy. We don't try to  
24 determine public policy. In fact, we're not allowed to

1 from the lab, but we have to think about that.

2           There are things, though, that we are agnostic  
3 to, and this is something that I think can be very  
4 helpful for your work. We're specifically agnostic to  
5 products and services, so you will not see us saying,  
6 well, we should use so-and-so product as part of this  
7 architecture for the grid. We are agnostic to business  
8 models, so we don't spend time thinking about who makes  
9 what money and how they make it. And then we try to be  
10 agnostic to a hype cycle, so when something new comes  
11 along, there's lots of attention paid to it, you know.  
12 Blockchain, might have heard a little bit about that in  
13 the last few years. We try not to get caught up in that,  
14 and we try to see what things really are going to turn  
15 out to be.

16           And so we use these principles, and there is  
17 more that I haven't shown here, to develop what we call  
18 reference architectures. They're model architectures,  
19 and we've been doing that for DOE for some time now, and  
20 those model architectures are available to the public.  
21 They're on our grid architecture website, so you can have  
22 a look at them, your staff can have a look at them, but  
23 they are intended to be instructive. We don't view them  
24 as being prescriptive as in, well, you know, here we are

1 from the government, we're going to tell you how to build  
2 your grid. It's not like that. They are used to  
3 illustrate the concepts that people can adapt for their  
4 own purposes. So that's how we think about it, and we're  
5 really trying to help manage the complexity and produce  
6 the insight that enables anybody, any of those  
7 stakeholders, whether it's the regulators, whether it's  
8 the product developers, it's the operators, to develop  
9 the insight to make great decisions because they're the  
10 ones that are best positioned to do that, but we can help  
11 them sometimes. Next slide, please.

12 And in that regard there's this little thing  
13 that we refer to as a virtuous circle. In the upper  
14 left-hand corner you see objectives there. This -- the  
15 setting of objectives in the beginning is just incredibly  
16 crucial, and it's amazing to me how many times I've seen  
17 people try to jump into grid modernization without being  
18 clear about what it is they're trying to achieve.

19 So we did a bunch of work with the Ohio  
20 Commission a while back, and you may have seen their  
21 PowerForward work there. I worked with the Commission  
22 there. And we actually helped them set up a little  
23 process to go through to figure out what they wanted to  
24 have for their objectives and how that would flow through

1 to the eventual product that they develop which was their  
2 document.

3 So when you do this in an architectural sense,  
4 you start off with these objectives, and they come from  
5 things like what are the user's needs, what are the  
6 public policies saying, what are the emerging trends to  
7 be dealt with. An emerging trend might be penetration of  
8 solar into your power system.

9 Those objectives are going to imply that you  
10 need a certain set of capabilities, and you can compare  
11 that to the ones you actually have in your systems now  
12 and figure out whether there are any gaps. Once you have  
13 understood that, that says you have to have certain kinds  
14 of functions, and that implies architectural elements and  
15 the properties that come with them, those qualities that  
16 result from a system built that way should come back  
17 around and support those objectives. If you go around  
18 that circle and that loop doesn't close, something has  
19 not been done right and you need to revisit it.

20 So this is a sort of simple thing that you can  
21 do early on in the process when you're thinking about how  
22 you want to give guidance to the utilities, for example,  
23 how you want to think about your ratemaking. The  
24 utilities can use this when they want to think about

1     their modernization plans previous to actually doing  
2     their designs. This model works very well. And the real  
3     key is to get the objectives right in the beginning. We  
4     find so often that people sort of jump over that or  
5     presume that everybody agrees about the objectives when,  
6     in fact, maybe they haven't really thought that through.  
7     All right. Next slide.

8                 So what I want to do now with that is a  
9     preamble and understanding that we have a pretty large  
10    discipline and connected body of knowledge around all of  
11    that, is talk about some things that we have thought  
12    about for how to use storage not as a grid services  
13    device, but as embedded into the core infrastructure of  
14    the grid. So next slide, please.

15                So when we do this work, we think about  
16    emerging trends and the resulting systemic or  
17    crosscutting issues that come from all of that. So some  
18    of the things that you've been dealing with that are  
19    being dealt with in a lot of parts of the country is the  
20    fact that generation which used to be, you know, bulk  
21    power system connected and more or less centralized, is  
22    now being split into a combination of that plus  
23    distributed generation, which is connected at the  
24    distribution level and which provides a very different

1 set of challenges for how the system operates. As a  
2 result, some of those sources, especially the renewables,  
3 are very volatile, and that means we can't really predict  
4 or dispatch those, so they behave in a different way, and  
5 that creates problems in operating the grid in a balanced  
6 and sensible way.

7 We have in a lot of areas an increasing  
8 interdependence and integration with natural gas systems  
9 because a lot of generation is being powered by natural  
10 gas, and so we've seen situations where that  
11 interdependency can be a weakness, but we also see  
12 opportunities there related to storage, in particular, to  
13 make those things work better.

14 And then this whole business of ubiquitous  
15 communication is an interesting systemic issue, too, and  
16 what I mean by that, of course, is the digital  
17 communication and connection to the internet and the  
18 resultant flexibility and capabilities, but also the  
19 resultant vulnerabilities that come about from it as  
20 well.

21 So when we think about this set of issues, and  
22 there's a much larger set that we actually work with in  
23 our reference architecture work, and that's all on the  
24 architectural website, but we think about these issues,



1 we think about two characteristics in particular for the  
2 grid; resilience and operational flexibility. So we're  
3 going to talk about that a little bit because that will  
4 show you why we think about storage the way we do. So  
5 next slide, please.

6 This horrible list was actually compiled by a  
7 researcher at Caltech named John Doyle, and it's known as  
8 the "ilities list" because a lot of the words end in  
9 "ility," like flexibility and reliability and so on.  
10 Now, not all of them do, but there are just like 80 terms  
11 there, and there are even a few more that have come along  
12 since then. And what happens in a lot of cases, and we  
13 saw this even with DOE going back five years ago, people  
14 would show up and say, well, the grid needs to be  
15 flexible and adaptable and adjustable and reliable, and  
16 they would throw all that stuff out there and say this is  
17 what the grid has to be, as if that is -- represents the  
18 objective they're trying to achieve. But unfortunately,  
19 most of those terms don't have good definitions, they're  
20 not quantifiable, and turning them into something  
21 meaningful so that you can say this is what I actually  
22 have to do or this is how we have to think about it has  
23 proven to be very difficult.

24 So we deal with that a lot, and most of these,

1 by the way, as far as I know there isn't anybody who  
2 tries to deal with all of these at one time. Everybody  
3 picks their favorites out of this list, you know, and I  
4 could show you a lot of examples of that. Even DOE did  
5 this in the beginning. They picked their favorites out  
6 of the list and they made a nice big slide, and it was  
7 wonderful. They don't use that slide anymore because  
8 they figured out it wasn't really helping anybody.

9           Okay. So what do you -- how do you deal with  
10 all of that stuff when you know, you know, instinctively  
11 you know there's something you're trying to achieve about  
12 making electric power service better and then apply  
13 something about the grid and grid modernization, and that  
14 all implies something about the use of storage, and then  
15 you have these issues that arise that are very specific  
16 that you have to deal with, so you've got to sort all  
17 that stuff out.

18           Well, in this slide here, one of the things  
19 that we show people is you can deal with a lot of this by  
20 recognizing -- first of all, you can make pretty clear  
21 definitions of these terms, and we do that, and we post  
22 that on our website, and then the resource slides at the  
23 end of this deck there are some definitions for some of  
24 this. But the more important thing to realize here is

1     that these don't stand in isolation. These are related  
2     to each other, and there's a structure into which they  
3     fit, and that diagram gives you an illustration of that.

4                 Now, I mentioned that we were going to focus on  
5     flexibility and resilience in our discussion about  
6     storage here, but you can see when you do that, what  
7     happens automatically because of where flexibility is  
8     positioned, that you're going to also have an impact on  
9     reliability as a result. So there's a lot of confusion  
10    about resilience versus reliability. We've done a fair  
11    amount of work to help untangle all of that. And I  
12    wasn't going to go into that in great depth today, but if  
13    you ask questions about it, I will stop and talk about  
14    that. What I want to show you is that if you think about  
15    flexibility and resilience in terms of the structure of  
16    the grid, you come up with some different ways to think  
17    about storage and how to apply it. So next slide.

18                A quick definition, we classify storage into  
19    two types, what we call reflexive and transitive. The  
20    one that we're concerned about is the reflexive. That  
21    means electricity. Electric energy comes from the grid,  
22    goes into storage, resides there for a while, goes back  
23    into the grid in the form of electricity. Now, there are  
24    other forms of storage in which you may take that energy

1 and use it for something else. Maybe you use it for  
2 preheating a building, or there's a lot of different ways  
3 to use storage. They're all valuable, but we're not  
4 going to talk about those other ways. We're going to  
5 focus on the one in which electricity goes into storage  
6 and goes back in the grid in the form of electricity. We  
7 call that reflexive storage. Next slide, please.

8 And that really -- as a component or an  
9 element, there's kind of three pieces to it. There's the  
10 core technology that stores the energy, there's a  
11 controls and advanced controls mechanism, and there's  
12 some kind of fast and flexible interface. Now, because  
13 of the way most of these things work, that interface is  
14 usually in the form of power electronics, referred to as  
15 inverters, so that's why you'll come up with that  
16 discussion a lot.

17 So those three things together represent the  
18 kind of storage we're going to talk about, and we're  
19 going to talk about it in terms of its key  
20 characteristics. So remember back in the beginning of my  
21 discussion I said we treat these things as black boxes.  
22 So we're not going to talk about battery chemistry or  
23 electromechanical devices; we're going to talk about what  
24 do you see from the outside? So if you go to the next

1 slide.

2           There's only a handful of characteristics that  
3 you need at the architecture level to think about this,  
4 and they're listed there, and they are things like how  
5 much energy does it store, and how fast does it go in and  
6 out, how much do you lose on the round trip. Those are  
7 the kind of things that you would see from the outside.  
8 And it doesn't matter how the box works. Those things,  
9 if you focus on those, help you think about storage and  
10 what it's for and what it's going to do and how you want  
11 to use it without getting tangled up in all the details.  
12 And that kind of abstraction, if you will, is one of the  
13 keys to help dealing with all this complexity. So you  
14 don't have to get into all those gory little details that  
15 people just love to talk about so much. Next slide,  
16 please.

17           So there's been a lot of thought about how to  
18 use storage, and people have come up with a lot of  
19 different approaches to it, mostly in terms of grid  
20 services. So we've seen a lot of models that say, well,  
21 we can have all these different things that it can do.  
22 And I was going to bring you two pictures, but because of  
23 digital rights management, I didn't bring them.

24           One of the pictures is, if you've ever seen it,

1     there's a company called Wenger that makes what we call  
2     Swiss Army knives. Several years ago they made one just  
3     as almost a marketing gimmick and it has 47 blades in it.  
4     It's about this wide (indicating), and it has a hundred  
5     and some functions and all these -- all these things on  
6     it. You couldn't possibly use it, but it has everything  
7     they ever made all in one thing. And sometimes that's  
8     the way people talk about storage. It's got all these  
9     different functions, so we can do all these things with  
10    it and it must be really great because of that.

11           The other picture I was going to show you is  
12    something very much simpler. It's a shock absorber. And  
13    that's how we're going to talk about storage today, is as  
14    if it's a shock absorber.

15           The funny thing about the way we think about  
16    the grid is that we haven't really considered what is the  
17    core deficiency in the grid that we need storage for. So  
18    people have lots of different applications and lots of  
19    different ideas, but getting down to the real essence of  
20    why does it matter, what does it do for us in the grid  
21    that we don't already have the ability to do is what we  
22    try to get at with the grid architecture work.

23           Now, by the way, a lot of people want to supply  
24    a lot of different services with storage, and you've

1     probably seen all of that. We actually made a catalog of  
2     grid services. It's on our grid architecture website.  
3     If you ever get interested in that, we went through and  
4     found all the ones that we knew of, including all the  
5     ones that are defined by FERC and everybody else and all  
6     the ones that we knew of that were being proposed, and we  
7     categorized those in a way so that people could look at  
8     them and make some sense out of all of that. There are  
9     about 40 of them on there. And to do that we looked at  
10    some of the lists that came from places like some of the  
11    national labs in Southern California and so on and people  
12    were thinking about all this kind of stuff. Okay. Next  
13    slide.

14                So when you think about using storage for  
15    ancillary services, you're working at the margins.  
16    You're sort of working at the edge. A lot of that stuff  
17    is not the core of the grid. And that's one of the  
18    things that sort of puzzled us about storage, is why it  
19    wasn't being used in a more transformative or ubiquitous  
20    way, and part of that, I think, is historical.

21                If you look at what happened with storage in  
22    California, and I realize the structure there is quite  
23    different, but they decided they were going to fit  
24    storage into the same category as generators, and they

1     said, well, it's just like a generator except sometimes  
2     it has a negative output. And the reason they know --  
3     and I know this because I know people that were working  
4     on this. The reason they did that was because it was  
5     easy to fit into their software and their procedures.  
6     But that sort of made a very narrow view of what storage  
7     could be, and to some extent that view has proliferated  
8     to the point where people sort of take that as the model  
9     for storage. Well, it's like a generator except it could  
10    have negative output, so we think about it that way.  
11    That's sort of missing a lot of the point, unfortunately.

12                 And so while people have used storage to kind  
13    of improve reliability of the grid on the margins, they  
14    haven't really thought about capitalizing on its main  
15    capability, as I said, to think about it as being a shock  
16    absorber. Next slide, please.

17                 There's something about the grid that's unique  
18    compared to other kinds of complex systems, and I'll tell  
19    you that I've been doing -- I'm an electrical engineer by  
20    education and experience, but I've been doing  
21    architectural work for quite a long time, so looking at a  
22    lot of different kinds of systems in different fields,  
23    and one thing that struck me about the grid is in almost  
24    every other kind of complex system we have some form of



1     buffer. So in communication systems we have bitstreams  
2     in which the bits are coming in in irregular bursts, but  
3     we maybe want to play them back for display in a regular  
4     basis, and so we have a thing called a jitter buffer and  
5     it evens out that flow.

6             In logistic systems we have buffers. They're  
7     just called warehouses. They even out the flow between  
8     the incoming stuff and the outgoing stuff. In gas and  
9     water systems we have them; they're called tanks. Almost  
10    everywhere that you look at complex systems you'll see  
11    buffers except in the grid. The 20th century grid didn't  
12    have so much need for it, also didn't have good ways to  
13    do it, but that has changed. And so, you know, we -- the  
14    grid doesn't have this inherent springiness or sponginess  
15    that other complex systems have built into them, and that  
16    -- fundamentally what that does is it decouples these  
17    mismatched volatilities.

18            Well, in the past when generation was  
19    dispatchable and load was, frankly, fairly predictable,  
20    we didn't have too much of a problem with that. So along  
21    comes wind and solar and along comes distributed  
22    generation, and we kind of upset that whole model that  
23    said that we can have -- you know, we can dispatch  
24    generation to be load following and because the load

1 terms are pretty well behaved, that's all going to work  
2 real well, and we didn't need storage because we could do  
3 that balance, and that's what the balancing authorities  
4 do, right? They maintain that balance very finely and  
5 they have very clever mechanisms by which they do that.

6 Well, that's fine until you start to have  
7 stochastic sources of generation and you start to have  
8 all this unpredictable variability, and that's where  
9 things become difficult. So if we think about that, the  
10 missing sponginess, the missing shock absorbers interior  
11 to the grid are the thing that are really holding us up  
12 from being able to think about the grid both in terms of  
13 overall resilience and in terms of the flexibility to  
14 deal with these changes that are coming about almost  
15 organically; proliferation of wind and solar, for  
16 example. Next slide, please.

17 So when I think about storage as a shock  
18 absorber for the grid, and there are a variety of things  
19 that you would do when you do that; there's a long list  
20 here and I don't want to read them to you, but if you  
21 look at these, they all have one thing in common, the  
22 buffering of variable energy flows is the issue, and  
23 storage is actually the answer to dealing with that  
24 issue. So that's why I would have shown you a picture of

1 a shock absorber and said this is a model for storage,  
2 not the giant Swiss Army knife. So let's talk about how  
3 to do that. Next slide.

4 If we want to take storage and embed it in the  
5 grid as opposed to attaching it at the edges so that we  
6 have this interior springiness or sponginess to deal with  
7 all this variability and to provide us with operational  
8 flexibility, there are some things that we want to have  
9 for it. We want it to be what we call firm designable.  
10 We want to be able to say how much storage goes where.  
11 And if you don't have the ability to specifically assign  
12 that, then you can find yourself in a situation where you  
13 don't have it where you need it.

14 We would like it to be firm dispatchable. That  
15 means we'd like to be able to count on knowing exactly  
16 how much there's going to be and be able to make it do  
17 what we need to do without worrying about whether it's  
18 optionally there or not. It needs to be securable for  
19 the same reason as everything else in the grid now  
20 because of cyber security and physical security issues.  
21 And its service must be assured. We need to be able to  
22 count on it and not have it be there at the whim of a  
23 business model that says sometimes it's there and  
24 sometimes it's not.

1                   So we look at that and say a lot of that points  
2     to the utilities being able to control the embedded  
3     storage. Now, when I talk about embedded storage, that  
4     does not mean that I am saying you shouldn't look at  
5     storage that's attached at the edge for various purposes.  
6     There are very legitimate reasons to do those things.  
7     What I'm saying is there's an additional use of storage  
8     that's interior to the grid that gives us this sponginess  
9     and springiness that makes it able to deal with all these  
10    volatilities that are hitting the grid increasingly. So  
11    next slide.

12               MR. MCDOWELL: Jeff --

13               DR. TAFT: Yes.

14               MR. MCDOWELL: -- let me ask you one question  
15    from this slide.

16               DR. TAFT: Yeah.

17               MR. MCDOWELL: Firm designable, the idea that  
18    the utilities should be able to kind of dictate where  
19    that storage is to get maximum value out of it, I guess,  
20    in states that have taken a position on storage, either  
21    through the legislature or otherwise, and putting storage  
22    in place, are they going through a very intentional  
23    process to say yes, but don't put it all right here; put  
24    it in certain locations driven by certain design

1 parameters?

2 DR. TAFT: It varies from location to location.

3 In some states they've simply mandated that we need a  
4 certain amount. Somebody else, you all figure out where  
5 you're going to put it. In other places they're trying  
6 to be a little bit more deliberate about that, but in no  
7 case that I know of has anybody thought about this in a  
8 very systemic fashion.

9 There are places where people are proposing to  
10 do that, but in some states there has been concern about  
11 the use of storage where there are centralized wholesale  
12 markets, which is not the case here, and whether the  
13 utility would use that to bid into those markets and be  
14 able to have an advantage over other third parties.  
15 That's a resolvable issue, but they spent time talking  
16 about that more so than saying where will the storage be.

17 Now, in the state of Hawaii, what HECO has  
18 done, and the Commission has agreed with for DER in  
19 general, not just storage, but general distributed energy  
20 resources, is to say all right, well, if you are a third-  
21 party owner and you want to connect, then we, the  
22 utility, will -- there's a tariff for doing that, but we,  
23 the utility, will control the operation of that device  
24 within certain ranges that protect their interest so that

1     you don't have people saying, well, I'm going to have  
2     this differentiated set of services and I'm going to  
3     charge different amounts for different services. The  
4     utility controls it and says I need it right now to do  
5     this for me, I need it right now to do that for me. And  
6     so the question of ownership is a little bit separate  
7     from the question of operational control, the issue being  
8     that the organization that knows what the grid needs at  
9     any given time for that sponginess is the people who  
10    operate the grid.

11               MR. MCDOWELL: Yeah.

12               DR. TAFT: Right? So we've seen some states  
13     like Texas where the utilities have proposed to be able  
14     to deploy storage throughout their grid, and in the case  
15     of Texas, the administrative law judge actually went  
16     through the arguments from one of the utilities, AEP, and  
17     said yeah, good idea, and the Commission said, no, don't  
18     want to do it.

19               So there's a lot of ins and outs to the way  
20     people think about it that is very much in flux right  
21     now, but we're starting to see more and more people  
22     thinking about this springiness/sponginess idea because  
23     of the focus on resilience more than anything else.  
24     Remember, I showed you that slide and I circled those two

1 things, resilience and operational flexibility? If your  
2 objectives in terms of what you want to do with the grid  
3 focus a lot on that, this becomes a more important idea.  
4 That's not true in every state by any means, so you see a  
5 lot of variability in how people are thinking about this.  
6 The idea of this as core infrastructure is not brand new,  
7 but it's relatively fresh thinking. So in a lot of  
8 places for a while now the view has been, well, storage  
9 is owned by third parties and it's sold as a service, you  
10 know, and it may be behind the meter or it may be  
11 attached in some way like an ancillary services device.  
12 The idea that it needs to be this sponginess that's built  
13 into the grid is relatively new, but we've seen a lot of  
14 people thinking about this.

15 So it's in the early stages of thought, and the  
16 reason that I wanted to come and talk about this today is  
17 so that you would have this concept, along with all the  
18 other ones that you're considering, when you think about  
19 storage because my view is the grid as a whole needs to  
20 have this capability. It's the fundamental thing that's  
21 missing in that complex system that all of our other  
22 complex systems have.

23 This buffering capability is just not there,  
24 and yet we are subjecting our grids to more and more

1 volatility from both directions, and that volatility can  
2 flow from the edge from the distribution level up into  
3 the bulk power systems and create difficulties there. It  
4 can flow the other way because we have the sources of  
5 volatility at both ends, so to speak, when we have large  
6 solar facilities or wind facilities that come from the  
7 bulk system and impact distribution. When we have a lot  
8 of distribution connected resources, it can go the other  
9 way and actually impact the operations of the balancing  
10 authority. And we're seeing people start to be concerned  
11 about the export of volatility from the distribution  
12 level into the bulk energy system. It creates  
13 operational difficulties there.

14 In addition, if people want to be able to do  
15 things like use the distribution system as if it is a  
16 network for energy transactions, the concept that you see  
17 in some states, you know, peer-to-peer energy  
18 transactions and all that, then you have to think about  
19 can the distribution system actually support that kind of  
20 capability, and the answer is with our traditional  
21 distribution systems not very well. What's missing is  
22 the ability to manage those flows and manage the time  
23 differentials involved, and that's the very thing that  
24 storage gives you the flexibility to do.



1           So if the model is that the distribution system  
2 becomes a network that facilitates energy transactions,  
3 then it's going to become more important to have that  
4 storage capability built into it because otherwise you  
5 don't have enough flexibility to be able to accommodate  
6 all the transactions that people are going to want to be  
7 able to do.

8           MR. MCDOWELL: Good. Thank you.

9           DR. TAFT: Okay. Okay. So where would you put  
10 storage if you're going to use it in this manner? If  
11 it's going to be flexibility and if it's going to be  
12 buffering for the grid, where do you put it?

13           So we did some studies about that, and what we  
14 concluded was that where you would put it is in the  
15 transmission distribution interphase substations on the  
16 low side, on the distribution side of those -- on the  
17 lower voltage side, in other words, of those substations.  
18 That came about through doing some simulation studies and  
19 so on and some engineering considerations about what  
20 would be most effective in terms of the ability for it to  
21 provide that sponginess and also manage that at a  
22 reasonable cost. If you have to connect it to the high  
23 voltage side, it's a lot more expensive to do than if you  
24 connect to the low voltage side. The simulation studies

1 show that connected throughout the system at the low  
2 voltage side works very well in a variety of cases that  
3 we studied in terms of flexibility. So there's a  
4 rational way to think about where you're going to put  
5 this stuff. Next slide, please.

6 In terms of operating it, you could treat each  
7 one of those as a separate device and treat it as a  
8 standalone device, but that's probably not the most  
9 effective way. The most effective way, we think, would  
10 be to treat them as a coordinated group of units and  
11 operate them collectively. That, again, points to a  
12 method of operation that probably works well if it's  
13 handled through either the balancing authority or the  
14 actual utilities themselves because, again, the way that  
15 you're going to want to do that depends a lot on the  
16 state of the grid, and that information is in the hands  
17 of those operators, not in the hands of, say, third  
18 parties or even the generators.

19 We also know from this work that you don't have  
20 to put storage everywhere. You can share it across  
21 multiple substations, and we've demonstrated how that can  
22 work so that you can roll this out incrementally, you  
23 don't have to go out and say, well, every single  
24 substation is going to have to have a storage unit. And

1 the other thing that you don't want to do is try to  
2 create just a few really big ones and put them somewhere  
3 in the system. That turns out to be not very effective.  
4 It's also massively expensive. So you can do this  
5 incrementally, and you can get the benefits of this that  
6 build up over time and do this as a rollout instead of  
7 saying, well, I've got to do it all at once to get  
8 something useful out of it. Next slide, please.

9 I mentioned --

10 COMMISSIONER DUFFLEY: Dr. Taft, could I  
11 interrupt --

12 DR. TAFT: Sure.

13 COMMISSIONER DUFFLEY: -- just for a second?

14 DR. TAFT: Sure.

15 COMMISSIONER DUFFLEY: It's going back to who  
16 is operating these storage facilities. What did the  
17 Texas judge agree with and the PUC say no to? You  
18 referred to that. Was it --

19 DR. TAFT: Yeah. That was -- that --

20 COMMISSIONER DUFFLEY: -- that the utilities  
21 operate --

22 DR. TAFT: That was AEP.

23 COMMISSIONER DUFFLEY: Uh-huh.

24 DR. TAFT: They wanted permission to put

1 storage units into their substations and to directly  
2 control them for purposes of approving resilience, and  
3 they had a list of things that they wanted to do  
4 specifically. If you look back at the storage buffer  
5 function slide that I had, you'd find them on there. And  
6 the administrative law judge looked at their argument  
7 about that and said that it was reasonable and  
8 recommended to the Commission that that should be  
9 something they should be allowed to do. The Commission  
10 declined to allow AEP to do that.

11 COMMISSIONER DUFFLEY: And for what purpose?  
12 Was it cost or some other reason?

13 DR. TAFT: I believe they were still concerned  
14 about whether the storage would be used to bid into  
15 markets, because they do have markets --

16 COMMISSIONER DUFFLEY: Uh-huh.

17 DR. TAFT: -- in Texas, and whether that was  
18 going to be fair to other stakeholders and -- as if the  
19 utility would have an unfair advantage in operating that  
20 bidding into the market.

21 I will tell you that I don't think that that  
22 has to be an issue. We went through this discussion in  
23 Ohio about that, and it seemed clear from that discussion  
24 that you could delimit the functionality that was allowed

1 and, you know, if you had markets, which you don't have  
2 here, you would say, look, they're not allowed to bid  
3 those services into the market. This is pretty clear.  
4 You don't do that. You use this for things like black  
5 start. You use it for things like managing congestion.  
6 You use this for things like ride through on outages and  
7 so on as opposed to saying, well, I'm going to sell  
8 ancillary services. And so you could delimit that, but  
9 in Texas they weren't willing to consider that. They  
10 just said, look, we don't think we want to go there.

11 COMMISSIONER DUFFLEY: Okay. Thank you.

12 DR. TAFT: All right. I mentioned early on in  
13 my presentation that because of the convergence of  
14 natural gas and electricity and gas being used for  
15 generation that there were some interesting opportunities  
16 related to storage there.

17 Gas systems have storage. They have big  
18 storage tanks and they can also store gas right in the  
19 pipelines by doing what's known as line packing. And you  
20 all are probably familiar with that. Basically, there  
21 are times when they pump up the pressure to have more gas  
22 available there when they seen an issue coming.

23 That takes a little bit of time and a little  
24 bit of a look ahead to be able to do. The gas systems

1 would really like to have relatively constant flow to  
2 their loads. Electric systems, as you know, aren't quite  
3 that constant. We have daily cycles. We have seasonal  
4 cycles. We have all that stuff that goes on. That's why  
5 we have peaking generators and that's why we have  
6 reserves and we do all that fairly complex stuff to do  
7 load following, so there's somewhat of a mismatch in  
8 those things.

9 Well, if we looked at both the storage on the  
10 gas side and if we had storage on the electric side of  
11 type I'm talking about, you would then have the  
12 opportunity to use those two things to even out that  
13 mismatch in volatility, too. So it's not just volatility  
14 interior to the electric system coming from the various  
15 kinds of generation; it's also the connection to gas  
16 systems that you would look at storage and say this can  
17 help us make that work better as well. And that's what I  
18 meant by that originally. You would have to have some  
19 reasonable amount of storage on the electric side that we  
20 don't have yet today, as well as the gas side, and you  
21 would have to have a certain amount of cross  
22 observability and coordination.

23 That cross observability and coordination is  
24 being developed, and you may remember that there were

1     some FERC rulings about that after the problems up in the  
2     Northeast a few years ago in terms of synchronizing  
3     markets and in the terms of literally what's called cross  
4     observability, in other words, sharing state information  
5     across those two systems.

6             Well, those are the basis for being able to do  
7     that, so once you can do that, if you have storage on  
8     both sides, you have the opportunity to co-optimize the  
9     use of that to make those two systems work better.

10            Same thing when you have other kinds of  
11     generation. It's evening out the volatilities. And  
12     that's what storage really does when you think of it as a  
13     shock absorber, is it decouples those volatilities so  
14     that the variation of one site doesn't impact negatively  
15     the operation of the other site. In the case of the  
16     grid, that goes in both directions, as I mentioned.  
17     Okay. Next slide.

18            So because grids lack this common capability  
19     that we have in every other kind of system, one of the  
20     things that we suggest to the people is think about the  
21     need for internal buffering in the grid. This is a  
22     systemic issue. This is not a point issue.

23            You know, a lot of times what we see people  
24     doing with storage is addressing point issues like should

1 I use storage or should I build another transmission line  
2 for reliability purposes and doing the tradeoff between  
3 the two, and that's all fine, but what we're talking  
4 about here is thinking about the grid as a whole system,  
5 which is what we do with the architecture work, and  
6 asking ourselves do we want to improve the resilience and  
7 the operational flexibility across the board. Do we want  
8 to make it possible to deal with these large scale  
9 changes that are happening to our grid in general? And  
10 if so, perhaps embedded storage embedded in the grid as  
11 core infrastructure is the way to go. And if you think  
12 about that, you're making a transformation on the grid,  
13 giving it a capability you didn't have before, which is  
14 this buffering capability. It's a key aspect of  
15 resilience in complex systems, and I -- and we're missing  
16 it in the grid.

17 So if you have a focus on resilience, that's  
18 why you would be maybe more concerned about this. We  
19 know that in quite a few parts of the country that is the  
20 case, that there was a focus on resilience. It plays out  
21 in different ways in different parts of the country  
22 depending on what the vulnerabilities are. And certainly  
23 the folks at DOE have a big focus on resilience. In  
24 fact, I told people that resilience was the 2019 utility



1 word of the year. In 2018 the word of the year was  
2 platform, in case you hadn't seen that.

3 So there are some key requirements if you're  
4 going to do that, where you put the storage, how much of  
5 it you use, how it's operated. Those are kind of the  
6 things that are key to think about there, and those would  
7 influence how you think about how this all gets done in  
8 terms of what you as a Commission do in terms of what the  
9 utilities would do, in terms of what other people would  
10 do.

11 So if you decide that's the direction that you  
12 think is valuable, then there are some recommendations  
13 there for how you would actually do it from an  
14 architectural standpoint.

15 And I'm going to stop there at that point and  
16 see if you all have some questions for me about all this.

17 COMMISSIONER DUFFLEY: So going back to --  
18 well, they're not numbered, but it's this Architectural  
19 Issues Operation where you show a picture of maybe a  
20 storage device on every substation, but then you  
21 mentioned you don't have to have this storage, this  
22 embedded storage on every substation. Two questions.  
23 Like what is the size of these embedded devices, and then  
24 what percentage of the sub -- you said not 100 percent of

1 the substations, but 50 percent, 25 percent?

2 DR. TAFT: So those are actually engineering  
3 issues that we typically don't go that deeply into at the  
4 architectural level. What you would want to do there is  
5 do the engineering studies to determine just how much  
6 you're trying to improve that resilience or operational  
7 flexibility, and then that would tell you how much  
8 storage capability you need.

9 The work that we did, the simulation studies  
10 that we did said that you could look at this in terms of  
11 the peak loads on those substations, and what we were  
12 looking at is storage that would over a 24-hour period  
13 store enough energy for a few percent of that total  
14 energy, so it's not actually that large. When you look  
15 at what some people are doing in some jurisdictions,  
16 they're talking about building these enormous storage  
17 units and they talk about things like, you know, being  
18 able to run loads for two weeks if the grid is out and so  
19 on. I think that's way out of scale here.

20 What we're talking about here is modest size  
21 storage. In terms of how many substations, it's only the  
22 transmission distribution interface substations. It's  
23 not the regular transmission substations and it's not  
24 just ordinary -- like you wouldn't do it in 4 kV, you

1 know, distribution substations. So it's a modest number;  
2 it's not a large number. And we also know from our work  
3 that you have the option to be able to share storage  
4 across multiple substation service areas. So that means  
5 putting a storage unit in one substation which supplies  
6 the resilience necessary for a couple of substation  
7 service areas.

8           So there are a number of engineering tradeoffs  
9 that you can make there, and there's no simple answer to  
10 what the exact number is. But our thinking about this is  
11 that this is not nearly the scary gigantically expensive  
12 thing that you might think that it sounds like from the  
13 beginning at all because it isn't that much storage  
14 that's needed. We're talking about, you know, a small  
15 percentage of the total power flow being buffered by all  
16 of this, not the entire gigantic amount of it. So,  
17 again, it just is not that large.

18           Being able to do it this way means you can also  
19 do it incrementally, so, you know, none of this stuff  
20 that we do with utilities typically gets done overnight,  
21 so you do rollouts over a period of years. And by doing  
22 this in this distributed fashion, it's very amenable to  
23 doing that kind of a rollout over time as opposed to  
24 saying I've got to do all of it before I get any benefit.

1 You get benefit from each piece of it as it adds in.

2 CHAIR MITCHELL: Just one follow up for you.

3 When did you all do these simulation studies?

4 DR. TAFT: We've been doing this work over the  
5 last three years for the Department of Energy.

6 CHAIR MITCHELL: And are they -- did you all --  
7 have you all published anything about them?

8 DR. TAFT: We've published the architectural  
9 specifications. The simulation results we haven't  
10 published yet because we're still doing some.

11 CHAIR MITCHELL: Okay. Commissioner  
12 Clodfelter.

13 COMMISSIONER CLODFELTER: Listening to you and  
14 thinking about this is very stimulating, thank you, but  
15 would it be a fair inference for me to draw that if I  
16 were to permit at a policy level or regulatory level, if  
17 I just permit unrestrained addition of storage resources  
18 at the grid edge all around the grid uncontrolled,  
19 unmanaged by the grid operator, that I'm actually maybe  
20 increasing the risk of volatility problems on the grid?

21 DR. TAFT: Could you be a little --

22 COMMISSIONER CLODFELTER: Well, I don't --

23 DR. TAFT: -- clear about what you mean about  
24 "around the edge"?

1 COMMISSIONER CLODFELTER: Well, I -- I'm --

2 DR. TAFT: Are you talking about like behind  
3 the meter or a third-party owner?

4 COMMISSIONER CLODFELTER: Third-party owned. I  
5 mean, I'm really asking in the context here of the sort  
6 of environment in which we're operating here, in which  
7 we've got an awful lot of third-party owned generation --

8 DR. TAFT: Yeah.

9 COMMISSIONER CLODFELTER: -- most of it at the  
10 distribution level, some transmission connected --

11 DR. TAFT: Yeah.

12 COMMISSIONER CLODFELTER: -- and everybody is  
13 clamoring to add storage to all of that.

14 DR. TAFT: Uh-huh.

15 COMMISSIONER CLODFELTER: And I'm thinking,  
16 well, whoa, suppose I allow that and none of that storage  
17 is under the control of the grid operator, do I increase  
18 my risks of volatility?

19 DR. TAFT: I don't think you would say that it  
20 increased your risk of volatility. I think that there  
21 are two things that happen there. One is that just  
22 adding it without any sort of coordinated approach to  
23 where it is and how it's operated doesn't necessarily get  
24 you a benefit. And so in that sense it's potentially a

1 stranded investment. That's one thing to consider.

2           The other thing to consider is that when you  
3 have things like this that are behind the meter and they  
4 make the apparent load look different than the sort of  
5 real load, it becomes difficult for the balancing  
6 authority or the system operator to know how to manage  
7 their reserves because they can't actually see what's  
8 going to happen. And if there are sudden -- there's a  
9 sudden reason why this stuff becomes unavailable and  
10 there's a reason how that happens, they can get hit with  
11 a sudden shock to the system because they don't know  
12 what's actually going on with that stuff.

13           So why would that happen? Well, we have that  
14 problem with solar inverters, and that is that the way  
15 the standard was set up for inverters was if there is a  
16 voltage fluctuation, they were all supposed to pull off  
17 the grid. Well, if you've got all that generation and,  
18 likewise, if you have storage that's supplying it to the  
19 grid and it suddenly disappears on you like that, you  
20 know, that's a big step change. It's a problem for the  
21 balancing authority to deal with.

22           If they don't know how much there is because  
23 it's in third-party hands and they don't know what's  
24 being supported by storage and what's actual variability,

1     they don't have that visibility, and a lot of system  
2     operators have been concerned about not understanding  
3     what's going on in that combination because they don't  
4     have the observability, they don't have the measurements  
5     to tell what's going on. So some people's answer to that  
6     is, well, you know what, we'll put extra metering in so  
7     we can see that piece, the DER piece, separately from the  
8     traditional load piece and get more visibility. You  
9     know, there's a lot of different ways you can play this  
10    out.

11               So I think the answer to your question is I  
12    don't know that it creates additional variability. I  
13    think the problem is that you may not get what you were  
14    hoping to get from it in terms of resilience and  
15    flexibility for operating the system, and you may cause  
16    some problems with sort of disguising the actual load  
17    because there's no way to tell exactly what part is  
18    storage and what part is real load.

19               COMMISSIONER HUGHES: You mentioned in your  
20    comments that you're agnostic about business models, and  
21    I'm just trying to wrap my head around -- could you give  
22    an example of business models that would fit with all of  
23    your simulations, because it seems to me that business  
24    models are embedded into your analysis. But could -- if

1     you give me an example, it might help.

2                   DR. TAFT:   So I'll give you an example from a  
3     slightly different perspective.   Some of the folks who  
4     aggregate distributed energy resources have argued that  
5     in those places where there are organized wholesale  
6     markets and if there are going to be distribution level  
7     markets because, you know, that's considered in some  
8     places, they want to be able to bid into both and they  
9     want to be able to be unrestrained into how they go to  
10    both, and that has led to this question of how you do  
11    transmission distribution coordination in the presence of  
12    DER, which is what the distribution system operator  
13    conversation is largely about, right?   So if your  
14    business model is I should have unrestrained access to  
15    both markets whenever I want and nobody else has anything  
16    to say about it, that's the kind of issue we try to be  
17    agnostic about.   We don't try to say, well, you should or  
18    should not be able to have access to markets.

19                   What we look at is to say what architectural  
20    structures will enable people to do what they want, and  
21    we're not here to say there shouldn't be aggregators or  
22    there should be aggregators or they should have this role  
23    or that role.   Our argument is what structures enable  
24    people things to do -- do the things they want to do and



1     where are the legacy constraints that need to be relieved  
2     that would prevent them from being able to do them. So  
3     that's what I meant about business models. We don't try  
4     to advocate for or advocate against any particular way  
5     that somebody might choose to be able to be compensated  
6     or make money off of any particular technology related to  
7     the grid.

8                 Now, what I did say is that I thought that  
9     storage that's embedded needs to be controlled by the  
10    utility. That's because they have the state information  
11    to know what to do. But I didn't say anything about who  
12    owns the storage. Did I answer your question?

13                COMMISSIONER HUGHES: Yeah. That last sentence  
14    answered my question. Thanks.

15                CHAIR MITCHELL: Any additional questions?  
16    Thank you. Oh, Kim.

17                MS. JONES: Thank you. So I'm having a hard  
18    time getting my head wrapped around the benefit of  
19    resilience, so where I'm starting from is thinking of  
20    resilience in terms of having fewer outages to customers,  
21    or when they do happen, you're able to get the lights  
22    back on more quickly. Help me understand how having this  
23    device in a substation will preclude outages or help you  
24    bounce back faster.

1 DR. TAFT: So first I will say the way that we  
2 have defined resilience separates out recovery from the  
3 first part. So for us, resilience is largely about not  
4 having the outage. And if you have an outage, that is  
5 now in what we would say is in the reliability domain,  
6 because when you look at the reliability metrics, you're  
7 measuring fundamentally two things, how often things --  
8 how often power outages occur and how wide they are and  
9 how long it takes to recover.

10 So an example of how you would improve the  
11 resilience, let's say that you have storage in the  
12 substation. Let's say that you lost power from your bulk  
13 power system and the storage helps you ride through that  
14 for your loads. So they don't see the outage even though  
15 there was -- there would have been an outage if the  
16 storage hadn't been there. So that's a simple example,  
17 is ride through on outages.

18 MS. JONES: So but if -- what if that doesn't  
19 ever happen? I mean, that's the kind of outage that just  
20 doesn't happen.

21 DR. TAFT: Well, when you look at resilience,  
22 so this -- I was going to spend more time on this because  
23 this gets really interesting.

24 The way that resilience is talked about in the

1 industry is it has a lot of weaknesses to it. And so we  
2 didn't define it, and you and I started talking about it,  
3 and that's how we get into this sort of mismatch here.  
4 Resilience, the way we look at it, is a combination of  
5 vulnerability and how you deal with that vulnerability to  
6 either prevent an outage from occurring or minimize the  
7 extent of it when things start to go bad.

8           You can't predict when these events that people  
9 are concerned with are going to happen unless you get  
10 pretty close to them. I mean, when you see -- you can  
11 see a hurricane coming when it's finally coming, but is  
12 there going to be one this year? Is there going to be  
13 one next year? Nobody knows how to do that. So people  
14 for a long time were talking about resilience in terms of  
15 it being the ability to deal with large scale, but rare,  
16 events. And it gets to exactly what you just said, what  
17 if it doesn't happen.

18           All right. So do you have insurance on your  
19 house? What if your house doesn't burn down? It's a  
20 little bit like that. We know that there are various  
21 kinds of vulnerabilities and various kinds of threats.  
22 We can't predict when they're going to happen, but we  
23 know we have vulnerabilities to them. So the way that we  
24 view that is that you need to think about that in terms

1 of the vulnerability which exists today even if the  
2 external event doesn't happen today.

3           One of the things that happens with reliability  
4 calculations in the utility industry is it's -- in a  
5 sense it's weird because in other industries like  
6 electronics and aerospace, reliability is a forward-  
7 looking view and it's not based on conflation with  
8 external events. In the utility industry reliability is  
9 a backwards-looking view and it's based on conflation  
10 with external events. So how do we calculate those  
11 things? We look at the outages that happened and we  
12 calculate all the statistics and we try to figure out  
13 from that what to do.

14           But if you look at -- say, in electronics we  
15 look at the characteristics of the components and we look  
16 at the structure of how they go together, and then we ask  
17 ourselves the question what is the probability of zero  
18 failures in a particular period of time, and that's how  
19 they think about reliability, not how we think about it  
20 in this industry.

21           So you have that problem that they were  
22 conflating, you know, certain aspects of resilience with  
23 reliability. So when you say resilience is about large,  
24 rare events, you're really saying resilience is a special

1 case of reliability, and what we found is that people  
2 didn't get good answers for what to do when they would  
3 get tangled up with that. So we said, no, what you have  
4 to do is think about resilience is the stuff that happens  
5 before an outage. It's how you resist these problems and  
6 keep things going, how well you keep them going, but once  
7 an outage occurs, that's now in the reliability domain.

8 So think about that as the vulnerability exists  
9 all the time even if the external event is unpredictable.  
10 And you -- and the question is do you want to be ready  
11 for that external event, not knowing when it's going to  
12 happen.

13 MS. JONES: Just a real quick follow up. In  
14 this model of putting storage at substations and using it  
15 as this buffer, in that kind of a world would the utility  
16 be able to have a reduced reserve margin from what it  
17 would otherwise have?

18 DR. TAFT: I would say if they have thought  
19 about the engineering of that and decided how much  
20 storage they would need, yeah, they would be able to  
21 trade that off against reserve margin, yeah, but it is a  
22 careful engineering calculation to do that because of the  
23 need to assure service.

24 CHAIR MITCHELL: Thank you, Dr. Taft. Okay.

1 Any additional questions?

2 (No response.)

3 CHAIR MITCHELL: I think we will move on. Dr.  
4 Mills.

5 DR. MILLS: Okay. Thank you for the  
6 opportunity to speak here today. I'm going to be talking  
7 about three different topics that are not necessarily  
8 completely tied together, and so there's going to be some  
9 gaps between them, but I'm happy to take questions as we  
10 go along just to try to fill in some of those.

11 And so these three topics are first looking at  
12 the contribution of solar to overall resource adequacy  
13 needs and then the role of storage in increasing that  
14 contribution. The second one is to look at some of the  
15 literature that's been out there on solar integration  
16 costs, and this connects to some of the questions that  
17 you all are dealing with now and sort of what drives  
18 those integration costs. And then the third part is to  
19 look at using storage to reduce solar variability through  
20 sort of a mechanism that we refer to as ramp control, and  
21 compare the cost of doing that with storage, that ramp  
22 control with storage to these integration costs, and  
23 that's where it gets a little bit loose. We haven't done  
24 a lot of detailed comparison, but kind of give you some

1 order of magnitude estimates from the work that we've  
2 done.

3 And much of this work that we've been doing  
4 recently is based on some work in Florida, that we've  
5 been working with some of the municipal utilities there,  
6 and they've had a lot of -- these questions have been  
7 driving the analysis that we've been doing. This was all  
8 funded by the Department of Energy through the Solar  
9 Energy Technology's office. And then also we've done a  
10 fair amount of technical assistance to states that's been  
11 funded by the Department of Energy Office of Electricity,  
12 and so I'm going to be pulling from different parts of  
13 that. And, again, it's not really a comprehensive  
14 analysis of all of these different value streams, but  
15 more it's sort of some of the methods and some of the  
16 insights that we get into some of the various key  
17 elements of it. Next slide, please.

18 So first I'll jump into looking at the solar  
19 and storage part of this for resource adequacy. Next  
20 slide.

21 The main part of this that we looked at was  
22 trying to understand how adding solar can increase sort  
23 of the ability of our system to reduce peak demand and  
24 then how storage can help increase that benefit. And so

1 the idea here is to be looking out with this red line  
2 sort of as your utility forecast over time that says  
3 here's what our peak demand might look like over time,  
4 and in order to meet that peak demand, we might have to  
5 build plant in a particular period. And then if we add  
6 PV or we add PV and storage, we're going to have this new  
7 trajectory that's going to be our peak demand now being  
8 lowered because of the addition of that asset, and that  
9 might defer the need to build this capacity resource some  
10 years.

11 So the ability of solar or solar and storage to  
12 kind of create a gap between those two lines, between the  
13 peak demand without PV and the peak demand, the red and  
14 blue lines, that ability is really driven by what we call  
15 the capacity credit of solar. So that's sort of the  
16 fraction of the nameplate capacity that contributes to  
17 lowering peak demand. And that ability to defer the need  
18 to invest in that power plant, when you sort of look at  
19 the net present value of that, that becomes the capacity  
20 value and what we refer to as capacity value in dollar  
21 terms. So this is really the economic value of that  
22 capacity credit that you're getting. And so our  
23 analysis, we're just going to focus in looking at this  
24 capacity credit and seeing how that varies with different



1 factors. Next slide, please.

2 Really, this is not something where we were  
3 trying to go in there and answer this from a detailed  
4 perspective and sort of get the right number; instead,  
5 what we were trying to do is to develop some simple  
6 methods to look at all the different factors that might  
7 affect this capacity credit and then pull on a bunch of  
8 them, try to find out what are the things that really  
9 drive this calculation and what are some of the factors  
10 that you should be aware of when you do then go into a  
11 more detailed model.

12 Some of these detailed models really are  
13 expensive in the sense that you have to set up a lot of  
14 assumptions and parameters to them, and so you have kind  
15 of few chances to really investigate a lot of different  
16 directions. We wanted to come up with a method for  
17 simplifying this and then just get some intuition out of  
18 it.

19 And in part, the work that we were doing was in  
20 parallel with the National Renewable Energy Lab, was  
21 using their resource planning model, which is sort of  
22 like an integrated planning model, that looks at some of  
23 these capacity credit analysis internal to the model. So  
24 we're trying to sort of unpack a little bit of that and

1 get some intuition for why you might get some of the  
2 results out of that capacity expansion model.

3 And, again, what we're really looking at is  
4 what are some of the factors that drive these relative  
5 changes in the capacity credit, and we're not trying to  
6 get a very precise estimate of it for one particular  
7 configuration. And the idea was that that would help  
8 kind of prioritize additional research directions and  
9 questions and sort of see where it might be most  
10 interesting to dig in further. Next slide.

11 So with this we did start to take solar and add  
12 storage to it or we looked at storage independently and  
13 looked at the capacity credit of storage, too. And so  
14 one of the things just to note with this is that one of  
15 the things we really wanted to vary was what we refer to  
16 as the duration of the storage. And you might be  
17 familiar with sort of storage being rated in terms of its  
18 ability to -- the rate of power it can charge or  
19 discharge at, so in this illustration that's at 10 MW and  
20 the amount of energy that it can store in there. In this  
21 case it's a 40 MWh battery.

22 And so the duration of it is what we refer to  
23 as how fast that reservoir would be drained if we were to  
24 discharge at full capacity. And so in this case that 40

1 MWh reservoir, if it was full, if we discharged at full  
2 capacity it would be drained in four hours. So that's a  
3 four-hour duration battery, and we're really -- one of  
4 the things that we're going to look at quite a bit is how  
5 the capacity credit of storage changes as a function of  
6 that duration.

7           One of the things to note here, too, is that we  
8 were, again, simplifying a lot of things in here, and so  
9 we're going to treat that battery as fully chargeable and  
10 dischargeable when in reali--- so in reality, people will  
11 oftentimes restrict how much of that reservoir they  
12 actually access to preserve that asset life, and so our  
13 sort of reference to four hours is sort of meaning the  
14 accessible energy that could be in there which might be  
15 different than the true rated capacity of that. And,  
16 again, that just comes from, you know, operation people  
17 might hold some of that back to avoid degradation. Okay.  
18 Next slide.

19           So in order for us to understand and just get  
20 some intuition as to what the contribution of solar and  
21 storage is to meeting our resource adequacy needs, we  
22 started off with this simple idea of just taking a load  
23 duration curve. And so the green line on the image on  
24 the left takes the load in this particular utility and

1 sorts it over every hour of the year, so 8,760 hours,  
2 from the highest load to lowest load level. And in order  
3 to make sure that your system is adequate, you're going  
4 to have to be looking at some of those peak load hours.  
5 Those highest load hours are the ones -- really going to  
6 drive the need for having adequate assets on the system  
7 to meet those peak demand needs.

8           So then our question is, is if we add some  
9 asset like adding solar or adding storage, we're going to  
10 reduce that load in certain hours, and in particular what  
11 we want to focus on is how much can we reduce the load in  
12 those peak hours. And our ability to reduce load in  
13 those peak hours is what's going to sort of allow us to  
14 avoid the need to build other assets to meet that peak  
15 demand.

16           And so in this case the chart on the right  
17 zooms in to just the top 100 peak hours of the entire  
18 year, and our green line, again, is that load sorted from  
19 highest load to lowest load hours. And then the orange  
20 line, we've done the same thing now, but it's the load  
21 minus solar in this case. And then we sort it from  
22 highest to lowest. Or we could do that with load minus  
23 the storage generation and then sort it from highest to  
24 lowest.

1           And so the gap that emerges between those two,  
2   between the green line and the orange line, that becomes  
3   our capacity credit. That's our estimate that -- the  
4   average amount of gap between those is our estimate of  
5   the capacity credit of that asset.

6           And in our work, one of the things that we  
7   focused on was trying to come up with a fairly fast and  
8   robust way that we could dispatch storage, find the way  
9   that storage would be dispatched in order to maximize  
10   that capacity credit. So we sort of were looking at an  
11   idealized situation where you had full control of that  
12   storage and you were able to dispatch it within its  
13   capabilities such that it could maximize that capacity  
14   credit. And just to explain the chart a little bit, that  
15   orange area that's filled in, if we could minimize that  
16   area, that would be the same thing as maximizing that  
17   capacity credit. And so a fair amount of our work went  
18   into developing methods that would be fairly quick to  
19   calculate that. Okay. Next slide.

20           So then one of the things that we started to do  
21   was just to kind of parse this problem out of how PV and  
22   storage would contribute to capacity, to resource  
23   adequacy, and we started by just looking at PV alone, and  
24   we looked at various sites around Florida and also

1 various utilities, and looked at how the capacity credit  
2 might just vary from different site and utility  
3 combinations. And then we also looked at how that  
4 capacity credit might change as we deploy more and more  
5 solar, to look at sort of any effect that increasing  
6 penetrations of solar would have on its ability to  
7 continue to contribute to peak demand needs. And we did  
8 some questions just focusing on storage alone.

9           So, again, one of the things that we were  
10 really interested in is looking how the capacity credit  
11 changes as a function of its duration. If you have a  
12 bigger and bigger reservoir, does that allow you to get  
13 more and more capacity credit and do you hit any sort of  
14 limits on that.

15           And then another question that we asked was if  
16 we start to add a lot of storage to the system, does that  
17 change its contribution to resource adequacy. Same thing  
18 as what we were asking for PV, is there sort of any  
19 effect of penetration on the capacity credit of storage.

20           And then finally, we looked at combining PV and  
21 storage together, and we looked at a variety of ways that  
22 you could configure the PV and storage together and saw  
23 how that would affect the capacity credit, and then also  
24 looked how that might change depending on how you size

1 the battery relative to PV.

2 So I'll kind of go through some of these  
3 results and, again, please do jump in if I can clarify  
4 anything, please.

5 So the chart on the left here shows the  
6 capacity credit as a function of increasing amount of  
7 deployment of that PV. So as we move to the right on  
8 that chart, you have increasing amounts of solar  
9 deployment, and the capacity credit is shown on the  
10 vertical axis.

11 The three different lines here represent three  
12 different utilities in this area, so we were working with  
13 data from the City of Tallahassee, which is a very small  
14 utility, only about 600 MW or so, the Jacksonville  
15 utility, and then Florida Municipal Power Pool which  
16 includes both Orlando and some other smaller utilities.

17 MR. MCDOWELL: Kim, you need to advance the  
18 slide.

19 DR. MILLS: I'm sorry. Please advance the  
20 slide on that. I'm doing this in two places here.

21 So, again, that was the chart on the left that  
22 has these -- these three different lines, and the top one  
23 is the Florida Municipal Power Pool, and then the bottom  
24 two are Tallahassee and JEA.

1           So one of the things that stands out is that  
2    there are differences in the capacity contribution of  
3    solar, and one of the things that's going to drive that  
4    is how well your solar deploy--- your solar generation  
5    profile is aligned with that time of highest peak demand.  
6    And we see that in FMPP which is, again, sort of more in  
7    central Florida, the contribution of solar to meeting  
8    that peak demand is somewhat higher and then it declines  
9    as you add more and more solar.

10           In contrast, for JEA and City of Tallahassee  
11   the capacity credit is quite a bit lower there, and part  
12   of that has to do with the fact that both of those  
13   utilities also have some of their peak hours occurring in  
14   winter and sometimes even at night, and so this is maybe  
15   a little bit closer to what you might expect in North  
16   Carolina where you do have some increasing amounts of  
17   winter loads driving the peak, is that because solar is  
18   not going to be -- its production is not as well lined up  
19   with those peak hours, the capacity credit will be  
20   somewhat less than what we saw with FMPP.

21           And then to explain why that capacity credit  
22   declines as you go to increasing penetration, but even in  
23   places like FMPP where you might be aligned with, say,  
24   the summer peak hours, as you add more and more solar,



1 the time of that residual assistant peak is going to  
2 shift away from solar hours and into hours into the early  
3 evening when there is no sun. The sun goes down and the  
4 net load is still there. And so that means that the next  
5 increment of solar that I add is not going to be able to  
6 reduce that peak demand by as much. And so we see this  
7 declining capacity credit with solar as we go to higher  
8 penetration levels. And that happens in both of these  
9 two different climates.

10 So then on the chart on the right is where  
11 we're looking at just storage alone. And now, again, the  
12 vertical axis is looking at the capacity credit of  
13 storage and then the horizontal axis is increasing  
14 amounts of duration.

15 So the first thing that is kind of surprising  
16 with this is that for something that's a perfectly  
17 dispatchable asset, you don't immediately just say, well,  
18 let's give it a hundred percent of its nameplate rating,  
19 that the capacity credit of storage can actually be quite  
20 a bit lower than 100 percent when you have short  
21 durations of storage. So short duration storage,  
22 something down in, say, two hours or so might only  
23 achieve about 50 percent of its nameplate capacity,  
24 contributing to you being able to lower your peak demand

1 needs.

2 As you increase the duration of that storage  
3 and that it can store more and more energy and you move  
4 out towards four or five hours, you do start to achieve  
5 closer and closer to a hundred percent of its nameplate  
6 capacity. And that was true for all of these three  
7 different load profiles that we looked at.

8 Now, the difference between the green line and  
9 the red lines here, the red lines being on the bottom, is  
10 that the red lines are what the capacity credit is of  
11 storage if we have a lot of storage on the system. So on  
12 the green lines that was just sort of the first increment  
13 of storage, and the red lines were meeting about 20  
14 percent of your peak demand from storage. And so you can  
15 see there that as you have more and more storage in the  
16 system, you require longer and longer duration in order  
17 to achieve that full 100 percent capacity credit. And it  
18 might go out as far as nine or 10 hours of storage  
19 duration before you're able to achieve that.

20 Well, just these next charts -- if you go to  
21 the next slide -- just sort of illustrate that a little  
22 bit, that this is one of those utilities where we're  
23 showing the daily load profile on a peak day in the  
24 winter on the left and then in the summer on the right.

1 And we have that peak load being reduced by the storage  
2 in the dash lines. And if we have just one hour of  
3 storage, we can clip off a little bit of the very high  
4 peaks, but you're not able to do much with that. And as  
5 you go to fours or six hours, you're starting to be able  
6 to clip off a larger portion of that peak.

7 But you can think about it that as you add more  
8 and more storage to this, the sort of residual peak that  
9 you have to clip off becomes wider and wider, and so  
10 that's sort of where you get this idea that in order to  
11 get that full hundred percent capacity credit, you're  
12 going to have to move down a wider and wider peak that  
13 you have to reduce, and you need longer duration storage  
14 in order to do that.

15 Okay. Next slide. So one other way to think  
16 about that is instead of saying how long does the  
17 duration have to be in order to get that hundred percent  
18 capacity credit, you could also look at this as what is  
19 the capacity credit of just a fixed duration. So if we  
20 just had a four-hour battery and we look at what its  
21 capacity credit would be as we added more and more  
22 storage, if we start here in the green lines, that when  
23 you're at -- when you're at sort of the first increment  
24 of storage being added to the system, you can achieve

1     that sort of 80 to 90 percent capacity credit. And then  
2     that four-hour battery, as you add more and more storage,  
3     will only be able to achieve about something like 50  
4     percent or so as you've gone out to about 20 percent of  
5     your peak demand being met by storage. So that's that  
6     idea again, the peak gets wider and wider.

7             Now, the red lines in this case that are above  
8     that are asking a question of how does that capacity  
9     credit storage change if we actually have a lot of solar  
10    in the system. So one of the things that solar does, is  
11    that it can kind of narrow that residual peak demand  
12    that's left over. So particularly you take somewhere  
13    like FMPP where, again, we have peaking that's happening  
14    in the summer, well, with no -- with no solar in the  
15    system, we have a pretty wide daily peak that has to be  
16    met by storage, and so it takes four or five hours of  
17    storage to be able to meet that peak demand.

18            Now, as we add solar into that system, it's  
19    going to reduce the peak demand during the day and shift  
20    that more and more into the night, and it becomes sort of  
21    what we refer to as a skinny peak. So it's a skinny net  
22    load peak that is left over in the night because of that  
23    solar, and then that means that the storage and what it  
24    has to do in order to continue to meet resource adequacy

1 needs becomes somewhat easier. And so you can get a  
2 higher capacity credit for that four hours of storage.  
3 Again, though, as we increase the amount of storage, that  
4 you still do see this decline over time that can happen,  
5 but that explains why the red line is higher than the  
6 green line. Okay. Next slide.

7           So that was sort of looking at the storage and  
8 the PV as somewhat independent systems. And then this  
9 final part of it we wanted to look at what would happen  
10 if we start to couple the PV and solar together and what  
11 effect would that have on the capacity credit of that  
12 combined asset.

13           So when I refer to it as independent, that's,  
14 again, that's just this sort of you have a PV system over  
15 here and a storage system over here, and they're not  
16 sharing any equipment and you're not restricting the  
17 storage to charge from the PV or anything like that, so  
18 they're independent systems.

19           One thing we could do is we could just then  
20 bring those two together where we might have the battery  
21 sharing the inverter with the PV system, so it's behind  
22 the inverters. We call that DC coupled. But we still  
23 allow that battery to charge either from the grid or from  
24 the solar. So this is what we call a loosely coupled

1 system. So it's sharing some of the infrastructure, it's  
2 sharing that inverter, but it can charge either from  
3 solar or from the grid.

4 And then we can go to a tightly coupled  
5 condition where it's, again, sharing the inverter. It's  
6 on the DC side of that. And we're restricting that  
7 battery to only charge from the solar. And this is sort  
8 of the case that you get towards because of the  
9 investment tax credit which does actually require that  
10 for a battery to get a cost reduction or the tax credit  
11 applied to its capital cost, it has to demonstrate that  
12 it's being primarily charged from the solar asset. So  
13 the tightly coupled case is sort of starting to get more  
14 and more towards what you might be pushed for because of  
15 the current tax policy. Okay. And then next slide.

16 So this is now kind of looking at that capacity  
17 credit of the PV and storage system. And the chart on  
18 the left is FMPP, again, kind of down in the center part  
19 of Florida. The chart on the right is JEA. JEA has sort  
20 of that more of a high winter peak and some summer peak,  
21 whereas FMPP is really dominated by its summer. And so  
22 if we were to -- and the horizontal axis on both of these  
23 cases is increasing amounts of hours of storage,  
24 increasing that storage duration.

1                   So if we start at zero hours of storage  
2     duration, then the capacity credit that we get of any of  
3     these systems is just whatever you get from the PV  
4     itself. So it starts off at the capacity credit of the  
5     PV itself, and then as you start to add more and more  
6     storage duration, you're now combining the capacity  
7     credit of the solar plus whatever capacity credit you  
8     would get of the storage asset.

9                   Now, at some point there starts to be some  
10    differences in these lines depending on the configuration  
11    of it, and that happens around two hours or so. So for  
12    the independent system we just kind of keep going up  
13    there and we're adding the capacity credit of the storage  
14    to the PV by themselves, and that's what the red line  
15    shows, so that's what you would get if these two were  
16    completely independent, whereas the purple and green  
17    lines are showing that you start to run into a limit  
18    which is the inverter of that system, so the battery in  
19    the PV system are behind a shared inverter, and in this  
20    case that inverter is 100 MW, and because of that, that  
21    shared inverter you're sort of limited how much total  
22    capacity credit you can get by that inverter, and so it  
23    sort of caps out at 100 MW. And so by coupling them,  
24    we're actually getting a reduced capacity credit.

1                   Now, in FMPP where, again, it's summer  
2     dominated, we don't see much of a difference between  
3     whether we restrict the PV system to charge only from the  
4     solar or if we allow it to charge from the grid. Those  
5     two end up being about the same. On the other hand, if  
6     we go over to JEA, we do start to see a difference where  
7     if you restrict the PV from -- I'm sorry -- the storage  
8     from charging only from the PV, that we actually start to  
9     see a lower capacity credit. And this, again, has to do  
10    with some of those winter events that happen. End up in  
11    a situation where you have a winter peak that's coming  
12    by, and your storage system would be required to only  
13    charge that battery from the solar, and if there hasn't  
14    been much solar in that day because of clouds or things  
15    like that, you're not going to have sufficient energy to  
16    charge up that storage and it won't be able to contribute  
17    as much to that winter peak. And so that's that slight  
18    difference that we see between the purple and green  
19    lines, is sort of that effect of not having sufficient  
20    solar energy to charge the storage system.

21                  And, in fact, at some of these lines you can  
22    see that that coupled system might even achieve a lower  
23    capacity credit than just the storage by itself if the  
24    storage was allowed to charge and discharge from the



1 grid. So that's the blue line there, is storage alone.

2 I think one of the things, you know, to look at  
3 is that this helps us build some intuition in some of  
4 these story lines and try to understand the interactions  
5 of some of these. At the end of the day, these are not  
6 huge differences between, say, the tightly coupled and  
7 loosely coupled. These are, you know, kind of within the  
8 range of some of the uncertainty on that. But it does  
9 start to kind of play out some of these issues and lead  
10 to things that are worthwhile kind of investigating and  
11 thinking about a little bit further where you're  
12 considering different opportunities for structuring this.

13 Okay. And then the final slide -- final couple  
14 of slides here -- next slide -- are just to kind of go  
15 through that even though we're sort of doing this in a  
16 very -- a method meant to kind of explore some of these  
17 issues, we did want to try to understand how close this  
18 would get to something that's a little bit more  
19 realistic.

20 So in the -- in this chart here we're showing  
21 some of these capacity credit results focused either on  
22 storage on the left-hand part of the chart or solar on  
23 the right-hand chart, and our approximation method that I  
24 described is what is shown by the blue bars in this. And

1 so each of those is just reiterating some of the results  
2 that you've already seen before. But what we do is then  
3 sort of benchmark that against a much more detailed and,  
4 again, expensive to run probabilistic approach.

5 And so this probabilistic approach is what's  
6 kind of more of the gold standard in really trying to  
7 understand the capacity contribution of different assets,  
8 and so this is referred to as the effective load carrying  
9 capability, and that's a much more rigorous method for  
10 doing this, but it's expensive, and so it's harder to do  
11 and to explore some of these issues so we just did this  
12 in a couple of cases.

13 And what you can see is that for our JEA and  
14 City of Tallahassee -- oh, sorry -- I'm sorry -- JEA and  
15 FMPP, the blue and the green ones are not too different  
16 and sort of get some of these trends that look fairly  
17 similar to each other. Where we see a huge difference is  
18 in the City of Tallahassee, where when we do this  
19 probabilistic approach, it's kind of more of the gold  
20 standard, we get distinctly lower capacity credits. And  
21 this has to do -- this is a very sort of specialized case  
22 where it has to do with the fact that the City of  
23 Tallahassee has just a couple of very large generators  
24 relative to its size. It's only about a 600 MW utility,

1 and it has some generators that are about 200 MW, and the  
2 loss of one of those generators can sort of cause you to  
3 have a lot of outages. So in the case of the City of  
4 Tallahassee you actually have a lot of risk of outages  
5 spread out over a huge number of hours, whereas in FMPP  
6 and JEA it's much more concentrated in sort of those peak  
7 demand hours.

8           So our approximation method, we're really  
9 focusing on sort of the top 100 hours of the year, and  
10 that does okay compared to this probabilistic benchmark,  
11 but in the City of Tallahassee where that risk is  
12 actually kind of much more widely distributed, focusing  
13 just on the peak hours doesn't do as well here, and  
14 that's what we found. I think in most places you don't  
15 have that situation that the City of Tallahassee faces,  
16 so we feel pretty comfortable. For most places this  
17 approximation method does yield some valuable insights.  
18 Next slide.

19           The other thing is that in all of what we were  
20 doing is that we're sort of operating the storage with  
21 perfect foresight, so we're basically optimizing the  
22 dispatch of the storage, seeing some historical weather  
23 year of load data, and so that's going to be optimistic  
24 because you can't truly implement that. That's not

1 something that's implementable.

2           So we looked at sort of creating a -- kind of a  
3 bookend to that of what is an implementable case that  
4 doesn't require very much information. And so this is  
5 what we -- you might refer to as back casting or sort of  
6 like a day-ahead persistence, where what we did was we  
7 said, okay, we know what happened yesterday. Let's  
8 dispatch our storage in an optimal way, given what  
9 happened yesterday, and then implement that today without  
10 looking at today at all. So it's something you could put  
11 into practice, and you could implement that.

12           So we have our optimistic case and then sort of  
13 this pessimistic case, and reality is going to lie  
14 somewhere in between those two. And what we find is that  
15 if you have longer and longer duration storage, that your  
16 sort of perfect approach is going to be pretty achievable  
17 with this sort of day-ahead persistence approach, that  
18 you can get about 80 percent of that same capacity credit  
19 at least with -- if you have long duration storage.

20           If you have fairly short duration storage and  
21 we only have a couple of hours, then it becomes pretty  
22 important to dispatch that storage in exactly the right  
23 times, and so that makes it so that forecasting becomes  
24 much more valuable, and doing this based on what you

1 observed yesterday is not going to achieve the outcomes  
2 that you want. And, again, that was particularly true  
3 for the City of Tallahassee, where in this worst case if  
4 you just had one hour of storage duration and you used  
5 sort of yesterday's information, you'd only achieve about  
6 30 percent of the capacity credit results that we showed  
7 earlier.

8           Okay. So that covers it for what we have  
9 looked at with this capacity credit part of it. Now what  
10 I'll jump to in the next couple of slides is to start  
11 zooming in a little bit more on what's happening within  
12 the hour. So a lot of what we were describing is sort of  
13 something you can do on an hourly basis, and we're  
14 looking out over the whole year and we're sort of  
15 focusing on these longer-term planning issues.

16           With variability we're starting to talk about  
17 more of what's happening within the hour, and it becomes  
18 much more of an operational issue. And a number of  
19 studies -- actually, a number of models don't do very  
20 well at sort of looking at these operational issues in  
21 that short term. And so a lot of studies have done these  
22 integration cost estimates to sort of fill in those gaps  
23 and say if our models can't really capture that very  
24 well, what's missing from it and how much might that

1 short-term variability cost. Next slide.

2 So we've seen that a number of entities have  
3 conducted some of these studies to estimate integration  
4 cost. There's a lot more literature out there on wind,  
5 and it goes back into the late '90s, early 2000s in the  
6 U.S, and then there's a few studies that have been done  
7 on solar. There's an increasing number of studies that  
8 have been done on solar, but the data I'm going to show  
9 you is somewhat dated because we haven't tracked that as  
10 closely.

11 One of the things that you do see, though, is  
12 that there can be a huge variation in these integration  
13 costs. We do see a lot of variation from study to study.  
14 And part of that has to do with the different resource  
15 mix that if I'm integrating wind or solar into a system  
16 that has a lot of inflexible baseload units, for example,  
17 that's going to have a different impact than if I have a  
18 system that's got a lot of flexible small combustion  
19 turbines that can fire up and help out a lot. So that  
20 resource mix matters.

21 Institutional setting matters a lot. If we  
22 have very large balancing authorities that are sort of  
23 coordinating over a very large footprint, and we're doing  
24 that through things like organized wholesale markets or

1 things like the energy and balance market in the West,  
2 that may make it easier to integrate this variability  
3 than if you go to a setting like a municipal utility  
4 that's running its own balancing authority. So if I have  
5 a very small utility with a very small footprint, the  
6 integration challenges are going to be much larger in  
7 that case. So that institutional setting matters quite a  
8 bit.

9           The final part is that there isn't really a  
10 standard way to define these integration costs, and there  
11 really isn't a standard methodology for it. There are  
12 some best practices that are out there, and some studies  
13 kind of follow those to different degrees.

14           And part of these integration costs, again, is  
15 that you have to sort of identify what's the purpose of  
16 it. What role is it fulfilling and why do I need this  
17 integration cost estimate? And in some contexts the  
18 reason why people will do these studies is for integrated  
19 resource planning. Again, they might have a capacity  
20 expansion model or a production cost model that is going  
21 to drive a lot of their decision making about what assets  
22 to add and what sort of costs they have, and those models  
23 don't do very well at really capturing some of this very  
24 short-time scale operational issues. And so integration

1 cost studies can be designed to sort of fill in those  
2 particular gaps. And so some of these studies have been  
3 designed in that particular way, whereas others have not  
4 as much.

5 And so, again, you just sort of have to phrase  
6 this question of what is the purpose of this integration  
7 cost and what aspects are maybe missing from sort of what  
8 our standard methods are that we're going to be filling  
9 in with this integration cost study. Next slide.

10 So as part of an annual market tracking report,  
11 for a number of years we've done a survey where we'll  
12 just go out and look to see what sort of integration cost  
13 studies have been done over the years, and we'll collect  
14 that information and then put it into this chart here.  
15 So this has been something that's, I think -- I think  
16 we've done this at least through -- since 2007, so it's a  
17 number of years, and we just add data points to it as  
18 they come along. This, again, focused on wind. And it  
19 suffers from all of these limitations that I mentioned  
20 before, that there are a lot of different variations and  
21 methodologies and institutional settings and resource  
22 mixes, but at the end of the day you sort of get this  
23 range of integration cost. And then there's different  
24 amounts of wind that are being added in each of these



1 studies.

2 I think one of the things that stands out to us  
3 is that a lot of them tend to cluster in somewhere  
4 below \$5 a MWh. There's a few outliers that have this  
5 extremely high cost that ramps up pretty high. The one  
6 that stands out here I believe is from Idaho Power, which  
7 is sort of a fairly small balancing authority that has a  
8 lot of wind that's being added to it, and so they sort of  
9 face in their studies, they face increasing cost of  
10 trying to integrate that wind into their system, and  
11 that's what these costs reflect; whereas in other places,  
12 if you go to some of those ones on the very bottom,  
13 Southwest Power Pool, for example, is a place that has a  
14 lot of wind, but it's spread out over a fairly large  
15 footprint, and the studies that have been done there show  
16 a fairly low integration cost below \$2 a MWh even for  
17 very large amounts of wind. Next slide.

18 COMMISSIONER DUFFLEY: Mr. Mills?

19 DR. MILLS: Yes.

20 COMMISSIONER DUFFLEY: So the Idaho Power  
21 example, is that because of transmission upgrades or  
22 what's --

23 DR. MILLS: No. Oftentimes these are just  
24 going to be driven by operational costs. So a lot of

1 times what you might do --

2 COMMISSIONER DUFFLEY: Just the operation --

3 DR. MILLS: -- is you might sort of say here  
4 would be what my cost of the system would be if I had a  
5 certain resource mix and maybe a certain amount of wind  
6 that's predictable and not variable within the hour. And  
7 then I might look at -- because of the true  
8 unpredictability and variability of that wind, I might  
9 have to increase my reserves or do these different things  
10 on an operational basis that will then impose cost, and  
11 you're just isolating those operational costs. So it  
12 really comes from startup and shutdown costs, sort of  
13 running your power plants at part load, and then any sort  
14 of additional capacity cost associated with reserves.  
15 Next slide.

16 So for solar, again, we don't track this as  
17 regularly. There was a nice kind of meta-analysis that  
18 was done by Synapse a number of years ago, and they  
19 grabbed a number of integration cost studies that had  
20 been done for solar across the U.S. There are -- again,  
21 one of the things that we see is that a lot of these sort  
22 of show something in the sub \$5 per MWh range, but  
23 there's a lot less to look at here.

24 One of the studies that's listed as APS-Argonne

1 2013 is one that I was a lead author for, so we worked  
2 closely with Arizona Public Service to look at trying to  
3 quantify these integration costs in the context of their  
4 integrated resource planning. And so we were  
5 specifically trying to identify those things that are  
6 missing from their production cost model and do a very  
7 detailed operational model and then look at the  
8 difference in those costs and then quantify that and come  
9 up with it. So really this is driven by primarily two  
10 factors. One of them is your ability to forecast solar  
11 on a day-ahead basis and the fact that you have to make  
12 some decisions about which units to turn on and off. And  
13 the second is sort of that within the hour variability  
14 that caused them to have to hold more reserves, and so we  
15 quantify the additional cost of those reserves.

16 And in our study we had some various  
17 sensitivities and ranges on that. The number that  
18 Synapse pulled from that was probably our base case where  
19 it was somewhere south of \$4 per MWh.

20 COMMISSIONER CLODFELTER: I'm not going to go  
21 into the substance of it because we probably shouldn't do  
22 that in the context of this hearing. I'm just -- so this  
23 is really just a question of curiosity. Do you have any  
24 familiarity with the study that was done for Duke Energy

1 by Astrapé on solar integration cost?

2 DR. MILLS: Only in sort of preparing for this  
3 where I've skimmed some of the documents that have been  
4 done about it, yeah. And I do know that one of the  
5 things that, you know, they quantify in there is the  
6 additional reserve requirements.

7 COMMISSIONER CLODFELTER: Right.

8 DR. MILLS: Those didn't stand out as being  
9 remarkably different from what we had come up with. And  
10 then I think in general, some of their methodology is  
11 different than what we had done with ours, and I don't  
12 fully understand the implications of some of those  
13 differences.

14 COMMISSIONER CLODFELTER: I didn't mean to get  
15 into the substance of it.

16 DR. MILLS: Okay. Sure.

17 COMMISSIONER CLODFELTER: I just -- because I  
18 don't think we should do that --

19 DR. MILLS: Okay. Yeah.

20 COMMISSIONER CLODFELTER: -- here, but just  
21 wanted to know if you're familiar with it.

22 DR. MILLS: Yeah. And I guess just for  
23 context, just on that last one I think that the numbers  
24 from the Astrapé study are somewhere even below the \$2

1 MWh, they're somewhere in that range or around there, so  
2 kind of on the low end of what this is seeing. Okay.  
3 Next slide.

4 I think one of the things that to us jumps out  
5 is that these costs are not particularly high. So this  
6 is sort of you're quantifying the cost of all of the  
7 within hour variability and some of the forecast ability  
8 issues of solar, and they don't jump out as being, you  
9 know, these huge numbers. You know, if you're talking  
10 something that's down in the couple dollars a MWh range,  
11 that sometimes can be surprising. And a lot of that does  
12 come from the fact that when you -- these studies are  
13 being done, oftentimes what you're doing is that you're  
14 looking at trying to find those additional reserves that  
15 you might require or dispatch of your power plants when  
16 you're aggregating all of that solar over the footprint  
17 of your balancing authority.

18 And so in our case when we were doing this with  
19 the Arizona Public Service, we were looking over, you  
20 know, largely from Yuma to Phoenix or so, which is, you  
21 know, on the order of a few hundred miles of distance and  
22 a lot of solar plants being distributed throughout that.  
23 And so what's happening at an individual plant is that as  
24 a cloud passes over, you might see a huge variation in

1     that power plant output, but that variation won't  
2     necessarily be correlated with what happens at the  
3     neighboring plant and then the one that's a few hundred  
4     miles down the road, so as you start to aggregate that,  
5     and the power system can act a little bit like a big  
6     bathtub, you can tend to smooth out a lot of those  
7     variations.

8                 So this chart here is from that study that we  
9     did where it shows our modeling of individual power  
10    plants, solar PV plants, there were 32 of them in the red  
11    lines on the left, and then shows what happened on a  
12    fairly clear day relative to a day that was partly  
13    cloudy. So on the clear day you can see that for the  
14    most part, the power plants come online early morning,  
15    have fairly steady input, output during the day, and then  
16    drop off at night. You do see some instances where  
17    clouds come over and different things were slightly  
18    affected, but it's not very large. And so then the  
19    aggregate output is fairly smooth in the black lines on  
20    the right.

21                Then the next day we had quite a bit of  
22    variability that was happening, and you can see that some  
23    of these power plants are jumping between nearly their  
24    full output and zero output as those clouds are passing

1     overhead. So we see at an individual plant you're going  
2     to see a huge amount of variation that would occur, but  
3     as we aggregate that over the balancing authority  
4     footprint, that for this amount of solar you see a -- you  
5     never see an instance where it's going to jump through  
6     that full range. We do see more variability on the  
7     partly cloudy day, but it's not nearly as bad as it is at  
8     an individual power plant.

9             And so that means as we're looking at what the  
10    costs are from a system perspective to manage that  
11    variability, the reserves that we're adding are not  
12    reserves based on sort of each individual plant, but  
13    instead it's sort of that residual aggregated output.  
14    And so you might end up finding that the amount of  
15    reserves that you require to manage that sub-hourly  
16    variability might only be, say, a few percentage of the  
17    PV nameplate capacity. So if we have 1,000 MW of PV, we  
18    might need something on the order of 10 or 15 MW of  
19    reserves, but it's not 1,000 MW of reserves that we add.  
20    And so that's why some of these costs are actually quite  
21    a bit lower than you might otherwise expect. It does  
22    have to do with that aggregation.

23            And that sort of sets up for why I'm going to  
24    go into this next stuff, where we're going to look at

1     trying to control variability at an individual power  
2     plant using storage, and that's because in places like  
3     Florida where you have municipal utilities who are their  
4     own balancing authorities, they don't have that ability  
5     to aggregate over a large footprint. They're looking at  
6     an individual city, and so everything is sort of  
7     happening very locally and they are running into issues  
8     managing that variability at a very local level, so you  
9     then turn to solutions at the plant level. In North  
10    Carolina, on the other hand, you do have balancing  
11    authorities that span nearly the state footprint. Okay.  
12    So next slide.

13                So that's going to tee up this last part where,  
14    again, what we're going to be looking at is sort of  
15    driven by some of the questions that came up in our work  
16    with Florida, was really just to look at if we did start  
17    to restrict how much variability we wanted from an  
18    individual power plant, what would -- how -- what would  
19    it take to do that using storage. And then our question  
20    was how much would that cost to do that? How much would  
21    you have to pay in terms of storage? And then let's  
22    start to compare that to some of these previous  
23    integration studies. They're not exactly comparable.  
24    They're not apples to apples, necessarily, but in terms



1 of orders of magnitude, we can kind of start to get a  
2 little bit of a sense of if doing it locally with storage  
3 might have somewhat comparable cost to doing it through  
4 aggregating at the balancing authority level. Next  
5 slide, please.

6 So the first thing we needed to do was to size  
7 the storage system in order to meet some of these ramps,  
8 so a key parameter that we're going to be looking at is a  
9 ramp control requirement. And so if we have a --  
10 basically, a ramp control requirement says what's the  
11 maximum ramp that a PV plant can go through per minute in  
12 terms of the percentage of its nameplate capacity per  
13 minute. And that would be a restriction that we're going  
14 to apply, whereas if you have something that's 20 percent  
15 per minute, that's pretty relaxed. You know, with a  
16 completely uncontrolled plant you might see something  
17 that would go as high as 50 percent per minute or  
18 something like that. So you might go to 20 percent, and  
19 then if you want to get really strict, you can go down  
20 to, say, like 2 percent per minute. So you're saying the  
21 most the PV and storage plant can fluctuate is 2 percent  
22 per minute. And in order to meet that, a different sort  
23 of ramp control limit, you'll need different sizes of  
24 storage.

1           So the blue line in this chart just shows how  
2   you might expect a PV plant output to suddenly drop away  
3   as a cloud passes overhead, and then the orange line  
4   would be what would be the maximum ramp that would be  
5   allowed, given how you've defined your ramp control  
6   limit. And the gap between those two is going to sort of  
7   define the size of the storage that you're going to need.

8           And so just to kind of put some numbers on  
9   this, the middle column in here shows the battery  
10   duration in minutes that are required to be able to meet  
11   different ramp control limits. So if we go to the 10  
12   percent case, that means that this combined PV and  
13   storage plant will ramp no more than 10 percent per  
14   minute, and the battery size that's required to do that  
15   has a duration of about eight minutes. It means that we  
16   could fully discharge that battery in eight minutes if we  
17   were to run at full output. As we start to go to a more  
18   strict requirement, again, if you go down to 2 percent or  
19   so, we might require a battery that's more like 45  
20   minutes, or down to 1 percent it's a battery that's  
21   longer than one hour in duration. The other thing is  
22   that the nameplate capacity of this battery has to be  
23   pretty comparable to the solar PV nameplate. These are  
24   -- you can expect, again, something -- at an individual

1 plant you can see nearly the entire nameplate capacity  
2 drop-off because of clouds. So the size -- the nameplate  
3 capacity of that battery is pretty large, and then its  
4 duration depends on that ramp control limit.

5 So here's just an example in the next slide to  
6 illustrate what this looks like. So in the red lines we,  
7 again, have sort of our PV system that would be  
8 uncontrolled, and this is the fluctuations you might  
9 expect. On the left-hand side now it's a fairly clear  
10 day with not a lot of clouds passing overhead. And then  
11 the chart on the right we have a partly cloudy day. And  
12 this is data now from Florida, where one of the features  
13 is that you have a lot of low, fast moving clouds, so you  
14 can see a lot of variability coming out of individual PV  
15 plants.

16 So if we impose this ramp control limit, and in  
17 this case I'm illustrating 5 percent, what that means is  
18 that the battery is going to act in a way that limits the  
19 ramp rate of that aggregate system to the dark blue line  
20 that's sort of overlayed over that. So we still have  
21 variability, we still have some fluctuations that are  
22 happening from the combined plant, but the ramp rate will  
23 no longer exceed 5 percent per minute. And in order to  
24 do that, that battery is going to have to be discharging

1 and charging fairly rapidly as those clouds are passing  
2 overhead, and then that means that the -- and that's  
3 what's shown in the middle chart there. And then below  
4 that is the sort of remaining energy in the battery so  
5 its state of charge, essentially. And you can see that  
6 it's moving through various parts of the cycle there, but  
7 we're never going to sort of -- we never depleted the  
8 battery at all, so even on this fairly cloudy day we move  
9 through a lot of the energy part of it, but we don't  
10 deplete it.

11 And so this is a methodology -- this is a  
12 fairly simple control algorithm that is something that is  
13 implementable today. It doesn't require any advance  
14 forecasting or perfect foresight or anything like that.  
15 It's just something that you could implement with a  
16 battery and PV storage system, and as long as you size  
17 that battery sufficiently, you'd be able to meet that  
18 ramp control limit that you had specified. Okay. So the  
19 next slide.

20 So our question was to take sort of this  
21 control model, a particular ramp limit in a particular PV  
22 plant, and combine those things to size our battery and  
23 then dispatch that battery so we can come up with what  
24 the battery -- what sort of cycling you would have

1 required from that. And then what we did is we passed  
2 that off to an NREL tool that's called the System Advisor  
3 Model, and recently they've added the ability to dispatch  
4 and look at lifetime of batteries in that model.

5           So we take our minute-by-minute dispatch  
6 profile from whatever case we've just run and we feed  
7 that over into the SAM Model, which will then look at  
8 what that means in terms of the performance of the  
9 battery and how -- in particular, how much it's going to  
10 degrade that battery as it's run in that way. And one of  
11 the things it will specify is that if that battery goes  
12 down to 80 percent of its original capacity, we need to  
13 replace it. So it has to -- as you cycle it more and  
14 more, it's going to degrade the battery, and then we  
15 allow that to occur up to 80 percent of its original  
16 capacity, and then we swap it out with a new one. And so  
17 that means that we're going to have an upfront cost and  
18 then some replacement cost over the lifetime.

19           And we take all that information out of the SAM  
20 Model and then come up with sort of an overall cost of  
21 these systems, sort of how often they have to be  
22 replaced, and then what the costs are per unit of solar.

23           And slide 24. That's all summarized here. So  
24 we have two different cases that we did this with. We

1 have a PV plant that's from the City of Tallahassee.  
2 That's in the orange bars that are taller. And then we  
3 have a PV plant that's from Jacksonville that's a lot  
4 larger of a PV plant. So Tallahassee has a 75 kW plant  
5 that's fairly small, and then Jacksonville has this 12.5  
6 MW PV plant. And otherwise we keep everything the same,  
7 so it's just that these are two different sized power  
8 plants.

9 And then what the different bars here are  
10 representing is if you go from the right to the left,  
11 that's increasing the stringency of that ramp rate, so  
12 we're trying to make this a smoother and smoother output  
13 at the individual PV site. And in order to do that,  
14 again, we had to size that battery larger and larger, and  
15 having a larger battery means that we're going to end up  
16 increasing the cost of that system. And so in order to  
17 meet that stricter ramp rate requirement, we will have a  
18 higher and higher cost. And the cost that we show here  
19 are taking that incremental cost of the battery per unit  
20 of solar energy that's put out there.

21 So you might think about it as if I had a solar  
22 power purchase agreement price, you know, maybe something  
23 -- these days people are sort of talking about like 30 to  
24 \$40 per MWh, and that was for an uncontrolled PV system.

1 If I now say now I need you to meet this ramp control  
2 limit, I'm going to specify this ramp control limit, and  
3 that person goes out and buys a battery and sticks it on  
4 top of that PV plant, their cost will increase by the  
5 amount that's shown on the vertical axis. That's our  
6 sort of estimate of how much the PPA price would have to  
7 go up to make that make sense for them. And then the  
8 dots here just show how often those batteries have to be  
9 replaced over 25 years.

10 So I think one of the things that stands out in  
11 my mind is that these numbers are oftentimes higher than  
12 what the integration costs are that we talked about. So,  
13 you know, again, some of the range of those integration  
14 costs did go pretty high. They might go, in extreme  
15 cases, as high as \$20 a MWh, but most of them clustered  
16 in that \$5 per MWh range or somewhat smaller. And so  
17 from what we've seen here with -- you know, it's a pretty  
18 simple analysis that we did, so we didn't go into a lot  
19 of advanced controls or a lot of different things, but we  
20 saw that by doing that at the plant level, it could be  
21 pretty expensive relative to some of those integration  
22 costs.

23 And then the difference between the orange and  
24 the blue bars is in part kind of, again, comes back to

1     this storyline, is why are integration costs not higher,  
2     and that's because of that aggregation effect. And so if  
3     we have a small PV plant that's only 75 kW and we're  
4     going to chase around every single variation, we're going  
5     to do a lot more moving of that battery and we're going  
6     to replace that battery a lot more frequently.

7             On the other hand, if we had a larger PV  
8     system, that even within the footprint of that plant  
9     we're already starting to smooth out some of that  
10    variation, the battery doesn't have to move as much,  
11    doesn't have to chase as often, and so it won't be  
12    degraded as quickly and you won't have to replace it as  
13    often. So we think that the difference between the  
14    orange and blue bars are largely driven by some of that  
15    aggregation effect even within the individual plant level  
16    that can occur. And so if you extend that out and kind  
17    of think about what would happen if you go to multiple  
18    plants or a balancing authority, you might start to need  
19    less and less of a battery to achieve that.

20            The last couple of slides here -- go to the  
21    next slide -- are just to kind of wrap up what we've  
22    talked about today. Again, I think a couple of key  
23    points just are that we did see that this capacity credit  
24    of solar did vary quite a bit, and that often had to do



1 with the differences in load pattern, so sort of  
2 understanding what the -- what's driving the load here  
3 and how that may differ from what you've seen in the past  
4 or from what people experience in different parts of it  
5 are important for understanding that. And then for the  
6 role of storage, that really understanding how many hours  
7 of duration you have really is going to affect the  
8 capacity contribution of storage. And then if you start  
9 to combine these things within the same power plant, then  
10 if they're sharing infrastructure, if they're sharing an  
11 inverter and interconnection, that might actually start  
12 to limit the capacity credit that you would get if you  
13 have batteries that are sized comparable to that PV  
14 system.

15           You know, I showed some evidence that we've  
16 seen where by smoothing over a larger footprint, we're  
17 able to lessen some of these integration challenges. If  
18 that's not an option and you really have to do it at the  
19 power plant level, there are some ways to do that. You  
20 can sort of do that through specifying these ramp rate  
21 limitations, but there are costs associated with that and  
22 they may be higher than some of these integration costs.  
23 And, again, how strict you want to be on those ramp  
24 requirements is going to dictate the cost of that. And

1     that these small batteries are going to be seeing large  
2     charge and discharge cycles, and that's really going to  
3     cause the degradation of them that is an important  
4     factor.

5             And then the last slide -- go to the next  
6     slide, please -- is just to, you know, acknowledge that  
7     there are a lot of different directions you can go with  
8     this and there's a lot of questions. We're sort of just  
9     scratching the surface to get an idea of what are some of  
10    the important questions.

11            And so one of them could be is that there are  
12    different ways to control the batteries in these cases,  
13    so we're specifying a fairly simple, easy to implement  
14    method, and maybe there are ways that you could control  
15    that battery that could still achieve some of these same  
16    outcomes without degrading the battery as much. And so  
17    those might be an upper limit on some of those costs.

18            And, again, one of the things you want to think  
19    about is that rather than trying to control it at an  
20    individual plant, that there might be ways to sort of  
21    take advantage of geographic diversity to smooth out some  
22    of those ramps prior to trying to control that individual  
23    plant.

24            And then, you know, thinking about things about

1 some of the flexibility from PV curtailment is another  
2 option that we didn't go into or dispatching from the PV  
3 itself, and then looking at what the costs are from those  
4 dispatchable generators. That's really where the  
5 integration costs come in handy.

6 And a final thing to acknowledge, I think, is,  
7 again, these were kind of different aspects that we  
8 looked at, and we never did try to combine or we didn't  
9 successfully combine a single battery that's providing  
10 both this sort of resource adequacy contribution and  
11 ramping at the same time. That's likely something it  
12 could possibly do is to get multiple services out of it,  
13 and that might then have somewhat different cost  
14 indications that what we've shown here. We've sort of  
15 done this as independent study so far.

16 So that does it. And we have a few more  
17 minutes for any additional questions.

18 CHAIR MITCHELL: Question, just to follow up on  
19 the last point you made.

20 DR. MILLS: Yeah.

21 CHAIR MITCHELL: So it is possible for a  
22 battery to serve both use cases?

23 DR. MILLS: Yeah. I think the -- I think part  
24 of it comes from the fact that these are sort of

1 operating over different time scales, that the capacity  
2 credit stuff is a lot of what you're going into, and  
3 you're thinking about the resources that you need to have  
4 on the grid from a planning perspective, whereas the ramp  
5 control stuff is really something that you're doing on  
6 the operational side, and oftentimes those peak demand  
7 needs might sort of align with when you'd be doing this  
8 from the battery anyway. So they don't necessarily  
9 collide with each other.

10 And we did a little bit of this trying to dig  
11 into that, and we don't have anything to share with that,  
12 but so far what we were able to see is that we could  
13 achieve pretty much the same capacity credit from this  
14 battery if you had like a four-hour battery, plus do that  
15 ramping control of it. Now, what the cost implications  
16 are and those sort of things, that's what we didn't get  
17 into, but it is something that's possible.

18 CHAIR MITCHELL: Okay. Thank you. Additional  
19 questions?

20 MR. MCDOWELL: I've got one, Andrew.

21 DR. MILLS: Yeah.

22 MR. MCDOWELL: I gather from your evaluation of  
23 what integration services cost look like compared to  
24 utilizing storage to mitigate that cost, there's not

1 really a value proposition there because -- based on your  
2 modeling anyway?

3 DR. MILLS: Yeah. And I think this kind of  
4 goes back to what Dr. Taft said, that if you're kind of  
5 thinking about only deploying that storage on the edge at  
6 that individual sort of isolated system, you really are  
7 potentially losing out on some opportunities.

8 So that is what we found, is that, you know, if  
9 you had -- if you're faced with a choice of do I  
10 aggregate at the system level first and then deal with  
11 whatever is left over or do I smooth everything out at  
12 the individual locations first and then sort of, you  
13 know, balance the system from there, we see some  
14 suggestion that it's cheaper to do that if you're  
15 aggregating at the system level.

16 Now, I think one more aspect to that, though,  
17 that we didn't go into is that what if you had storage  
18 out at that PV plant, but instead of controlling that  
19 storage, just to follow whatever that individual plant is  
20 doing and had some way to coordinate across that and say  
21 that storage could actually be providing a system asset,  
22 I could send it a signal that says, hey, right now it  
23 would be really valuable for you to dispatch in this  
24 particular way and I could get a service from that

1 battery that would be system dependent rather than, you  
2 know, just watching what's the cloud doing overhead right  
3 now.

4 MR. MCDOWELL: Right.

5 DR. MILLS: And that -- there is a value  
6 proposition potentially there, but it does require  
7 coordination of some sort of mechanism for doing that.

8 MR. MCDOWELL: Okay. Thank you.

9 CHAIR MITCHELL: Any additional questions?

10 (No response.)

11 CHAIR MITCHELL: All right. Dr. Taft, Dr.  
12 Mills, we very much appreciate your coming to be here  
13 with us today, and the information and materials you've  
14 shared, it's been very insightful and helpful to us. And  
15 with that, hearing nothing further, we will be adjourned.  
16 Thank you.

17 (The proceedings were adjourned.)

18

19

20

21

22

23

24

STATE OF NORTH CAROLINA


COUNTY OF WAKE

C E R T I F I C A T E

I, Linda S. Garrett, Notary Public/Court Reporter,  
do hereby certify that the foregoing hearing before the  
North Carolina Utilities Commission in Docket No. E-100,  
Sub 164, was taken and transcribed under my supervision;  
and that the foregoing pages constitute a true and  
accurate transcript of said Hearing.

I do further certify that I am not of counsel for,  
or in the employment of either of the parties to this  
action, nor am I interested in the results of this  
action.

IN WITNESS WHEREOF, I have hereunto subscribed my  
name this 3rd day of March, 2020.



Linda S. Garrett

Notary Public No. 19971700150