

1 PLACE: Dobbs Building, Raleigh, North Carolina

2 DATE: Monday, February 24, 2020

3 TIME: 1:00 p.m. - 2:36 p.m.

4 DOCKET NO.: E-100, Sub 164

5 BEFORE: Chair Charlotte A. Mitchell

6 Commissioner ToNola D. Brown-Bland

7 Commissioner Lyons Gray

8 Commissioner Daniel G. Clodfelter

9 Commissioner Kimberly W. Duffley

10 Commissioner Jeffrey A. Hughes

11 Commissioner Floyd B. McKissick, Jr.

12  
13 IN THE MATTER OF:

14 Storage as a Transmission Asset, Codes and Standards

15 Presentation by:

16 Jeremy Twitchell, Energy Research Analyst,

17 Pacific Northwest National Laboratory

18 and

19 Matthew Paiss, Technical Advisor,

20 Battery Materials & Systems Group,

21 Pacific Northwest National Laboratory

22  
23 VOLUME: 6

24  
NORTH CAROLINA UTILITIES COMMISSION

## P R O C E E D I N G S

CHAIR MITCHELL: Good afternoon and welcome. I'm Charlotte Mitchell, Chair of the North Carolina Utilities Commission, and with me this afternoon are Commissioners ToNola D. Brown-Bland, Lyons Gray, Daniel Clodfelter, Kimberly Duffley, Jeff Hughes, and Floyd McKissick, Jr.

This is the sixth in a series of presentations pursuant to the Commission's September 4th, 2019 Order Initiating Investigation in Docket Number E-100, Sub 164 in which the Commission has initiated a series of educational presentations by experts on energy storage related topics.

We're happy to have with us today Jeremy Twitchell and Matt Paiss. Jeremy is with us again, actually. Jeremy is an Energy Research Analyst at the Pacific Northwest National Lab and Matt is a Technical Advisor in the Battery Materials & Systems Group also at PNNL.

Our speakers will be working from slide decks that will be displayed on the monitors here in the hearing room. The slides have been posted on the Commission's website in this docket for your review. Our court reporter is creating a transcript that will

1 also be filed in the docket and available on the  
2 Commission's website.

3           These sessions are structured for the  
4 benefit of the Commission's learning and understanding  
5 of the topics presented and the speakers will be asked  
6 to share their expertise and answer the Commissioners'  
7 questions as they have them. People in the audience  
8 won't have an opportunity to ask questions; however,  
9 if you'd like to file information in this docket in  
10 response to what you hear today or if you'd like to  
11 suggest other expert speakers or present -- or topics  
12 on which the Commission could hear presentations,  
13 please do so by filing those comments or suggestions  
14 in this docket for our future planning.

15           All right. Gentlemen, if it's okay with  
16 you, we'd like to ask you questions as you go through  
17 your presentations. Okay. And with that we will move  
18 forward. I think Mr. Twitchell, you are up first --

19           MR. TWITCHELL: Okay.

20           CHAIR MITCHELL: -- is that correct? Okay.  
21 Please proceed.

22           MR. TWITCHELL: All right. Well, thank you.  
23 It's a pleasure to be here again. Thanks for having  
24 us back. I'll take it that the first presentation was

1     okay since you had me back.

2                 So where is the -- the first presentation  
3     that we gave was kind of more general in nature. You  
4     know, it was kind of the basics of energy storage,  
5     different types of technology. Today I'll be diving  
6     into one topic in particular, energy storage and  
7     transmission applications using storage as a  
8     transmission asset.

9                 So just first, again, the -- our presence  
10    here -- yes, sir.

11                COMMISSIONER GRAY: If you'll pull it  
12    towards you.

13                MR. TWITCHELL: Oh, okay. Is that better?

14                COMMISSIONER GRAY: Thank you.

15                MR. TWITCHELL: Okay. Lean in. So our  
16    presence here today, most of this work that I'm  
17    presenting was funded -- well, all of this work was  
18    funded by the Department of Energy through a couple of  
19    different avenues. We get funding through the Office  
20    of Electricity under the leadership of Dr. Imre Gyuk  
21    to do a lot of this work. The Storage as a  
22    Transmission Asset project that I'll be presenting is  
23    actually funded through the Water Power Technologies  
24    Office at DOE.

1           So agenda for today, I'll talk a little bit  
2 about, first, I was informed by staff that there was a  
3 request to talk about backfeeding issues on the  
4 distribution grid. The caveat here is that I am not a  
5 distribution engineer. I did talk to a very smart  
6 distribution engineer to answer some of those  
7 foundational questions that were posed and I will do  
8 my best. And if there are still questions, I can  
9 connect you with people who are much smarter in that  
10 area than I am.

11           Then we'll get into storage as a  
12 transmission asset, a little bit of the historical  
13 background for how we got to this point, you know, why  
14 we're having this conversation. A little bit about  
15 the technological capabilities of storage in that  
16 space.

17           Then we'll talk about FERC's policy  
18 statement on storage as a dual-use asset where it's  
19 doing transmission services as well as market  
20 services, grid services.

21           And then I'll talk a little bit about the  
22 project that we're doing to identify and hopefully  
23 reduce some of those barriers.

24           So backfeeding. The basic principle here is

1     that the distribution systems that we have, the  
2     distribution lines that we have were designed for  
3     one-way flows. And I'm a big fan of clip art as  
4     you'll see in this deck. I made fun of myself a lot  
5     last time I gave a presentation like this, but I'm  
6     told that it works, so hopefully it will work here as  
7     well.

8             So because our distribution system is  
9     designed for one-way flows, there's a few key points.  
10    As we move away from the energization source through  
11    the substation, voltage decreases. Think of it like a  
12    water pipeline and as -- and voltage is like the  
13    pressure and the longer we go and the more withdrawals  
14    we have, the lower the pressure we have, the lower the  
15    voltage we have.

16            So what we do, and those are the engineering  
17    symbols for voltage regulators and switch capacitors,  
18    we just -- we have things along the line to kind of  
19    act almost like a dam to capture that voltage, step it  
20    up, and then, you know, keep it high as we move down  
21    the line.

22            Another implication is that if we have a  
23    fault at any point on the circuit, it can disrupt the  
24    entire circuit. And so we add automatic circuit

1    reclosers along the way. We add things that can  
2    basically sectionalize parts of the distribution grid  
3    if there is a fault and minimize the impact to broader  
4    customers.

5            And then as we move away from the  
6    substation, wire diameters tend to decrease. You  
7    know, right by the substation we have to have large  
8    wires to carry all the energy that's leaving the  
9    substation, but as we move down the line and we're  
10   serving fewer and fewer customers, to save costs  
11   those -- the wires tend to get smaller and smaller and  
12   smaller. The implication there is that those smaller  
13   wires near the end of the feeder have much lower  
14   thermal ratings, which means they can carry much less  
15   electricity on them as well. So the key overarching  
16   point here is that traditional grid architecture and  
17   protection schemes are based on one-way flows.

18            So a few points to remember here is since  
19   this is all based on a one-way power flow, injecting  
20   power at multiple points can interfere with those  
21   schemes. So, for example, if we have voltage  
22   regulators along the way and we have too much  
23   distributed energy on the distribution line and we're  
24   having backflow, what that does to the voltage

1 regulator is it misinterprets the flow, and so it  
2 essentially switches to the wrong end of its range and  
3 basically effectively shuts down.

4 Automatic circuit reclosers, their job is to  
5 isolate a section of the line, but if a DER is still  
6 energizing that line, that may create safety risks for  
7 utility personnel as they're trying to fix the fault.

8 The point at which backfeeding becomes a  
9 problem is highly situational and it depends on a  
10 whole lot of factors. Again, the wire diameter,  
11 thermal rating. The closer you are to the substation  
12 the more flows you can accommodate. The farther away,  
13 the fewer flows you can accommodate. So adding a  
14 DER -- excuse me -- a DER to the same feeder can have  
15 different impacts whether you're connecting close to  
16 the substation or far away from the substation.

17 You have to take into account the protection  
18 schemes. How has the utility planned to manage this  
19 distribution feeder? What are the -- where are the  
20 reclosers? How do they control those reclosers? You  
21 know, what do they plan to do in the case of a fault?  
22 How quickly do they work through that?

23 And then the type of the interconnection.  
24 So, you know, these Legacy interconnections, things



1 that were connected more than a few years ago, we had  
2 different standards back then. These devices weren't  
3 allowed to regulate voltage. They weren't allowed to  
4 stay connected to the grid in the case of a fault.  
5 And so when you're looking at the impact of adding  
6 another DER, you have to look at what are the impacts  
7 of the DERs we already have. Are the DERs that are  
8 connected to the -- to this distribution feeder  
9 capable of providing voltage support, capable of  
10 riding through an outage? Or do we have those Legacy  
11 DERs that are just going to shut down any time there's  
12 a problem? And as we've seen in Hawaii and other  
13 states that had a whole lot of Legacy interconnections  
14 like that, that creates a whole different set of  
15 problems, because then when you get a minor  
16 interruption on the system and you lose all those  
17 devices, those Legacy devices that automatically  
18 disconnect, then the problem starts to snowball. So  
19 again, just the impact of adding the next DER is  
20 largely informed by the types of interconnections you  
21 already have on the line.

22 So the takeaway here is this is why we do  
23 interconnection studies. You know, no two feeders are  
24 the same. Even on the same feeder no two projects are

1 the same. The impact of the next DER is going to be  
2 shaped by all these factors. How has the utility  
3 designed the feeder? What kinds of resources are  
4 already there?

5 So it's hard to say, you know, just kind of  
6 draw a line in the sand and say this is the point  
7 where DERs are going to cause problems, going to  
8 create backfeeding on a distribution line. A general  
9 rule of thumb at which it becomes a good idea to  
10 really look into this issue and really dive into it in  
11 the interconnection study is that about 15 percent of  
12 feeder capacity is where you could potentially start  
13 to see some problems. But again, that number may be  
14 higher or lower depending on the specific feeder in  
15 question.

16 Oh, yeah. So that's all I had for  
17 backfeeding. I don't know if that -- I hope that I've  
18 answered the type of questions that the staff and the  
19 Commission had, but if there are any others, I'd be  
20 happy to do my best.

21 Okay. All right. Let's move on to  
22 transmission. So the key principle when we're talking  
23 about energy storage in a transmission setting is to  
24 remember that on the transmission system even a line

1 that is fully subscribed, has all its capacity, has  
2 been purchased, there is still going to be several  
3 hours every day where some of that capacity, maybe  
4 even large portions of that capacity are not being  
5 used.

6 So the transmission system is like any other  
7 part of the grid. We design it for our peak need, but  
8 we're only at the peak need for a few hours of the  
9 year, and so all those other hours of the year, all  
10 those other hours of the day there's unused capacity.

11 So, for example, WECC does this study every  
12 year where they look at not the subscription, not the  
13 ownership rights on the transmission system, but the  
14 actual utilization. How are these lines being used?  
15 And what they have found is that, you know, region  
16 wide for almost 94 percent of the time in 2018, their  
17 transmission lines were being used at less than 75  
18 percent of their rated capacity. You know, if you  
19 flip that the other way, they exceeded 90 percent of  
20 their rated capacity just 1.3 hours of the year.  
21 So -- excuse me -- 1.3 percent. Thank you. 1.3  
22 percent of the hours of the year. So even though all  
23 those rights are fully owned, they are not being used  
24 most of the time.

1           So just as an example of where storage comes  
2 in, so we have a city being served by a transmission  
3 line. As the city grows, that transmission line is no  
4 longer big enough to meet peak needs in the city. So  
5 we have a couple of options. We can add more  
6 transmission to serve our growing needs or we can add  
7 storage behind the constraint, and then what that  
8 allows us to do is use that first transmission line  
9 during all those hours with unused capacity to  
10 essentially fill the storage. And then at peak when  
11 that transmission line is being fully utilized, we can  
12 use that storage behind the constraints to meet local  
13 needs.

14           So --

15           CHAIR MITCHELL: Jeremy, I'm going to -- can  
16 I ask you --

17           MR. TWITCHELL: Of course.

18           CHAIR MITCHELL: -- sort of just a series of  
19 questions, probably pretty basic questions on this  
20 transmission capacity point you made --

21           MR. TWITCHELL: Okay.

22           CHAIR MITCHELL: -- previously.

23           MR. TWITCHELL: Uh-huh (yes).

24           CHAIR MITCHELL: So is it safe for a

1 transmission line to be -- for a hundred percent of a  
2 transmission line's capacity to be utilized? I mean,  
3 do we want to get to that point?

4 MR. TWITCHELL: Yeah, and we will. We  
5 likely will during certain points of the year. You  
6 know, at the peak, those few peak hours of the year  
7 we're probably there. One of the things to keep in  
8 mind is that when we're talking about what a  
9 transmission line -- transmission line's rating is  
10 it's about the thermal load. So as electricity moves  
11 through it, it heats up. And so what we're really --  
12 when we talk about this capacity, we're really talking  
13 about what's its maximum temperature before it  
14 starts -- you know, as they heat up the lines soften  
15 and they start to sag --

16 CHAIR MITCHELL: Okay.

17 MR. TWITCHELL: -- and if they sag too much  
18 they can hit other things and cause flashover, cause  
19 fires, cause other problems. So there's actually a  
20 lot of work taking place right now. Usually when we  
21 talk about these thermal ratings, we just use one  
22 static rating and say here's how much capacity it can  
23 hold at any time. There's work being done right now  
24 to do more of a dynamic rating to say that well, you

1 know, if the ambient temperature is colder, then the  
2 line can get hotter before we have a problem. There's  
3 a whole lot of work that would go into that type of  
4 thing, but --

5 So these ratings are generally fairly  
6 conservative, so yes, it is safe for them to be at a  
7 hundred percent if you're at -- if you have a very hot  
8 day, you know, unseasonably hot, you know, like a  
9 one-in-a-hundred-year-type heatwave, you may not be  
10 able to quite go to a hundred percent, but there are  
11 -- there are processes in place to create some safety  
12 when we're in those situations.

13 CHAIR MITCHELL: Okay. So I notice that you  
14 use 90 percent of rated capacity.

15 MR. TWITCHELL: Uh-huh (yes).

16 CHAIR MITCHELL: Is that sort of -- is that  
17 just a number that you utilized or is that some  
18 industry or accepted standard of safety or where, you  
19 know --

20 MR. TWITCHELL: So that's just -- that's  
21 just actual utilization.

22 CHAIR MITCHELL: So that's just real --  
23 that's from real data?

24 MR. TWITCHELL: Yeah, that's from real data.

1 CHAIR MITCHELL: Okay. Got it.

2 MR. TWITCHELL: Yeah. And again, it's that  
3 same principle. You know, we -- because we have to  
4 build the grid to meet peak needs plus reserves, we  
5 effectively end up with an oversized grid and we're  
6 very rarely if ever actually using a hundred percent  
7 of the generation we have or the transmission capacity  
8 we have. Under normal operating conditions there's  
9 excess.

10 CHAIR MITCHELL: Okay. Got it. Thank you.

11 MR. TWITCHELL: So this case where we're  
12 using energy storage to defer or displace additional  
13 transmission infrastructure, this is the high value  
14 use case for storage in a transmission setting. There  
15 are other things it can do. Things like providing  
16 voltage support, relieving those thermal constraints  
17 and allowing -- do get more use out of a line. But  
18 when you're talking about where the money is, it's in  
19 this case where it's deferring additional  
20 infrastructure.

21 So why are we having this conversation? So  
22 way back in 2005, Congress in the Energy Policy Act of  
23 2005 said, you know, there's this suite of  
24 technologies that while they're not traditional

1 transmission infrastructure they can be used in a way  
2 that will increase the reliability and the  
3 functionality of the transmission system, and they  
4 listed energy storage among those. And there were  
5 other ones like demand response, energy efficiency,  
6 changing the way we dispatch, things like that.

7 FERC in Order 890 back in 2007, this is  
8 where FERC said okay, so all these utilities that own  
9 transmission lines, interstate transmission lines,  
10 when you're planning for your future needs, you need  
11 to have a transparent process. You need to allow your  
12 stakeholders, allow developers to be at the table and  
13 understand how you're planning the system and where  
14 they can potentially fit in.

15 Another thing FERC did in Order 890 was say  
16 that demand response is a viable alternative to  
17 additional transmission infrastructure.

18 FERC came back in 2011 with Order 1000 and  
19 this is where they said okay, these transparent  
20 planning processes for transmission, these are great,  
21 but they need to be bigger than just the single  
22 utility. We need to coordinate these on a regional  
23 basis. You need to talk to your neighbors, coordinate  
24 and collaborate with your neighbors. And they also



1 adopted that energy policy language of 2005 where they  
2 identified this whole suite of technologies that can  
3 be alternatives to transmission including energy  
4 storage.

5 And you can see there on the map how these  
6 regional transmission planning authorities have been  
7 set up. Where there is an ISO or an RTO, the ISO  
8 generally performs that transmission planning function  
9 in vertically integrated states like here in the  
10 Southeast and in the Northwest. They're basically  
11 just loose collaborations of utility groups that get  
12 together and do this function.

13 So in 2008 and 2010, FERC got two filings  
14 from companies that wanted to build pumped hydro  
15 facilities -- pumped hydro storage facilities in the  
16 California market to serve as transmission assets.  
17 And to the first one FERC said no and to the second  
18 one FERC said yes. And as you can see here in the  
19 slide, there was a whole lot of nuance into those two  
20 filings. The one that FERC rejected, the developer  
21 said well, we're just going to turn this asset over to  
22 CAISO. CAISO can bid it into the market at zero  
23 dollars, and then use it however they want.

24 The second developer said -- basically said

1 we will just -- we will operate it as a transmission  
2 asset under CAISO direction and we won't ever bid it  
3 into the market. And so FERC, they saw a lot of  
4 nuance here why they approved one and said no to the  
5 other. But it became clear over the years as these  
6 cases were cited by others and the developers were  
7 appealing things that that nuance had generally been  
8 lost.

9           So in 2017, FERC came out with this policy  
10 statement to clarify, look, storage can be a dual-use  
11 asset. It can provide transmission services and it  
12 can provide, you know, market services, grid services,  
13 but it has to be subject to these principles. You  
14 know, it can't have double recovery of cost. You have  
15 to minimize adverse impacts on markets. And the grid  
16 operators' independence must not be compromised.

17           So this a nonbuying policy statement, so it  
18 doesn't require anybody to do anything. But CAISO and  
19 MISO have both had proceedings to try and figure this  
20 out. And we've learned a lot from those.

21           So CAISO's key principles in their  
22 proceeding was they say all right, for storage to be a  
23 dual-use asset to provide these two functions it has  
24 to be selected through the transmission planning

1 process and then it can't be allowed to potentially  
2 provide market services, but it can't come in through  
3 the market door and then provide transmission  
4 services.

5           Whether it can provide market services will  
6 be a case-by-case basis. If we selected it through  
7 the transmission planning process to meet some  
8 unpredictable reliability need like an N-1 scenario  
9 where something on the grid goes down and the storage  
10 is the backup to that, then it can participate in the  
11 market, because we just don't know when we'll need it  
12 for transmission. Short of that, it would just be a  
13 case-by-case determination about when and how it can  
14 provide those functions.

15           So the rest of that gets into some specific  
16 market areas that I think aren't necessarily as  
17 relevant here in a vertically integrated territory,  
18 but the one point that I want to make -- actually  
19 we'll just jump ahead, respectful of everyone's time.

20           So when we're analyzing energy storage, you  
21 know, our economics team has analyzed a lot of  
22 different projects and where there has been an  
23 opportunity to defer or displace a transmission line,  
24 that is a huge value. There is a lot of opportunity

1     there.

2                   And so what you're seeing here is an  
3     analysis that our team did of a project in  
4     Massachusetts on Nantucket Island.  They were -- they  
5     have two undersea cables and they were nearing  
6     capacity on those and were weighing the possibility of  
7     needing a third undersea cable to meet the island's  
8     needs.  They asked our team to identify and analyze  
9     some alternatives for them, and so what they found was  
10    that by putting an energy storage device and a small  
11    generator on there is a -- I believe it was a 5 MW  
12    diesel generator, they could defer that third line and  
13    resolve a lot of reliability issues on the Island.

14                  So what you see there on the benefit side is  
15    that big huge chunk on top, that's the benefits of  
16    deferring that transmission cable, not needing to do  
17    that transmission cable right away.  But then you can  
18    see all of these other grid benefits that have been  
19    incorporated as well.

20                  Now, this has been a huge issue in the  
21    organized markets, because in the organized markets we  
22    have this -- we have separated functions where the  
23    market entity is doing one function and the  
24    transmission entity is doing another function and

1 those don't coordinate very well, and we'll talk more  
2 about that in a minute. In a vertically integrated  
3 territory where the utility is performing all of those  
4 functions, this is less of a barrier. You know, the  
5 same utility that would be using the device for a  
6 transmission application is also the same utility that  
7 would be using it for grid services, so it becomes  
8 less of a barrier, but we still have this valuation  
9 challenge.

10 The way we do transmission planning, we  
11 don't traditionally look at those grid benefits. We  
12 don't traditionally analyze what are those grid  
13 benefits that we can provide. And so what we end up  
14 with is this chasm. So this transmission process,  
15 it's tightly regulated. If I'm a utility who owns  
16 transmission, my transmission is regulated by FERC.  
17 FERC is telling me how much I can make off that  
18 transmission. I'm being compensated based on cost of  
19 service, and all of that planning is done through some  
20 kind of centralized regional planning process.

21 On the generation side, there's a bit more  
22 competition whether in a deregulated market or a  
23 vertically integrated market, you know, through the  
24 procurement process, through PURPA, there's some

1 degree of competition on the generation side.

2 But we have this regulatory chasm,  
3 because -- so taking that example from the previous  
4 slide, if we're bifurcating those benefits, if we're  
5 cutting out the transmission benefits and only looking  
6 at those benefits through the transmission lens, and  
7 then we're only looking at the generation benefits  
8 through, you know, an IRP or similar process, we're  
9 only looking at part of the benefits in either case.  
10 And that really is the fundamental challenge with  
11 energy storage from the beginning is how do you  
12 account for these benefits that aren't captured in our  
13 traditional models.

14 When I was here the first time, I talked  
15 about from the IRP lens about how we don't look at  
16 things like ancillary services, like flexibility, and  
17 as we better understand those and incorporate those  
18 into the model, we become more capable of identifying  
19 cost-effective products.

20 Well, here we have a similar problem where  
21 we have these benefits that our traditional models  
22 aren't capturing. When we're looking on the  
23 transmission side, we're not looking at those  
24 generation benefits. When we're looking on the

1 generation side, we're not looking at those  
2 transmission benefits.

3 So the project we have with the Water Power  
4 Office right now is we're trying to create a bridge  
5 for that process. We're trying to understand how can  
6 we create this -- a participation model for dual-use  
7 storage where it's providing transmission and it's  
8 providing grid services. How can we generate models  
9 that are capable of considering all those benefits?  
10 Because again, as FERC has indicated and as the CAISO  
11 process said these resources have to come in through  
12 the transmission planning process. And if the  
13 transmission planning process is only looking at those  
14 transmission benefits, it's much less likely to  
15 identify cost-effective opportunities for energy  
16 storage even if those benefits may be there.

17 COMMISSIONER DUFFLEY: Excuse me.

18 MR. TWITCHELL: Yeah.

19 COMMISSIONER DUFFLEY: If we could go  
20 back --

21 MR. TWITCHELL: Yeah.

22 COMMISSIONER DUFFLEY: -- two slides. So I  
23 just wanted you to talk a little bit more about, you  
24 have a bullet point here, transmission deferral is a

1 potentially high-value application for energy  
2 storage --

3 MR. TWITCHELL: Uh-huh (yes).

4 COMMISSIONER DUFFLEY: -- and you mentioned  
5 the, I guess, on the left-hand side are you saying  
6 that the deferral of transmission is that light blue,  
7 Carolina blue bar?

8 MR. TWITCHELL: Yeah.

9 COMMISSIONER DUFFLEY: Is transmission  
10 deferral always high-value potential?

11 MR. TWITCHELL: It is, because transmission  
12 infrastructure is incredibly expensive. It's very  
13 capital intensive. So to build a transmission line,  
14 to build a transmission project, it requires a lot of  
15 upfront dollars, it requires, you know, complicated  
16 permitting processes. So, you know, there are capital  
17 costs, there are legal costs, there are delays and a  
18 whole lot of costs, so anytime that you can defer  
19 that, push out even just a few years, then it's just  
20 essentially a time value of money thing. Where I have  
21 instead of spending this, you know, \$10 million  
22 upfront, now I have this \$10 million in my pocket and  
23 I can earn on it for the next, you know, five or seven  
24 years or however long I deferred it. And so that's



1     what this analysis did.

2             I think they deferred the line for I believe  
3     seven years, and so that benefit is just the time  
4     value of money benefit of deferring that capital  
5     investment out for seven years.

6             COMMISSIONER DUFFLEY: Thank you.

7             MR. TWITCHELL: Yeah.

8             MS. JONES: But just to clarify on  
9     Commissioner Duffley's question, there are some  
10    transmission projects that can't be avoided with  
11    storage.

12            MR. TWITCHELL: Absolutely.

13            MS. JONES: Okay.

14            MR. TWITCHELL: Absolutely.

15            MS. JONES: Like if you need it for an N-1  
16    contingency, there's sometimes when you just can't.

17            MR. TWITCHELL: Well, it would depend on  
18    what the specific contingency is.

19            MS. JONES: Thank you.

20            MR. TWITCHELL: Yeah. Yeah. But that is  
21    absolutely true.

22            And so, you know, one key point here is this  
23    happened in ISO New England, but because of ISO New  
24    England's rules for transmission cost allocation, this

1 was a low voltage project that was designed to serve a  
2 single utility's customers and in those cases ISO New  
3 England says, all right utility, you're responsible  
4 for that. So in this case National Grid was able to  
5 defer that and capture all those benefits, and that's  
6 the advantage of being, you know, the vertically  
7 integrated utility has is if it defers that  
8 transmission benefit, it immediately captures all  
9 those benefits. It's not dependent on some kind of  
10 market mechanism or some kind of regional cost  
11 allocation.

12 Well, let me back up. It's less likely to  
13 be dependent on some kind of regional cost allocation  
14 process to capture those benefits.

15 But -- yeah. I'll just stop there, less  
16 likely.

17 So what our project is doing, it's a joint  
18 project between us and Argon National Laboratory and  
19 what we're trying to do essentially is figure out what  
20 are these barriers. From a transmission planning and  
21 operation's perspective, what are the barriers that  
22 prevent us from capturing the full benefits of energy  
23 storage, from capturing the market barriers or --  
24 excuse me -- these market benefits, these grid

1 benefits that it can provide, and incorporating that  
2 into the process? How can we recognize and account  
3 for those benefits in the transmission planning  
4 process?

5 So year one what we're doing is trying to  
6 identify what are those barriers and come up with a  
7 model for dual-use storage. You know, what kind of  
8 contracts would have to be in place? What kinds of  
9 processes would have to be in place? Dispatch rules,  
10 things like that.

11 And then Argon at the same time in year one  
12 is developing a capacity equivalence model that says  
13 okay, so if I have, you know, one, you know, kilovolt  
14 of transmission, how many megawatts of storage would  
15 be functional or the functional equivalent to that  
16 based on my use case.

17 And then year two we'll do a full  
18 techno-economic analysis to say okay, once we figured  
19 out how to put this all in place, how to have a model  
20 that accounts for these benefits, what are those  
21 benefits? What does that model look like that  
22 considers the full range of benefits of energy storage  
23 from that transmission planning process?

24 So my final slide here is just a call for

1 input on a couple of fronts. So first in this  
2 HydroWIREs project, this storage and transmission  
3 asset project we're looking for people who have been  
4 active in this space who have an interest in this  
5 space and using storage as a transmission asset to  
6 help us understand, you know, specific barriers in,  
7 you know, one region of the country or another region  
8 of the country, one market structure or another.

9 Also, I wanted to just do a plug for the  
10 Energy Storage Grand Challenge that the Department of  
11 Energy just announced last month. If you haven't  
12 heard of this, there's a link to it. But the idea  
13 here is that for years now the Department of Energy  
14 has been funding a whole lot of work in the storage  
15 space but through a lot of different programs and a  
16 lot of different projects. You've heard from some of  
17 those different programs and projects in this docket.

18 And so what DOE is trying to do here is, you  
19 know, let's coordinate a little bit better, let's get  
20 everyone in the same room, let's give everyone, you  
21 know, some common objectives, some common goals, and  
22 give everyone a direction to go.

23 And so to do that they've identified these  
24 five areas; technology developments; technology

1 transfer. That's basically just, you know, we do a  
2 lot of R&D at the labs developing new types of energy  
3 storage, how do we actually turn that into commercial  
4 projects better. We don't have the best track record  
5 of that. Policy and valuation issues. Manufacturing  
6 and supply chain. And then workforce development.

7 And so there's a series of regional  
8 workshops you can see there. If you're interested and  
9 able to attend any of those, that would -- we would  
10 certainly welcome that. There will also be formal  
11 comment processes coming in the near future. And  
12 we're looking especially for the perspective of, you  
13 know, of regulators, of people who are directly  
14 involved in these proceedings to help us understand  
15 what kind of work should we be doing to better inform  
16 the information needs that you see.

17 And with that, I'm happy to take any  
18 lingering questions.

19 CHAIR MITCHELL: Thank you, Jeremy. Any  
20 questions for Jeremy before he hands it over?  
21 Questions from staff? Steve?

22 MR. MCDOWELL: The benefits that you were  
23 discussing that's from a revenue requirements  
24 perspective not necessarily from the utility's asset

1 and earnings potential perspective, its revenues --  
2 revenue requirements?

3 MR. TWITCHELL: So the cost side -- yes, the  
4 cost side is the revenue requirement for the asset to  
5 do the storage asset. And then the benefit side does  
6 include, you know, again, the time value --

7 MR. MCDOWELL: The alternative.

8 MR. TWITCHELL: -- of deferring the  
9 transmission line. And you can also have some other  
10 services there. Outage mitigation on the Island.  
11 They had poor reliability on the Island, and so this  
12 storage plus generation facility could mitigate some  
13 of that. There were some market benefits from  
14 regulation in the capacity market. Little ones,  
15 but -- yeah, so the cost side is revenue requirement.  
16 Benefits side are just all the market benefits, the  
17 deferral benefits.

18 MR. MCDOWELL: Are there any social costs,  
19 carbon or whatever included in that analysis?

20 MR. TWITCHELL: No. So our economics team  
21 is very disciplined and so they -- because we're  
22 working in this regulatory space, we only do the  
23 monetizable benefits.

24 MR. MCDOWELL: Yeah.

1           MR. TWITCHELL: So had this been some place  
2 like, you know, like California or somewhere where  
3 there were a means of benefiting or -- of capturing,  
4 monetizing some kind of carbon benefits potentially,  
5 but that was not something that was considered here.

6           MR. MCDOWELL: So the modeling that the --  
7 that allows you to do this, it's -- it requires more  
8 extensive models and tools than traditional integrated  
9 resource planning functions. Can you speak to that  
10 any?

11           MR. TWITCHELL: Yeah. So IRPs are getting  
12 increasingly good at capturing all the generation-side  
13 benefits of energy storage. You know, I know Duke is  
14 actively exploring this space and improving their  
15 capacity and a lot of utilities are in that same boat.

16           The challenge here is that while we're  
17 getting increasingly good at modeling energy storage  
18 on the generation side, we have not done that on the  
19 transmission side. You know, despite all those rules  
20 and laws and policies I identified over the years, if  
21 you look at the transmission planning processes around  
22 the country, storage is just, it's not really on the  
23 radar.

24           So -- and that's because when we do

1 transmission planning, we're just looking at -- well,  
2 I shouldn't say just looking, but we're primarily  
3 focused on power flows and how does the power flow and  
4 where do we need reinforcement for the system, where  
5 do we need additional capacity for new resources,  
6 things like that. And so where there are benefits  
7 from doing a non-wires alternative or where there are  
8 potentially market benefits that could theoretically  
9 be captured, we don't have models generally that do  
10 that. And part of the problem is because we have that  
11 regulatory gap where, you know, I don't necessarily  
12 have a mechanism for capturing those generation-side  
13 benefits. Less of an issue, less of a challenge in a  
14 vertically integrated state, but still, still  
15 complicated.

16 MR. MCDOWELL: So in this analysis that's on  
17 the screen, what would cause them to be interested in  
18 finding an alternative to the additional wire? What  
19 was the impetus behind that?

20 MR. TWITCHELL: So mainly because of the way  
21 the transmission cost allocations would've worked in  
22 this place, that utility National Grid would've been  
23 solely responsible for building that wire. They  
24 couldn't have spread those costs out through the ISO.



1 And so for them it was just is there a way to do this  
2 that's less expensive than us building a third wire.

3 COMMISSIONER HUGHES: I think maybe where  
4 you are going, and I'm very curious, is the economic  
5 incentive modeling of particularly with a rate base  
6 versus who is going to recover and how do you  
7 incentivize innovation. Has your team looked at that  
8 kind of -- you know, from a utility's perspective  
9 where should they be spending research dollars because  
10 it would capture future economic benefit?

11 MR. TWITCHELL: So are you asking for  
12 storage in general or storage in this transmission  
13 case?

14 COMMISSIONER HUGHES: In your particular  
15 case. So, you know, weighing off what is going to be  
16 driving, you know, the market. I mean, just take for  
17 example innovation, you know, is the Company going to  
18 spend a lot of money researching storage that once  
19 they build the storage they're going to lose out on a  
20 significant rate of return for transmission that they  
21 would've otherwise built?

22 MR. TWITCHELL: Okay. Yeah. It's -- that  
23 is a really good question. And we actually -- I was  
24 actually at FERC last week having that same discussion

1 as that's part of the challenge here is FERC and  
2 Congress for years have said, you know, there are  
3 these other alternatives that you should be  
4 considering in the transmission planning process. But  
5 we pay utilities to build things. We pay utilities to  
6 invest. And so, you know, you started to see kind of  
7 this move in the regulatory community to do  
8 performance-based ratemaking for utilities to kind of  
9 reduce or eliminate that incentive to build and own  
10 things. And there has been some discussion about, you  
11 know, maybe there will be a need for something like  
12 that on the transmission side to break that incentive  
13 for utilities, because you're absolute right.

14 In this case, you know, the stars aligned  
15 and it made sense, but this is an exception. The  
16 general rule is there. Under the general way we do  
17 things, there isn't a really clear incentive for  
18 utilities to look at non-wire alternatives and so  
19 that's why this is the exception and why we're hoping  
20 to lend a little more clarity to this space and maybe  
21 a little more information.

22 COMMISSIONER HUGHES: Just to be clear, I  
23 mean, I'm not sure this is the exception, because even  
24 though the utility was responsible, were they not

1     allowed -- they weren't allowed to pass it onto the  
2     ISO, but were they allowed to pass it onto their own  
3     ratepayers?

4             MR. TWITCHELL:   Yeah.   I have to think they  
5     would have been.

6             COMMISSIONER HUGHES:   Right.   So then that's  
7     not an exception.   That's actually a really good  
8     example.

9             MR. TWITCHELL:   Well -- but, I mean -- but  
10    under most cases, you know, the utility -- there is no  
11    clear incentive for the utility to do this kind of  
12    analysis to look at this kind of alternative.

13            COMMISSIONER HUGHES:   Yeah.   And there  
14    wasn't in this case either.   I mean, I'm just -- if  
15    I -- if I understand it, because the utility was able  
16    to pass on its cost, not that they would want --

17            MR. TWITCHELL:   Yeah.

18            COMMISSIONER HUGHES:   -- to do this and, you  
19    know, I'm not saying the utilities want to pass on  
20    cost to customers, but just from a pure economic  
21    standpoint --

22            MR. TWITCHELL:   Right.

23            COMMISSIONER HUGHES:   -- I just don't see  
24    the incentives from a utility perspective for this.

1           MR. TWITCHELL: Okay. And point taken. And  
2 I couldn't tell you what the point of decision was for  
3 the utility, why they chose to engage us to ask this  
4 question. I honestly couldn't tell you. But I agree  
5 that the economic incentives for utilities are such  
6 that this is unlikely.

7           COMMISSIONER HUGHES: Yeah. No. I mean,  
8 and I know you totally should look after the customers  
9 too, so I -- but just from a pure economic standpoint.

10          MR. TWITCHELL: Yeah. Yeah.

11          COMMISSIONER HUGHES: Okay.

12          CHAIR MITCHELL: Any additional questions?  
13 Kim.

14          MS. JONES: I would just offer up as you do  
15 your project looking for barriers to more of this and  
16 I might have the wrong one, but I think it was either  
17 FERC Order 888 or 889 some 20-odd years ago, basically  
18 told the electric utilities you need to separate your  
19 market function from your transmission function and I  
20 know when I was on the industry side, we didn't talk  
21 to each other --

22          MR. TWITCHELL: Right.

23          MS. JONES: -- and it was on purpose,  
24 because we didn't want to run afoul of FERC's kind of

1 separation of duties policy and concerns about market  
2 manipulation, so --

3 MR. TWITCHELL: Well, it was illegal for you  
4 to talk to each other.

5 MS. JONES: Right.

6 MR. TWITCHELL: They --

7 MS. JONES: So we didn't do it.

8 MR. TWITCHELL: They've relaxed that a  
9 little bit now recognizing that there are some  
10 potential benefits in that coordination, but it's  
11 still a touchy space because they've said well, there  
12 are benefits, but you can't give your generation side  
13 an unfair advantage over other generators. So it's --  
14 my understanding is the utilities are still trying to  
15 feel their way through that space, but FERC has  
16 relaxed it somewhat.

17 CHAIR MITCHELL: Okay. Looks like there are  
18 no more questions.

19 MR. TWITCHELL: All right.

20 CHAIR MITCHELL: Thank you, Mr. Twitchell.

21 MR. TWITCHELL: Thank you.

22 MR. PAISS: All right. Well, thank you for  
23 inviting me here as well. The topic that I'm going to  
24 be addressing is very different. It is really a

1 safety discussion. And I'll just say that the topic  
2 of safety for a lot of people often isn't part of the  
3 initial equations, and with energy storage it's thrust  
4 itself in very unique manners. And so what I'm going  
5 to be covering here today is my role primarily is I'm  
6 a codes and standards geek. All right. I write a lot  
7 of the requirements that people that adopt codes and  
8 standards have to try and interpret and that's the  
9 challenge, is writing something so that somebody  
10 understands this is what they meant. Okay.

11 So PNNL has been very involved in energy  
12 storage codes and standards for a number of years and  
13 the impetus of that was DOE created an energy storage  
14 safety strategy about five years ago to help set the  
15 mark for research development for codes and standards  
16 to address potential issues.

17 And so, you know, these feed each other.  
18 You know a research will be done on a particular  
19 technology, it'll help guide the committees that are  
20 creating codes and standards, and those then need to  
21 be provided in some outreach and education to help  
22 users understand what those requirements are. And so  
23 these are kind of the three legs of the stools that  
24 PNNL's group is involved in.

1           So one of the objectives that I have as the  
2   lead on the safety codes and standards effort is one,  
3   being involved in the drafting of codes and standards,  
4   so I'm on a number of different committees; two, it's  
5   helping educate the users of those and understanding  
6   that there's a clear requirement for people to  
7   interpret. Interpretation is often a challenge with  
8   codes and standards, so we do a lot of outreach and  
9   education. And the ultimate goal is wide adoption of  
10   energy storage. It's very clear that this is going to  
11   be a massively adopted technology throughout the built  
12   environment.

13           So I'm going to just take a couple of  
14   slides -- I know that at the beginning of these  
15   discussions there was some explanation about basic  
16   technologies and chemistries. This will be a little,  
17   you know, review for that.

18           But in the different chemistries that are  
19   involved, one of them is flow batteries, and flow  
20   batteries is still very nascent in this space;  
21   however, it provides a lot of safety advantages that  
22   is driving its acceptance.

23           One of the more common ones is a vanadium  
24   redox. And, quite simply, flow batteries are two

1 tanks of electrolyte flowing across a membrane as a  
2 fuel cell and there is no fire hazard with that  
3 technology. There's no stranded energy risk with that  
4 technology. Once a battery is turned off and the  
5 fluid drains out of that stack, there is no more power  
6 available. So those key safety points are really  
7 significant when we look at some of the other higher  
8 energy dense technologies.

9           That's one of the disadvantages with flow  
10 batteries is they're -- the energy density is much  
11 lower. You need a lot more square footage to get the  
12 same storage. But there are outdoor applications  
13 where that is not an issue where you have huge fields  
14 of solar, and flow batteries can be an excellent  
15 source of storage in those applications.

16           Duration is the other real interest. A lot  
17 of the uses for lithium-ion, you know, kind of stretch  
18 beyond four to six hours of duration, and so when  
19 we're looking at long duration storage, one of the  
20 technologies that is available today is flow  
21 batteries. All it takes is increasing the amount of  
22 electrolyte to increase your duration.

23           Another one is the cycle life. There is no  
24 degradation of the electrolyte. It's so valuable that



1 some manufacturers just lease it, because there's a  
2 value stream in that electrolyte even at the end of  
3 the life of the battery itself. So that cycle life  
4 there is a significant selling point.

5 Now, when you get to lithium-ion, it is the  
6 highest energy dense chemistry available right now and  
7 there are a number of different chemistries within the  
8 lithium-ion family. The higher the energy density,  
9 the higher the potential volatility if something were  
10 to go wrong. So in this graphic right here, nickel  
11 manganese cobalt is one of the higher energy  
12 densities. Lithium cobalt oxide is a lower density.  
13 And as you go lower in the density, the safety  
14 increases.

15 So on the other side of the slide there,  
16 lithium iron phosphate is one of the lowest energy  
17 dense lithium-ion chemistries, but the other side of  
18 it is it has a higher safety feature. It's harder for  
19 it to get into thermal runaway. It can, but it takes  
20 a lot more energy. And then flow has none of those  
21 safety concerns.

22 So when we talk about safety, there's a  
23 number of ways that lithium-ion energy storage systems  
24 can fail and there's a variety of different failure

1 modes. They can be exposed to thermal abuse, and that  
2 could come from either a poorly designed HVAC system,  
3 no HVAC, being exposed to very high heat environments  
4 or outside. There's electrical abuse, which is  
5 typically overcharging. Okay.

6           Rapid discharging or unbalancing of cells.  
7 One of the -- one of the key factors in maintaining  
8 battery safety is that they are charged and discharged  
9 evenly. If you had a large collection of cells and a  
10 couple of those cells were charged at a very high rate  
11 and the other ones were seen by the battery management  
12 system to be a low rate of charge and it's attempting  
13 to charge that entire model, these ones that are  
14 already charged higher could be damaged. So balancing  
15 is very critical.

16           Mechanical abuse. This is more of an issue  
17 in the manufacturing process, not as much of a concern  
18 as a Utility Commission, but people that are  
19 manufacturing products with batteries need to have a  
20 high threshold for safety from the batteries arrival  
21 in their facility to it being shipped out as a  
22 finished product.

23           Internal defects. These could be a low  
24 quality control of the cell manufacturer itself, a

1 chemistry that perhaps degrades in a way that there  
2 could be internal defects created through multiple  
3 cycle life. These are often called dendrites. The  
4 quality of the separator between the anode and cathode  
5 that keeps these from shorting out.

6 And then environmental abuse. Seismic,  
7 flooding, again poorly designed HVAC. These are all  
8 potential failure modes that need to be considered in  
9 the procurement and design of a system.

10 When we talk about an actual fire, there is  
11 a common term used in the fire service and I came from  
12 the fire service, that's my background, and it's the  
13 fire tetrahedron. To put a fire out, you just have to  
14 take out one of those legs. It's either fuel, oxygen,  
15 or heat. Well, when we're talking about a lithium-ion  
16 battery, we're adding in another component; that's a  
17 chemical chain reaction. And now it's actually a fire  
18 tetrahedron.

19 And so to make this real simple, when we  
20 look at a lithium-ion battery that's gone into thermal  
21 runaway, some of these chemistries are creating their  
22 own oxygen in the process of that thermal runaway.  
23 There are metal oxides as part of some of these  
24 cathodes, so if you were to use a fire suppression

1 system that is based on reducing the oxygen, it's not  
2 going to work with lithium-ion chemistries, because  
3 they can combust in the absence of oxygen. And then  
4 what you can then create is a high atmosphere of  
5 flammable gases now. So I'll get more into that, but  
6 that's one of the challenges with putting fires out  
7 with lithium-ion batteries.

8           So thermal runaway, that's not a term --  
9 it's not a new term. You've all heard it. But  
10 basically it starts at heating and once the cell is  
11 raised up to a temperature 80 to 120 Celsius, the  
12 electrolyte and just a small amount of liquid  
13 electrolyte that's inside the cells it can become --  
14 start to volatilize and aerosolize and build up a lot  
15 of pressure inside that cell. The cell at some point  
16 has to release that pressure, and the vapors that are  
17 coming out can be very flammable.

18           The heat that's generated from that cell can  
19 propagate to neighboring cells, and then you can have  
20 a kind of a cycle of heating, propagation, fire, and  
21 external flame production.

22           I don't think we have audio in this one  
23 here. Let me see if this is going to play. So this  
24 is actually a -- there are people sitting on this

1 couch and this is a little scooter that's plugged in.  
2 So dad's getting up to unplug the scooter where a  
3 battery just popped.

4 Now, that's a pretty dramatic video. And  
5 let me answer both sides of the reactions here. There  
6 are manufacturers whose reaction is well, that's not a  
7 listed product. All right. That's not representative  
8 of the high level of safety in stationary energy  
9 storage systems. And I say to them you are a hundred  
10 percent accurate. All right. It's not a listed  
11 system. However, the cells that went into thermal  
12 runaway is the same chemistry that's put into the  
13 highest quality battery that's available today. So  
14 the potential of what we see there is there should  
15 cascading failures occur. Okay.

16 So I show this to point out a couple of  
17 different key points. One is the rate of gas release.  
18 The size of that battery in that scooter is probably  
19 500 watt hours. All right. For example, a Tesla  
20 power wall going inside my home would be 14 kWh, much  
21 larger. Now, that's not to say that the Tesla power  
22 wall or any other manufacturers' battery would fail in  
23 that same manner. I just want people to understand  
24 what is potentially available and why the codes and

1 standards are very important in these products.

2           So those gases that we saw released there is  
3 really a cocktail of a lot of different gases. The  
4 top gases there in gray are typically referred to as  
5 toxic gases and on the bottom are flammable gases with  
6 carbon monoxide being both. The majority of the gases  
7 released are hydrogen and carbon monoxide with about  
8 30 percent of volume each. Both of those are very  
9 flammable and, hence, that's the concern with  
10 addressing the gas release if there is a failure.

11           So what I'm moving into now is for the  
12 responder community. You know, that's one of the  
13 questions that they have is should we have  
14 installations in our area. How should we respond to a  
15 failure? And most of the fire departments around the  
16 US operate on what they call standard operating  
17 procedures or standard operating guidelines and, you  
18 know, we have -- there's an example of one there from  
19 the London Fire Brigade that had to do with solar  
20 responses. I used to work on creating training for  
21 solar incidents around the country.

22           Anyways, so the key points that the codes  
23 are addressing for the response community is  
24 identifying what they want to have into their standard

1 operating procedure; what the chemistry is; what the  
2 hazards of that particular chemistry. For example, a  
3 flow battery is going to have more of a caustic liquid  
4 release hazard, so containment and cleanup is going to  
5 be the issue. Something that's flammable is going to  
6 have different hazards.

7           When there is an incident the fire  
8 department needs to understand what they're responding  
9 to. We've had a couple of incidents in the country  
10 where when the fire department showed up, the experts  
11 on the scene which was either the manufacturer if it  
12 was an incident at an manufacturer's site, or the  
13 facility owner, they weren't quite clear what the  
14 hazards were with the batteries. It's still fairly  
15 early in this industry unfortunately. And so some of  
16 the information that was provided to the responders  
17 was not accurate.

18           So at the very beginning the fire department  
19 is going to want to determine if there is a life  
20 safety risk. Are these batteries installed in  
21 occupied buildings? Are they installed in a  
22 dedicated-use building where there is no life safety  
23 hazard? Very different risk profiles and response  
24 profiles for those.

1           Getting data from the battery is critical  
2     and this is one of the gap areas right now is being  
3     able to get data on the health of the battery.

4           What type of fire suppression system, if  
5     any, is involved? I mentioned earlier if you have a  
6     clean agent system, you might have an environment  
7     where you've depleted the oxygen -- and again, those  
8     clean agent systems work great on visible flame. So  
9     if you have fire in some wires, it'll work. If you  
10    have a thermal runaway, it won't work. And those  
11    gases can continue to be produced, so what you could  
12    actually have in that space is a very high  
13    flammability environment.

14           I'm going to talk about one event. This was  
15    the event that occurred in Arizona in April and it fed  
16    a lot of discussion of best practices that hopefully  
17    will make their way into the codes, but there is a  
18    long delay in codes.

19           The event that happened in April, the fire  
20    department was called by a bystander who was driving  
21    by and saw smoke and thought it was a grass fire.  
22    Fire department shows up to the substation, confirms  
23    it's not a grass fire but it is a fire in this battery  
24    enclosure. They knew it was a battery enclosure but



1 didn't have a lot of other details. A representative  
2 from the utility showed up, confirmed that it was a  
3 lithium-ion battery, but didn't have a lot of other  
4 information. They took their time. They called in a  
5 hazmat unit and they did a lot of sampling. They were  
6 getting high levels of hydrogen cyanide outside the  
7 battery, so that was causing them some concern.

8           At the same time the utility was wanting to  
9 have their facility back. There was not any signs of  
10 significant smoke production anymore, so it was felt  
11 that the fire was out. But those high levels of  
12 cyanide were what kept the fire department from saying  
13 okay, it looks like it's out, we can leave, you can  
14 have it again.

15           So it was determined to do some more  
16 sampling, open the door and so some sampling. The  
17 door was open. This was three hours after the  
18 original event. And about two minutes after the door  
19 was open, there was an explosion.

20           This is an image of one of the hose lines  
21 inside the fence line. There was some smoke coming  
22 from some of the pad-mounted transformers there.  
23 Here's a picture of the building. Those are HVAC  
24 units on the outside. There was eight of them. And

1 the fence which is about 20 feet away. This green  
2 mangled piece of metal was the door to the container,  
3 and when the explosion occurred, it was thrown off of  
4 its hinges out to the fence line. Significant amount  
5 of force to that door.

6 This is where two firefighters were stuffed  
7 underneath the fence and pushed another 50 feet away.  
8 The amount of force it took to push them was  
9 significant, and it stripped off a lot of their gear.  
10 This is where they landed, 73 feet away from the  
11 building.

12 And the -- why it's important to see these  
13 pictures is it's important to understand the force  
14 that was involved. It helps us to understand what  
15 took place in that explosion. It was a high  
16 deflagration rate. All right. A lot of carbon  
17 monoxide, potentially hydrogen as well.

18 And the key point here is that this is a  
19 system that was owned and operated by a utility remote  
20 from any, you know, civilians. Not a neighborhood  
21 substation, very remote and yet this occurred. So  
22 we'll talk a little bit about some of the best  
23 practices from this event.

24 There have been a number of other events

1 around the world. South Korea had close to 30 fires  
2 in the last two years with energy storage systems from  
3 a variety of reasons; from poor design, inadequate  
4 HVAC design, BMS failures, battery management system,  
5 and overall systems control failure.

6 One of the commonalities in all of these  
7 systems was that they were not listed to UL 9540.  
8 Okay. 9540 is a product standard for stationary  
9 energy storage systems that I'll get into here. It  
10 was just released a couple of years ago, so some of  
11 these earlier systems didn't have the opportunity, but  
12 in other countries they might not follow that listing  
13 requirement.

14 So when we look at the overall standards and  
15 the model codes hierarchy, when we start at the  
16 building itself, there are a number of fire codes that  
17 address that. There's the International Fire Code,  
18 the NFPA 1 Fire Code, International Residential Code,  
19 building code, Fire and Life Safety Code. When you  
20 get down to the actual installation of the energy  
21 storage system, NFPA 855 is the newest standard. It  
22 was just released this year. And there is also on the  
23 utility side IEEE C2 or otherwise known as a National  
24 Electric Safety Code, NESC. There's a number of other

1 documents. And also we have 9540A. That is a fire  
2 test method. And I'll talk a little bit more about  
3 that. And then NFPA 70 is the electric code.

4 So on the energy storage system itself, just  
5 the battery not how it's installed in the building,  
6 9540 is the listing for the energy storage system.  
7 There is a thermal energy storage standard, the ASME  
8 TES-1, and NFPA 791 is the standard for unlisted  
9 equipment. So if you have something that you want to  
10 have field evaluated, that's what they would be guided  
11 by.

12 And we talk about the individual components  
13 that are involved, there's a bunch of UL standards  
14 that go into the products. 1973 would be a standard  
15 for a battery and a BMS. 1974 would be for the  
16 inverters. Let's see. I'm sorry. 1974 is for  
17 second-use batteries. 1741 is inverters. IEEE 1547  
18 is the interconnection standard. So this is kind of a  
19 hierarchy of where these codes lie in these  
20 installations.

21 Now, when we talk about the fire code, North  
22 Carolina has adopted the 2015 fire code as part of  
23 their 2018 adoption process. It has very minimal  
24 provisions for energy storage systems as they live

1 today. It was really designed around UPSs and light  
2 acid technology. It just talked about one or two hour  
3 fire rated separations, no hazmat requirements. There  
4 was some spill control. A little bit of ventilation  
5 requirements. The battery quantities are unlimited  
6 and the location in the buildings are not regulated.  
7 So when it comes to having codes and standards to  
8 protect you for energy storage safety, you have a  
9 real, you know, absence or a real gap in this state.

10 This shows what states are on which cycles,  
11 and the yellow is the 2015 fire code. The green is  
12 the 2012. The blue, the great state of Kansas, is  
13 still on the 2008, I believe. The 2018 fire code is  
14 only adopted in a couple of states. And California is  
15 going to be jumping forward and adopting the language  
16 in the 2021 fire code next year. Some states have the  
17 ability to bring forth future versions. Every state  
18 is a little bit different. The states that are gray  
19 are NFPA states and they adopt the NFPA 1 fire code.

20 So NFPA 855 I mentioned earlier, this is a  
21 standard on stationary energy storage systems, and it  
22 is probably the most advanced code on addressing  
23 stationary energy storage. However, utilities  
24 typically do not adopt NFPA standards. They guide

1 themselves. They're self-regulated. Guide themselves  
2 by the NESC. Unfortunately, the NESC does not really  
3 address lithium-ion hazards. It's really, again, just  
4 for lead acid and it's more of a shall than a should  
5 document.

6           So looking forward to the 2018 version,  
7 there was a deep dive into lithium-ion hazards and  
8 there was some thresholds of when that code would take  
9 affect; basically 20 kWh. And it's a maximum  
10 allowable quantity 600 kWh, and that would kick you  
11 into another hazard class. Some size and spacing. We  
12 wanted to ensure that we're not putting too much  
13 energy too close together without there being some  
14 more studies that would guide the fire protection  
15 systems. And then the most important thing was they  
16 required a listing to 1973 or 9540.

17           So again, these are some of the threshold  
18 limits. The 2015 really addressed gallons or pounds.  
19 It doesn't really address the power and that was the  
20 appropriate unit of measurement. Pounds of  
21 lithium-ion was not -- it was not the right metric to  
22 use.

23           Maximum allowable quantities is what this  
24 means. I apologize for the acronym. In 2015, there

1 is no maximum. For the 2018 code, it was 600 kW  
2 within the building. Again, if you wanted to exceed  
3 that or put them closer together, you needed to do  
4 large-scale fire testing and have that guide, the  
5 design of the fire protection system. That  
6 large-scale fire testing is now what's known as 9540.

7 So the requirement was a maximum of 50 kWh  
8 for an unlisted unit or 250 kWh for a 9540 listed  
9 unit. Then separated by three feet unless there was  
10 in that testing it showed that there was no  
11 propagation when the unit was put on fire.

12 This area of explosion protection as you  
13 probably have gathered from that little video I played  
14 earlier is a really key component that's in the 2018  
15 fire code and NFP 855. We understood that the gas  
16 management is critical and there's two ways of meeting  
17 the intention of the code. Either allow deflagration  
18 venting, which in other words would direct an  
19 explosion to not damage the building and not be  
20 directed towards people, or through a ventilation  
21 system exhaust the gases before they got up to an  
22 explosive limit. So you could do one or the other in  
23 either the fire code or NFP 855.

24 So large-scale fire testing, again, these

1 are the conditions it wouldn't be needed under; a  
2 larger unit size, closer together, or increasing the  
3 total amount. It has to be done -- the testing has to  
4 be done by a nationally recognized lab to a certain  
5 standard, which is now 9540. And the 2021 fire code  
6 specifies that it has to be 9540A. The 2018 fire code  
7 just says large-scale fire testing. It was prior to  
8 9540 really being adopted widely.

9           So in the 2021 fire code, which is -- which  
10 will be published in I believe it's the fall or the  
11 summer of 2020, it adds operations and management to  
12 the requirements, retrofitting, commissioning.  
13 Essentially, the same language that's in 855 was put  
14 into the fire code. We really wanted to try and have  
15 some continuity between different code bodies. NFPA  
16 855 will probably not be adopted by itself. It'll be  
17 adopted through reference through the IFC or NFPA 1.  
18 As a matter of fact, NFPA 1, the section on energy  
19 storage, is going to be basically erased and it's just  
20 going to point towards 855. So 855 really will be the  
21 key document for energy storage, and because it's  
22 published now and available now, states can point to  
23 it.

24           I understand the Utility Commission doesn't



1 have the enforcement capabilities, but just letting  
2 you know of the gaps that exist here in this state and  
3 what's available.

4           So a little bit about 9540A test method. We  
5 really wanted to understand what happens when a  
6 battery fails and it catches fire. How big does the  
7 fire get? Can you control it and keep it from  
8 propagating to the rest of the entire battery system?  
9 And it's a very, very aggressive test that forces a  
10 battery into thermal runaway and it's done at a couple  
11 of different levels.

12           We start with the cell and they put the cell  
13 into thermal runaway to understand how much gases come  
14 out, what are those gas constituents, how much heat  
15 comes out. Then they do another test at the module  
16 level and they want to see do gases come out of these  
17 modules. And then they'll do the whole unit, the  
18 whole rack. And if fire comes out of that rack then,  
19 they then need to do what's called an installation  
20 level test, which would include any fire suppression  
21 systems that would be recommended for that. So it's a  
22 series of tests that are done all the way along.

23           For technologies that are -- that cannot go  
24 into thermal runaway, there is an offramp in the

1 testing. So for example, flow batteries. The flow  
2 battery cell cannot go into thermal runaway, so it  
3 achieves its 9540 listing or at least the 9540A  
4 listing from the cell-level test. But there are other  
5 features of 9540. The construction, the  
6 communications that all batteries need to go through.

7 So it's really important to understand how  
8 the gases are released. And again, this is one of the  
9 challenges with lithium-ion today. There are  
10 technologies that are being worked on in the lab that  
11 do not demonstrate thermal runaway capabilities;  
12 however, they're still several years away from  
13 marketability.

14 Again, on the unit-level testing we're  
15 looking at what effect it would have on neighboring  
16 combustible services; walls, other units. So this is  
17 just a little diagram of how UL would conduct this  
18 test and then where they'd be measuring temperatures.  
19 No flaming outside the unit. Or if there is, it  
20 doesn't increase the wall temperature above a certain  
21 rise. So no explosion hazard observed. Maximum  
22 temperature on adjoining walls no more than 97 C above  
23 ambient temperature.

24 So one of the requirements is that energy

1 storage systems cannot be put into habitable living  
2 spaces of a home. That might seem obvious based on  
3 the video, but there is a lot of people that would  
4 like to have resiliency down at the residential level.  
5 That is a big interest in California where we're  
6 experiencing the power safety shutdowns, and so the  
7 distributed generation and storage will occur at the  
8 residential level, and so those products, you know,  
9 having them be a safe technology installed in a safe  
10 location is of significant interest in California.

11 One of the challenges with the 9540A testing  
12 is in the past it had not had a pass/fail criteria.  
13 It would just generate a ream of data that then the  
14 AHJ was supposed to interpret and understand if that  
15 fire suppression system was adequate. And we advised  
16 you all that's not the best method, because a lot of  
17 AHJs don't have that technical expertise to do that,  
18 so now 9540A has pass/fail criteria in it. And all  
19 the AHJs would need to look at is that it has its 9540  
20 listing.

21 So best practices. We've had some failures.  
22 We've had some codes developed. How are we doing with  
23 the alignment of those? There are some gaps and we  
24 were educated by the failures on these gaps.

1           Exterior marking and visible alarm  
2       enunciation is one of those that responding community  
3       wants to see. They want to know as they're pulling up  
4       what they're pulling up to.

5           Gas detection. All right. It's important  
6       to understand what is inside that facility and there  
7       is some challenges with typical gas detection and  
8       there are some new technologies that are being able to  
9       detect off gas of those cells at very, very early  
10      stages.

11           We're seeing some value in multiple-stage  
12      suppression. So the clean agent that I mentioned  
13      earlier, that in a sense could almost be creating a  
14      bomb in that facility if it's a sealed up room. So  
15      the best practices are now looking at utilizing if you  
16      want to use a clean agent system to catch a visible  
17      fire, that's fine, but a suppression system based on  
18      water has been shown to be the best agent for pulling  
19      the heat out and actually controlling that fire. Full  
20      extinguishment has been found to take a very long  
21      time, so these are very delayed and extended events.

22           Smoke and heat sensors. All right. The  
23      heat sensor is very important. If you're utilizing  
24      that clean agent and it doesn't put out the thermal

1 runaway, we'll start to have an increase of heat again  
2 inside that room. It's important to understand that,  
3 so then you can then trigger the secondary system with  
4 water suppression.

5           An automatic exhaust system -- all right --  
6 with the sprinkler activation. If you have a clean  
7 agent system, you need to seal that building up tight,  
8 so that that clean agent can do its job. But after  
9 it's designed soak time they call it and you're moving  
10 to your next agent those gases have to be dealt with.  
11 So one of the best practices that we're looking at is  
12 an automatic exhaust to trigger when the sprinkler  
13 system goes off as well as a manual option so that  
14 responders could ensure that it is being ventilated  
15 prior to anyone gaining access.

16           One of the -- one of the things that we hear  
17 quite a bit by utilities that want to put in a remote  
18 system is they'll say if it's on fire, let it burn.  
19 We don't want anyone to risk injury. We don't want  
20 the firefighters to go in and, you know, what I share  
21 with them is at some point somebody is going to go in  
22 there. How do you know when that is the right point?  
23 How much data are you getting to know that, you know,  
24 it's not a hazardous environment inside or the thermal

1 runaway has stopped? So having the data from the  
2 battery management system from the environment inside  
3 is very important.

4 And this is what this bullet is talking  
5 about. The battery management system, if it is shut  
6 off at the first sign of a fire then you've lost  
7 communication with it. That was one of the problems  
8 that occurred in Arizona. Maintaining eyes on that  
9 condition for a very extended period of time is very  
10 important.

11 Currently battery management systems have no  
12 standard. They're all uniquely designed by the  
13 manufacturers to serve that battery. But as we know  
14 that there are very important safety features to keep  
15 that battery from getting too hot, overcharged, it's a  
16 safety feature, so it really has to have a standard.  
17 And there's two different standards that are being  
18 created right now that, you know, PNNL has staff  
19 working on it. But getting the data and maintaining  
20 an on-state for a long time is important.

21 Monitoring the temperature and the gas are  
22 very key metrics. Some batteries are designed to  
23 measure temperature within a module in multiple  
24 places. Some might only have two thermocouples on the

1 outside of a module. So really getting good  
2 temperature data is -- it's not standardized.

3 When it comes to an incident, understanding  
4 where those locations are. Some fire departments know  
5 where these installations are. Some have not been  
6 shared from the local utilities. And so having that  
7 data shared with responders is very important.

8 The planning of multiple scenarios, desktop  
9 simulations is very important. Much better to have  
10 that as a desktop exercise than the first time the  
11 fire department ever saw that battery, knew anything  
12 about it was when there was smoke coming from the  
13 building towards an occupied high-risk structure  
14 nearby.

15 Clear signage of the hazards as well as  
16 contact information. This is something that utilities  
17 are pretty good at is maintaining a callback number,  
18 but having the fire department show up first and not  
19 knowing who the most qualified person to show up is  
20 one of those gaps. And the qualified persons when it  
21 comes to energy storage is another gap.

22 Fire department in New York is establishing  
23 a program. They have something called a white hat  
24 program. All of their high rises have one person that

1 is trained in all of the building systems that  
2 responds to a designated location outside the building  
3 to liaison with the incident commander to assist them  
4 with that building's systems, and they are applying  
5 that same program to their energy storage systems that  
6 will eventually be in the high-rise buildings.  
7 They're not allowed yet in New York, but they will be  
8 soon.

9 So the priority, again, for the response  
10 community is life then property and then the  
11 environment. So rapid notification of 911 from, if  
12 it's a SCADA or control center, notifying 911 promptly  
13 is very important and has not happened always.

14 Determine if it's an evacuate or a  
15 shelter-in-place. Having the liaison work with the  
16 incident commander. Having that person who is that  
17 qualified knowledgeable individual is very important.

18 There have been incidents where that  
19 qualified person provided information to the fire  
20 department that said well, there's lithium in the  
21 barrier, you can't use water. And, you know, lithium  
22 metal is very different than lithium-ion. All right.  
23 The first one is a primary metal. The other one,  
24 lithium secondary metal is not water reactive and the



1 quantities of lithium involved in the batteries is so  
2 small that it does not provide any kind of water  
3 reactive reaction, so water is the agent of choice.

4           Decommissioning and end of life is one of  
5 the land mines for this industry. It's easy to try  
6 and plan out a planned decommission. Let's say you  
7 know the product has a 10-year warranty and we will  
8 plan to pull all of that equipment out at the end of  
9 10 years. When you have an unplanned decommissioning,  
10 that changes everything. And that is something that's  
11 very challenging because as was discovered in Arizona,  
12 when they had that fire their process of  
13 decommissioning those batteries took I want to say it  
14 was about six weeks and if that's occurring inside an  
15 occupied building, that business destruction is going  
16 to be pretty significant. So having that  
17 decommissioning plan include unplanned decommissions,  
18 it is very important.

19           Emergency energy discharge. I only put this  
20 up because this was one of the net results in Arizona  
21 after their incident. There was an emergency adoption  
22 of some code changes in the Phoenix Metro area which  
23 includes 26 other cities. And one of the provisions  
24 they put in their code was an emergency energy

1 discharge and it basically stated that there shall be  
2 an ability to discharge the energy in an emergency.

3 Now, you can imagine if there was a burnt-up  
4 rack, that could be impossible to do, so the code  
5 itself is not great code. It's unenforceable. But  
6 the important point is understanding this is where  
7 communities responded after that. They did not want  
8 anybody else to suffer an injury, and so it is a  
9 marker for the industry to take heed of and they  
10 research manufacturers to plan for that.

11 And in California where we have very large  
12 wildfires, it's completely reasonable to discharge a  
13 battery back to the grid over a period of time. If  
14 it's a four-hour battery, maybe four hours; might be  
15 able to do it in two hours, but that's reasonable. If  
16 you have damage to one module, it's reasonable that  
17 every other rack in that room could discharge safely.  
18 So those are some of the design features that I think  
19 are really important to deal with the stranded energy  
20 issue.

21 And again, as Jeremy mentioned, all of our  
22 work is funded through the Office of Electricity,  
23 Department of Energy.

24 So I now open up for your questions.

1                   COMMISSIONER McKISSICK: Thank you for the  
2 presentation. It was certainly interesting. I'm just  
3 curious. I mean, I do believe with this last  
4 component of your presentation, you discuss the UL  
5 9540 and all the other certification requirements, are  
6 there certain firms out there now that are aware  
7 enough of what's going on that they are more  
8 preeminently qualified than others to be designing  
9 these energy storage facilities and making  
10 recommendations on storage types of capacity and what  
11 might be used in conjunction with particular systems?

12                  MR. PAISS: So the answer is yes, there are  
13 definitely battery manufacturers that understand the  
14 hazards and are applying a lot more research to  
15 addressing the safety issue. One example might be we  
16 understand the gas issue when a cell goes into thermal  
17 runaway. If the cabinet that that battery is put in  
18 has a lot of voids to where those gases are hiding in  
19 that battery, you could have a good ventilation  
20 system, but it's not going to address those hidden  
21 spaces of high concentration. And so the top tier  
22 manufacturers are looking at everything down to the  
23 hidden void spaces in their cabinets.

24                  There are manufacturers that are looking at

1 suppressant systems. They recognize that a pendent  
2 sprinkler above a cabinet that might have a metal roof  
3 on it is not going to get water on that module buried  
4 at the bottom of that rack and they're looking at  
5 directing water so that it actually does what it --  
6 but it is manufacturer by manufacturer trying to  
7 address it.

8 And I'll just --

9 COMMISSIONER McKISSICK: Go ahead.

10 MR. PAISS: -- one last point. The area  
11 that I think personally I have the most concern is the  
12 residential market, because that market is not driven  
13 by, you know, PPAs or our banks. It's driven by me as  
14 a homeowner who wants to have backup and I'm going to  
15 go after the cheapest battery there is. I'm  
16 personally not going to but that's what's going to  
17 drive that market. So the push to the bottom on price  
18 is going to bring products in that have maybe a little  
19 more margin, because they didn't spend it on R&D.

20 COMMISSIONER McKISSICK: I see. So -- but  
21 it's the manufacturers that are all doing it; there  
22 are no firms out there assisting with designing these  
23 installations that may not be driven simply by the  
24 manufacturer's objective to sell the equipment?

1           MR. PAISS: So companies like Underwriters  
2 Laboratories that's doing these 9540 tests, they are a  
3 wealth of knowledge about batteries that perform very  
4 poorly and batteries that perform very well into those  
5 tests. However, each of those relationships are  
6 proprietary --

7           COMMISSIONER McKISSICK: Sure.

8           MR. PAISS: -- so they can't then go and  
9 educate. So as a lab, one of the opportunities we  
10 have is to request funding from the Department of  
11 Energy for publicly available research and that is one  
12 of the efforts that we're trying to do and there is a  
13 very small amount of research available out there, but  
14 more is needed.

15          COMMISSIONER McKISSICK: Thank you.

16          MR. PAISS: Thank you.

17          CHAIR MITCHELL: Additional questions?  
18 Commissioner Hughes.

19          COMMISSIONER HUGHES: Thank you. Do you  
20 have any experience with how the insurance industry is  
21 dealing with these? You mentioned the residential  
22 market. And could you talk about that?

23          MR. PAISS: I can talk a little bit about  
24 it. It's not my area of expertise. There are

1 insurers in this space and where their market is is in  
2 providing -- and you might even be able to speak  
3 better on this one here -- but they're providing that  
4 risk to that asset. It's -- so the asset is funded to  
5 perform a certain function at a certain rate. Should  
6 it not be able to do that the insurance will provide  
7 that gap. But the insurance industry is not --  
8 they're not diving down to the level of looking at the  
9 fire safety component, the fire risk of it.

10 Do you have a -- so Munich RE -- there's a  
11 couple of companies that are working the space, but  
12 it's -- it's more of a performance guarantee than a  
13 safety overlap.

14 CHAIR MITCHELL: Commissioner Duffley.

15 COMMISSIONER DUFFLEY: If we could go to  
16 page 25 of your presentation.

17 MR. PAISS: Let's see. Let's go back.  
18 Which slide is that?

19 COMMISSIONER DUFFLEY: It's the one called  
20 2018 IFC Explosion Protection.

21 MR. PAISS: I'm overdriving the clicker.

22 COMMISSIONER DUFFLEY: Yeah, you're almost  
23 there.

24 MR. PAISS: Yeah. Right there.

1           COMMISSIONER DUFFLEY: Right there.

2           MR. PAISS: Yes.

3           COMMISSIONER DUFFLEY: So between these two  
4 options of meeting the requirement, are they  
5 comparable with respect to cost and safety?

6           MR. PAISS: Good question. They're very  
7 different. So let's look at an installation that  
8 might be a container-based battery. It's a very  
9 common utility installation that can just deliver on  
10 site interconnected.

11           Because that container is in a sense a  
12 structure, people can go in and out, there is a door  
13 on it, you know, it's required to have some certain  
14 life-safety features to it. It's pretty  
15 straightforward to put out some deflagration vents on  
16 the top of those containers. Okay. That's a fairly  
17 simple design. But what it doesn't address is the  
18 build up of gases that could be stuck inside there.  
19 And so while it is only one of the options that's  
20 required by 855, there is a lot of us in the safety  
21 community that don't feel that's adequate to only  
22 provide that, because at some point somebody has to go  
23 inside.

24           So now when you look at what's involved in

1 an NFPA 69 deflagration prevention system, that's a  
2 very challenging mission, because the requirements of  
3 that standard are that you have no more than 25  
4 percent of the lower explosive limit of gases inside  
5 there.

6 Now, while that just sits out there as a  
7 number, the reality of ensuring that that does not  
8 take place inside there. Remember that video again.  
9 Look how fast those gases were produced, and that was  
10 from a very small battery. If you had a very  
11 large-scale thermal runaway, that fan would have to be  
12 pretty big. And so the realities of implementing that  
13 ventilation is easier said than done, but it's still  
14 the best direction to go on a safety aspect.

15 Now, Arizona again, one of the other changes  
16 they made in their code was that they require both of  
17 these requirements. You have to do -- you have to  
18 provide deflagration venting and deflagration  
19 prevention. And what that did with the strike of the  
20 pen is that made it almost impossible to put batteries  
21 inside existing buildings, because unless that battery  
22 room is on an exterior wall, it's very cost  
23 prohibitive.

24 Now, do I disagree with what they've done?



1 Not necessarily. I think, again, they have an  
2 experience that's guiding them to protect, you know,  
3 their constituents. So that's -- that needs to really  
4 advise the industry to address this problem.

5 Does that answer your question?

6 COMMISSIONER DUFFLEY: Yes. Thank you.

7 MR. PAISS: Thank you.

8 CHAIR MITCHELL: Kim.

9 MS. JONES: Well, this is like way outside  
10 my background, so if these questions don't make sense,  
11 bear with me. You talked about -- you have the slide  
12 of the map of the United States with the different  
13 colors showing that North Carolina, if I'm  
14 understanding it right, the version of the  
15 International Fire Code that's been adopted in North  
16 Carolina is a little bit stale. Am I taking that  
17 right?

18 MR. PAISS: Actually you're pretty  
19 consistent across the US. There's a lot of states  
20 still on the 2015 fire code.

21 MS. JONES: Okay.

22 MR. PAISS: Yeah.

23 MS. JONES: So we should feel okay about  
24 that?

1 MR. PAISS: Oh, no, not at all.

2 MS. JONES: All right. Well, help me out.

3 MR. PAISS: No. So as a member of a code  
4 committee, it is our wish that we have the same  
5 version of the code across the US. If there's any  
6 manufacturers in the room, they would be applauding  
7 right now, because they would like the same too. All  
8 right. That's not going to happen. So the best that  
9 we can do is educate to those areas that can have a  
10 voice in the adoption process to try and bring forth  
11 the most current version if not just for this section  
12 of the code. You know, the code is a big document.  
13 There's not necessarily significant changes every  
14 cycle to the entire code. But when it comes to energy  
15 storage, there are significant gaps between the 2015  
16 and the 2021 fire code.

17 MS. JONES: And do you know who makes that  
18 decision here?

19 MR. PAISS: I am not that familiar in this  
20 state --

21 MS. JONES: Okay.

22 MR. PAISS: -- how that's made.

23 MS. JONES: Okay. That's fair. And then  
24 you went on to talk about --

1           MR. PAISS: Typically the state fire marshal  
2 is very involved in the final adoption, but some of  
3 the processes --

4           MS. JONES: Are difficult. Then in the  
5 slide following this one about NFPA 855, you said that  
6 was the most advanced code but utilities don't tend to  
7 rely on it, they tend to rely on the National Electric  
8 Safety Code.

9           MR. PAISS: Correct.

10          MS. JONES: So if you were God in this  
11 environment, would you require them to use this and  
12 what would be the mechanism for doing that?

13          MR. PAISS: So thank you for asking that  
14 question. This is a very timely and interesting  
15 discussion. When NFPA 855 was created, the scope was  
16 really for all stationary energy storage systems. The  
17 concern from the utilities is that they feel that they  
18 manage their risks adequately, that they have -- they  
19 have an obligation to provide power. So their level  
20 of safety and standard is they feel appropriate for  
21 their risks and they are not interested as a whole at  
22 being required to follow this standard from a  
23 financial, from a financial --

24          There's a lot of justifications that are

1 raised on why they feel that they should not follow  
2 this. And one of the things that happened in the  
3 adoption -- not the adoption but the approval process  
4 of 855 through its final meeting at the NFPA  
5 conference, there's a technical committee, and the  
6 utility industry showed up with a lot of members to  
7 support an opposition to them being included in the  
8 scope. The net result was 855 was published, where it  
9 says scope it says reserved.

10 And so that's not great for anybody, because  
11 then it leaves it to the local AHJ, the Authority  
12 Having Jurisdiction, to determine whether to enforce  
13 it or not. And I happen to be the chair of the scope  
14 task group on 855 and I'm trying to get everybody to  
15 come together to find where appropriate exceptions are  
16 for the utility industry. And there are places where  
17 I think it is appropriate for them to be exempted from  
18 some of these requirements, but I do feel that this  
19 standard should not be a blank -- they should have a  
20 blanket exemption from the standard, because there are  
21 areas in there.

22 For example, if they were to say if it were  
23 a remote installation controlled by us behind a fence  
24 and we want it to burn, if it goes, that installation

1 is essentially what we saw in Arizona. Okay. So  
2 maybe on that example the fire department should have  
3 been better educated. So there is room for  
4 improvement throughout the entire industry. But that  
5 remote installation might not be remote in 10 years.  
6 There could be housing or other commercial pushing up  
7 against it.

8 So at this time I think that it is  
9 appropriate that they do utilize it. And when I have  
10 had some discussions with some utilities that they are  
11 going to self-regulate themselves to 855, so -- long  
12 answer. I'm sorry.

13 MS. JONES: Thank you. Thank you.

14 CHAIR MITCHELL: Okay. Any additional  
15 questions? All right. Gentlemen, we appreciate your  
16 being here today and sharing this information with us.  
17 It's been very helpful and informative and perhaps  
18 we'll see you again at a future presentation. Thank  
19 you.

20 MR. TWITCHELL: Thank you.

21 MR. PAISS: Thank you.

22 (The proceedings were adjourned.)  
23  
24

## C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that  
the Proceedings in the above-captioned matter were  
taken before me, that I did report in stenographic  
shorthand the Proceedings set forth herein, and the  
foregoing pages are a true and correct transcription  
to the best of my ability.

*Kim T. Mitchell*

Kim T. Mitchell  
Court Reporter II