

PLACE: Dobbs Building, Raleigh, North Carolina

DATE: Monday, September 19, 2022

TIME: 11:01 a.m. - 12:28 p.m.

DOCKET NO.: E-100, Sub 179

BEFORE: Chair Charlotte A. Mitchell, Presiding

Commissioner ToNola D. Brown-Bland

Commissioner Daniel G. Clodfelter

Commissioner Kimberly W. Duffley

Commissioner Jeffrey A. Hughes

Commissioner Floyd B. McKissick, Jr.

Commissioner Karen M. Kemerait

IN THE MATTER OF:

Duke Energy Progress, LLC, and

Duke Energy Carolinas, LLC,

2022 Biennial Integrated Resource Plans

and Carbon Plan

VOLUME: 15

1 A P P E A R A N C E S:

2 FOR DUKE ENERGY CAROLINAS, LLC and DUKE ENERGY

3 PROGRESS, LLC:

4 Jack E. Jirak, Esq., Deputy General Counsel

5 Kendrick C. Fentress, Esq., Associate General Counsel

6 Jason A. Higginbotham, Esq., Associate General Counsel

7 Kathleen Hunter-Richard, Esq.

8 Duke Energy Corporation

9 Post Office Box 1551

10 Raleigh, North Carolina 27602

11  
12 Andrea Kells, Esq.

13 E. Brett Breitschwerdt, Esq., Partner

14 McGuireWoods LLP

15 501 Fayetteville Street, Suite 500

16 Raleigh, North Carolina 27601

17  
18 Vishwa B. Link, Esq., Partner

19 McGuireWoods LLP

20 Gateway Plaza

21 800 East Canal Street

22 Richmond, Virginia 23219-3916

23

24

1 A P P E A R A N C E S Cont'd.:

2 Lara S. Nichols, Vice President,  
3 State & Federal Regulatory Legal  
4 Duke Energy Corporation  
5 4720 Piedmont Row Drive  
6 Charlotte, North Carolina 28210  
7

8 FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:

9 Taylor Jones, Esq., Regulatory Counsel  
10 4800 Six Forks Road, Suite 300  
11 Raleigh, North Carolina 27609  
12

13 FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY, NATURAL  
14 RESOURCES DEFENSE COUNCIL, and THE SIERRA CLUB:

15 Gudrun Thompson, Esq., Senior Attorney  
16 David, L. Neal, Esq., Senior Attorney  
17 Nicholas Jimenez, Esq., Senior Attorney  
18 Southern Environmental Law Center  
19 200 West Rosemary Street, Suite 220  
20 Chapel Hill, North Carolina 27516  
21  
22  
23  
24

1 A P P E A R A N C E S Cont'd.:

2 CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY RATES II

3 AND III:

4 Christina D. Cress, Esq., Partner

5 Douglas E. Conant, Esq., Associate

6 Bailey & Dixon, LLP

7 434 Fayetteville Street, Suite 2500

8 Raleigh, North Carolina 27601

10 FOR CAROLINA UTILITY CUSTOMER ASSOCIATION and

11 FOR TECH CUSTOMERS:

12 Matthew B. Tynan, Esq.

13 Brooks Pierce

14 Post Office 26000

15 Greensboro, North Carolina 27420

17 Craig Schauer, Esq.

18 Brooks Pierce

19 1700 Wells Fargo Capitol Center

20 150 Fayetteville Street

21 Raleigh, North Carolina 27601

1 A P P E A R A N C E S Cont'd.:

2 FOR CAROLINAS CLEAN ENERGY BUSINESS ASSOCIATION:

3 John D. Burns, Esq., General Counsel

4 811 Ninth Street, Suite 120-158

5 Durham, North Carolina 27705

6

7 FOR BRAD ROUSE:

8 Brad Rouse, Pro se

9 Brad Rouse Consulting

10 3 Stegall Lane

11 Asheville, North Carolina 28805

12

13 FOR CLEAN POWER SUPPLIERS ASSOCIATION:

14 Ben Snowden, Esq., Partner

15 Erin Catlett, Esq., Associate

16 Jack Taggart, Esq., Associate

17 Fox Rothschild LLP

18 434 Fayetteville Street, Suite 2800

19 Raleigh, North Carolina 27601

20

21

22

23

24

1 A P P E A R A N C E S Cont'd.:  
2 FOR THE ENVIRONMENTAL WORKING GROUP:

3 Andrea C. Bonvecchio, Esq.  
4 The Law Offices of F. Bryan Brice, Jr.  
5 127 West Hargett Street, Suite 600  
6 Raleigh, North Carolina 27601

7  
8 Carolina Leary, Esq.  
9 1250 I Street Northwest, Suite 1000  
10 Washington, DC 20005  
11

12 FOR WALMART INC.:  
13 Carrie H. Grundmann, Esq., Member  
14 Spilman Thomas & Battle, PLLC  
15 110 Oakwood Drive, Suite 500  
16 Winston-Salem, North Carolina 27103  
17

18 FOR CITY OF CHARLOTTE:  
19 Karen Weatherly, Esq., Senior Assistant City Attorney  
20 600 East Fourth Street  
21 Charlotte, North Carolina 28202  
22  
23  
24

A P P E A R A N C E S Cont'd.:

FOR APPALACHIAN VOICES:

Catherine Cralle Jones, Esq.

The Law Offices of F. Bryan Brice, Jr.

127 West Hargett Street, Suite 600

Raleigh, North Carolina 27601

FOR REDTAILED HAWK COLLECTIVE, ROBESON COUNTY

COOPERATIVE FOR SUSTAINABLE DEVELOPMENT, ENVIRONMENTAL

JUSTICE COMMUNITY ACTION NETWORK, and DOWN EAST ASH

ENVIRONMENTAL AND SOCIAL JUSTICE COALITION:

Ethan Blumenthal, Esq.

ECB Holdings LLC

1624 Nandina Comers Alley

Charlotte, North Carolina 28205

FOR NC WARN and

FOR CHARLOTTE-MECKLENBURG NAACP:

Matthew D. Quinn, Esq.

Lewis & Roberts, PLLC

3700 Glenwood Avenue, Suite 410

Raleigh, North Carolina 27612

A P P E A R A N C E S Cont'd.:

FOR BROAD RIVER ENERGY, LLC:

Patrick Buffkin, Esq.

Buffkin Law Office

3520 Apache Drive

Raleigh, North Carolina 27609

FOR KINGFISHER ENERGY HOLDINGS, LLC, and

FOR PERSON COUNTY, NORTH CAROLINA:

Patrick Buffkin, Esq.

Buffkin Law Office

3520 Apache Drive

Raleigh, North Carolina 27609

Kurt Olson, Esq.

The Law Office of Kurt J. Olson, PLLC

Post Office Box 10031

Raleigh, North Carolina 27605

FOR NORTH CAROLINA ELECTRIC MEMBERSHIP CORPORATION:

Tim Dodge, Esq., Regulatory Counsel

3400 Sumner Boulevard

Raleigh, North Carolina 27616



1 A P P E A R A N C E S Cont'd.:

2 FOR THE CITY OF ASHEVILLE and COUNTY OF BUNCOMBE:

3 Jannice Ashley, Esq., Senior Assistant City Attorney

4 City Attorney's Office

5 70 Court Plaza

6 Asheville, North Carolina 28801

8 Curt Euler, Esq., Senior Attorney II

9 Buncombe County

10 200 College Street, Suite 100

11 Asheville, North Carolina 28801

13 FOR MAREC ACTION:

14 Bruce Burcat, Esq, Executive Director

15 MAREC Action

16 Post Office Box 385

17 Camden, Delaware 19934

19 Kurt J. Olson, Esq.

20 Law Office of Kurt J. Olson, PLLC

21 Post Office Box 10031

22 Raleigh, North Carolina 27605

1 A P P E A R A N C E S Cont'd.:  
2 FOR TOTALENERGIES RENEWABLES USA, LLC, and  
3 FOR CLEAN ENERGY BUYERS ASSOCIATION:  
4 Joseph W. Eason, Esq.  
5 Nelson, Mullins, Riley & Scarborough LLP  
6 4140 Parklake Avenue, Suite 200  
7 Raleigh, North Carolina 27612  
8  
9 Weston Adams, Esq.  
10 Nelson, Mullins, Riley & Scarborough LLP  
11 1320 Main Street, Suite 1700  
12 Columbia, South Carolina 29201  
13  
14 FOR PORK COUNCIL:  
15 Kurt J. Olson, Esq.  
16 Law Office of Kurt J. Olson, PLLC  
17 Post Office Box 10031  
18 Raleigh, North Carolina 27605  
19  
20 FOR COUNCIL OF CHURCHES:  
21 James P. Longest, Jr., Esq.  
22 Duke University School of Law  
23 Box 90360  
24 Durham, North Carolina 27708

1 A P P E A R A N C E S Cont'd.:

2 FOR AVANGRID RENEWABLES, LLC:

3 Benjamin Smith, Esq.

4 Todd S. Roessler, Esq.

5 Joseph S. Dowdy, Esq.

6 Kilpatrick Townsend & Stockton LLP

7 4208 Six Forks Road, Suite 1400

8 Raleigh, North Carolina 27609

9

10 FOR SEAN LEWIS:

11 Sean Lewis, Pro se

12 640 Firebrick Drive

13 Cary, North Carolina 27519

14

15 FOR THE USING AND CONSUMING PUBLIC, THE STATE, AND ITS  
16 CITIZENS:

17 Margaret Force, Esq., Special Deputy Attorney General

18 Tirrill Moore, Esq., Assistant Attorney General

19 North Carolina Department of Justice

20 Post Office Box 629

21 Raleigh, North Carolina 27602

22

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR THE USING AND CONSUMING PUBLIC:

3 Lucy Edmondson, Esq., Chief Counsel

4 Robert Josey, Esq.

5 Nadia L. Luhr, Esq.

6 Anne Keyworth, Esq.

7 William E.H. Creech, Esq.

8 William Freeman, Esq.

9 Public Staff - North Carolina Utilities Commission

10 4326 Mail Service Center

11 Raleigh, North Carolina 27699-4300

12

13

14

15

16

17

18

19

20

21

22

23

24

## T A B L E   O F   C O N T E N T S

## E X A M I N A T I O N S

CAROLINAS UTILITIES OPERATIONS PANEL OF  
NELSON PEELER AND LAURA BATEMAN

PAGE

Direct Examination By Ms. Nichols..... 15

Prefiled Direct Testimony of Carolinas ..... 19  
Utilities Operations Panel of Nelson Peeler  
and Laura BatemanPrefiled Summary of Direct Testimony of ..... 39  
Carolinas Utilities Operations Panel of  
Nelson Peeler and Laura Bateman

Cross Examination By Ms. Cress..... 41

Cross Examination By Mr. Neal..... 82

Cross Examination By Mr. Schauer..... 88

Cross Examination By Ms. Edmondson..... 89

## E X H I B I T S

## IDENTIFIED/ADMITTED

Carolinas Utilities Operations ..... 41/-  
Panel Exhibit 1

CIGFUR II and III Carolinas ..... 43/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 1

CIGFUR II and III Carolinas ..... 45/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 2

CIGFUR II and III Carolinas ..... 53/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 3

CIGFUR II and III Carolinas ..... 57/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 4

CIGFUR II and III Carolinas ..... 65/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 5

CIGFUR II and III Carolinas ..... 68/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 6

CIGFUR II and III Carolinas ..... 74/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 8

CIGFUR II and III Carolinas ..... 81/-  
Utilities Operations Panel  
Direct Cross Examination Exhibit  
Number 9

## P R O C E E D I N G S

CHAIR MITCHELL: All right. Good morning. Let's come to order and go back on the record, please. All right. Before we begin, any preliminary matters?

MR. JIRAK: No, Chair Mitchell.

CHAIR MITCHELL: Okay. Anybody on the intervenors? I'm not saying anything.

(No response.)

CHAIR MITCHELL: Okay. Duke, I believe you may call your next panel.

MS. NICHOLS: Sure. Lauren Nichols on behalf of Duke Energy. We call the Carolinas Utilities Operations Panel of Nelson Peeler and Laura Bateman.

CHAIR MITCHELL: Good morning. Let's get you sworn in, please.

Whereupon,

NELSON PEELER AND LAURA BATEMAN,  
having first been duly sworn, was examined  
and testified as follows:

CHAIR MITCHELL: You may proceed.

DIRECT EXAMINATION BY MS. NICHOLS:

Q. Beginning with you, Mr. Peeler, would you

1 state your full name and business address for the  
2 record?

3 A. (Nelson Peeler) My name is V. Nelson Peeler.  
4 My business address is 526 South Church Street,  
5 Charlotte, North Carolina.

6 Q. By whom are you employed and in what  
7 capacity?

8 A. Employed by Duke Energy Corporation as senior  
9 vice president of transmission and fuel strategy and  
10 policy.

11 Q. Can you briefly describe your role and  
12 responsibilities at Duke Energy?

13 A. Yes. I lead the organization responsible for  
14 Duke Energy's fuel supply, system optimization, and  
15 long-term transmission planning.

16 Q. Turning to you, Ms. Bateman, would you state  
17 your full name and business address.

18 A. (Laura Bateman) Yes. My name is  
19 Laura A. Bateman, and my business address is 411  
20 Fayetteville Street, Raleigh, North Carolina.

21 Q. And by whom are you employed and in what  
22 capacity?

23 A. I'm employed by Duke Energy Corporation as  
24 vice president of Carolinas rates and regulatory



1 strategy.

2 Q. And could you please briefly describe your  
3 roles and responsibilities at Duke Energy?

4 A. Yes. I lead teams responsible for rate  
5 cases, annual rider filings, earnings surveillance  
6 reports, cost of service studies, and regulatory  
7 strategy and planning for North Carolina and  
8 South Carolina for Duke Energy Progress and Duke Energy  
9 Carolinas.

10 Q. Thank you. Mr. Peeler, did the panel cause  
11 to be prefiled in this docket direct testimony  
12 consisting of 19 page and one exhibit?

13 A. (Nelson Peeler) Yes.

14 Q. Do you have any changes to your direct  
15 testimony or exhibit at this time?

16 A. No.

17 Q. If I were to ask you the same questions today  
18 that appear in your prefiled direct testimony, would  
19 your answers be the same?

20 A. Yes, they would.

21 Q. And this panel's direct testimony does not  
22 include any confidential information, correct?

23 A. That is correct.

24 MS. NICHOLS: Chair Mitchell, I would

1 ask that the Carolinas Utilities Operations Panel  
2 direct testimony be entered into the record as if  
3 given orally from the stand.

4 CHAIR MITCHELL: All right. Hearing no  
5 objection to that motion, the direct testimony of  
6 the Carolinas Utilities Operations Panel filed in  
7 this docket on August 19, 2022, consisting of  
8 19 pages, shall be copied into the record as if  
9 delivered orally from the stand.

10 (Whereupon, the prefiled direct  
11 testimony of Carolinas Utilities  
12 Operations Panel of Nelson Peeler and  
13 Laura Bateman was copied into the record  
14 as if given orally from the stand.)

15 (Whereupon, per request for admittance  
16 in Volume 16, the prefiled summary of  
17 the Carolinas Utilities Operations Panel  
18 of Nelson Peeler and Laura Bateman was  
19 also copied into the record as if given  
20 orally from the stand.)  
21  
22  
23  
24

**STATE OF NORTH CAROLINA  
UTILITIES COMMISSION  
RALEIGH**

DOCKET NO. E-100, SUB 179

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of:	)	
Duke Energy Progress, LLC, and	)	<b>DIRECT TESTIMONY OF</b>
Duke Energy Carolinas, LLC, 2022	)	<b>NELSON PEELER AND LAURA</b>
Biennial Integrated Resource Plan	)	<b>BATEMAN FOR DUKE ENERGY</b>
And Carbon Plan	)	<b>CAROLINAS, LLC AND DUKE</b>
	)	<b>ENERGY PROGRESS, LLC</b>
	)	
	)	

---

OFFICIAL COPY

Sep 29 2022

1 **Q. MR. PEELER, PLEASE STATE YOUR NAME, BUSINESS ADDRESS**  
2 **AND POSITION WITH DUKE ENERGY CORPORATION.**

3 A. My name is V. Nelson Peeler Jr, and my business address is 526 S. Church  
4 Street, Charlotte, North Carolina, 28202. I am the Senior Vice President,  
5 Transmission and Fuels Strategy and Policy for Duke Energy Corporation.

6 **Q. BEFORE INTRODUCING YOURSELF FURTHER, WOULD YOU**  
7 **PLEASE INTRODUCE THE PANEL?**

8 A. Yes. I am appearing on behalf of Duke Energy Carolinas, LLC (“DEC”) and  
9 Duke Energy Progress, LLC (“DEP” and together with DEC, the “Companies”  
10 or “Duke Energy”) together with Laura Bateman as the “Carolinas Utilities  
11 Operations Panel.”

12 **Q. PLEASE BRIEFLY SUMMARIZE YOUR EDUCATIONAL**  
13 **BACKGROUND AND PROFESSIONAL QUALIFICATIONS.**

14 A. I graduated from North Carolina State University with a bachelor’s degree in  
15 electrical engineering and an MBA from Queens University. I’m a registered  
16 professional engineer in North Carolina and South Carolina.

17 **Q. PLEASE DESCRIBE YOUR BUSINESS BACKGROUND AND**  
18 **EXPERIENCE.**

19 A. I have more than 30 years of experience in the energy industry. I joined Duke  
20 Energy Corporation in 1988 and have held a variety of leadership positions in  
21 power delivery, system planning and operations, performance support,  
22 engineering, construction, business planning, contract management, process  
23 improvement and training. Prior to my current role in July 2020, I was the

1 Company's Chief Transmission Officer. In this role since 2016, I oversaw the  
2 safe, reliable and efficient operation of Duke Energy Corporation's electric  
3 transmission system. I have also been the Vice President of Transmission  
4 System Planning and Operations, where I had responsibility for real-time  
5 monitoring and control of Duke Energy Corporation's bulk electric  
6 transmission system.

7 **Q. WHAT ARE YOUR RESPONSIBILITIES IN YOUR CURRENT**  
8 **POSITION?**

9 A. I am the Senior Vice President of Transmission and Fuels Strategy and Policy.  
10 I lead the organization responsible for Duke Energy Corporation's fuel supply,  
11 system optimization, long-term transmission planning, and developing  
12 strategies and investment proposals to provide clean, affordable and reliable  
13 energy.

14 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE COMMISSION?**

15 A. Yes.

16 **Q. ARE YOU SPONSORING ANY EXHIBITS WITH YOUR DIRECT**  
17 **TESTIMONY?**

18 A. Yes, I am sponsoring Carolinas Utility Operations Panel Exhibit 1.

19 **Q. MS. BATEMAN, PLEASE STATE YOUR NAME, BUSINESS ADDRESS**  
20 **AND POSITION WITH DUKE ENERGY CORPORATION.**

21 A. My name is Laura A. Bateman, and my business address is 411 Fayetteville  
22 Street, Raleigh, North Carolina, 27601. I am the Vice President of Carolinas  
23 Rates and Regulatory Strategy.

1   **Q.   PLEASE BRIEFLY SUMMARIZE YOUR EDUCATIONAL**  
2   **BACKGROUND AND PROFESSIONAL QUALIFICATIONS.**

3   A.   I obtained a Bachelor's degree from the University of Massachusetts at Amherst  
4       and a Master of Business Administration degree from the University of North  
5       Carolina at Chapel Hill.

6   **Q.   PLEASE DESCRIBE YOUR BUSINESS BACKGROUND AND**  
7   **EXPERIENCE.**

8   A.   Since 2003, I have worked for Duke Energy Corporation in a variety of roles in  
9       Risk Management, Treasury, and Regulatory. I have been in the Rates &  
10      Regulatory Strategy group since 2007. I assumed my current position in April  
11      2020.

12  **Q.   WHAT ARE YOUR RESPONSIBILITIES IN YOUR CURRENT**  
13  **POSITION?**

14  A.   I lead teams responsible for rate cases, annual rider filings, cost of service  
15      studies, surveillance reporting, and regulatory strategy and planning for North  
16      and South Carolina for the Companies.

17  **Q.   HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE COMMISSION?**

18  A.   Yes. I have testified before this Commission in connection with DEP's general  
19      rate case proceedings in Docket Nos. E-2, Sub 1142 and E-2, Sub 1023. I have  
20      also testified before this Commission or submitted written testimony in *The*  
21      *Investigation of Proposed Net Metering Rule* (Docket No. E-100, Sub 83),  
22      *Standards for Electric Utilities Relating to IRP, Rate Design Modifications to*  
23      *Promote Energy Efficiency Investments, Smart Grid Investments & Smart Grid*

1        *Information Per Independence/Security Act 2007* (Docket No. E-100, Sub 123),  
2        and *Application for Approval of DSM and Energy Efficiency Cost Recovery*  
3        *Rider* (Docket No. E-2, Sub 931).

4        **Q.    MR. PEELER, PLEASE BRIEFLY SUMMARIZE YOUR JOINT**  
5        **TESTIMONY.**

6        A.    The Companies believe that a merger of DEP and DEC would be in the long-  
7        term best interest of customers from an overall efficiency perspective and,  
8        furthermore, would be the most straightforward solution to resolving both  
9        existing and potential future rate differences. However, the Companies cannot  
10       accomplish a merger unilaterally, but instead must work with all applicable  
11       regulators and stakeholders to identify an equitable merger pathway,  
12       recognizing that any merger will necessarily and unavoidably result in cost  
13       shifts. While a merger is the preferred path and the Companies intend to  
14       continue to pursue that avenue, the Companies have also evaluated potential  
15       other alternative methods (as discussed below) to address rate differences if a  
16       merger cannot be accomplished in a manner that is acceptable to all jurisdictions  
17       and the Companies. Finally, the Companies strongly believe in the continued  
18       benefits of a dual-state system and will continue to strive to maintain the  
19       necessary alignment. The timeline for Carolinas Carbon Plan (“Carbon Plan”  
20       or the “Plan”) implementation and the 2024 biennial Carbon Plan update  
21       provides a sufficient runway to continue to evaluate these issues and allow for  
22       modification of the Carbon Plan if needed.

23

**I. MERGER, CSO, AND PLANS FOR ADDRESSING RATE  
DIFFERENCES BETWEEN DEP AND DEC**

**Q. MR. PEELER, THE CARBON PLAN ASSUMES CONSOLIDATED  
TRANSMISSION FUNCTIONS BETWEEN THE COMPANIES,  
INCLUDING ONE BALANCING AUTHORITY AREA (SUCH  
CONSOLIDATION COLLECTIVELY REFERRED TO AS  
“CONSOLIDATED SYSTEM OPERATIONS” OR “CSO”). WHAT  
BENEFITS DOES CSO PROVIDE TO ENABLE THE CARBON PLAN?**

**A.** Overall, consolidated operations provide a number of customer benefits, including lowering reserve requirements, improving dispatch efficiencies, reducing carbon dioxide (“CO<sub>2</sub>”) emissions, and allowing more solar generation to serve our customers. Combining into a single balancing authority to manage load and resources produces savings annually for customers, helps accommodate expanded levels of variable renewable energy resources, substantially reduces forced solar curtailment, and eliminates several hundred annual combustion turbine starts that increase fleet maintenance costs. Each of these improvements provides annual direct benefits to customers in the form of lower fuel costs and reduced CO<sub>2</sub> emissions.

**Q. ARE ALL OF THOSE SAME BENEFITS ACHIEVED THROUGH A  
MERGER?**

**A.** Yes. All of those same benefits and more are achieved through a merger of DEP and DEC.



1   **Q.    IS A MERGER THE PREFERRED PATH FOR ACHIEVING THE**  
2       **BENEFITS DESCRIBED ABOVE, AS WELL AS ADDRESSING RATE**  
3       **DIFFERENCES?**

4    A.    Yes. The Companies believe a merger of DEP and DEC is the best long-term  
5       path for a number of reasons, if it can be achieved equitably. Importantly, a  
6       merger would solve rate differences between DEP and DEC over time while  
7       CSO would not (and would therefore require non-traditional solutions as further  
8       described below).

9           The merger of DEP and DEC would provide additional benefits for  
10       customers and allow for a more efficient achievement of the 2050 carbon  
11       neutrality target, such as balancing investments needed for a combined system  
12       across the combined service area, helping to moderate rate impacts by spreading  
13       new investments over a larger customer base, development of single resource  
14       plan, and joint unit commitment. Additionally, operating a single utility is less  
15       complex than operating under CSO. While CSO will provide benefits, each  
16       utility will still be required to meet certain obligations independently, which  
17       would not be the case for a single utility. Separate utility resource plans, unit  
18       commitments and rate structures are specific examples that ultimately add costs  
19       for customers. These requirements and complexity restrict efficient planning  
20       and operation of the system and limit allocation of costs across all customers.  
21       Finally, a merger would result in substantial regulatory efficiencies as well by  
22       avoiding duplicative regulatory proceedings (*e.g.*, separate base rate cases, fuel  
23       cases, *etc.*).

1   **Q.     WHAT ARE THE PRIMARY HURDLES THAT MUST BE ADDRESSED**  
2   **BEFORE A MERGER CAN BE ACCOMPLISHED?**

3   A.     The two primary hurdles that must be addressed, which are related, are (1)  
4           resolution of cost shifts resulting from the merger, and (2) navigating a pathway  
5           to the multiple regulatory approvals that will be needed, all of which will need  
6           to align to ensure an equitable outcome.

7                 First, with respect to cost shifts, because the Companies' system costs  
8           and percentage of customers within each of the North Carolina retail, South  
9           Carolina retail, and wholesale jurisdictions are different, a merger creates  
10          certain rate impacts that must be addressed before any combined rate structure  
11          could be proposed. The DEP system is more costly, and DEP has a greater  
12          percentage of wholesale customers; thus, merging the Companies will result in  
13          a shift of cost responsibility from the wholesale jurisdiction to the retail  
14          jurisdictions for the combined utility. However, it is important to note that  
15          despite this allocation change, the Companies believe that the potential benefits  
16          to both utilities (and states) warrant investigation.

17                 Second, accomplishing a merger of DEP and DEC is obviously not  
18          within the Companies' unilateral control but instead will require approval by  
19          this Commission, the Public Service Commission of South Carolina ("PSCSC")  
20          and the Federal Energy Regulatory Commission ("FERC"). Undoubtedly such  
21          proceedings would involve numerous stakeholders and intervenors. While a  
22          merger of DEP and DEC will enable the energy transition, simplify operations,  
23          and address rate differences, the Companies cannot achieve a merger on their

own. Accomplishing a merger will require shared goals resulting in equitable treatment across all jurisdictions, customer classes and the Companies that regulators can support. As such, the conditions under which the merger is accomplished must be in the best interest of all customers, result in just and reasonable rates for all jurisdictions and ensure the merged utility can recover reasonably and prudently incurred costs and maintain the opportunity to earn the return on its investments required by its investors to ensure sufficient investment capital to fund the energy transition and maintain reliable service at affordable rates.

**Q. PLEASE DESCRIBE THE PRIMARY STEPS AND TIMELINE FOR A MERGER.**

A. To pursue a merger, the Companies would continue with certain CSO activities already underway to create a single Balancing Authority Area, Transmission Operator, and combine the Companies' respective Open Access Transmission Tariff rates, among others. A merger would further require a study of costs to achieve and benefits analysis across DEP and DEC; stakeholder engagement; cost of service studies; and the development of mitigation strategies in light of the cost shifts, distribution and customer service standardization, and rate design consolidation.

There are many factors outside of the Companies' control that will influence the timing of a merger. However, as shown in Carolinas Utility Operations Panel Exhibit 1, the Companies project the potential for a merger to be approved by this Commission, the PSCSC, and the FERC by the end of 2026.

1 After formal completion of the merger, additional standardization and  
 2 consolidation activities (e.g., processes and procedures, products, and services)  
 3 will be required and reflected in the approved regulatory plan.

4 **Q. MS. BATEMAN, PUBLIC STAFF AND INTERVENORS HAVE RAISED**  
 5 **CONCERNS REGARDING CURRENT RATE DIFFERENCES**  
 6 **BETWEEN DEP AND DEC AND THAT EXECUTION OF THE**  
 7 **CARBON PLAN WOULD EXACERBATE EXISTING DIFFERENCES**  
 8 **BETWEEN DEC AND DEP RETAIL RATES. WHAT IS THE CURRENT**  
 9 **DIFFERENCE IN RETAIL RATES?**

10 A. As shown below, there has been a material difference in retails rates between  
 11 DEP and DEC for many years:

	<b>Total Retail</b>	
	<b>DEC NC</b>	<b>DEP NC</b>
	<b>Avg Rate</b>	<b>Avg Rate</b>
	<b>(cents per kwh)</b>	<b>(cents per kwh)</b>
<b>2010</b>	7.51	9.00
<b>2011</b>	7.49	8.66
<b>2012</b>	8.35	8.85
<b>2013</b>	8.36	9.01
<b>2014</b>	8.55	8.98
<b>2015</b>	8.48	9.24
<b>2016</b>	8.41	9.05
<b>2017</b>	8.21	8.61
<b>2018</b>	8.23	9.32
<b>2019</b>	8.30	9.81

12

1 **Q. PLEASE COMMENT GENERALLY ON THE REASONS FOR THE**  
2 **CURRENT DIFFERENCE IN RETAIL RATES BETWEEN DEP AND**  
3 **DEC.**

4 A. There are a number of factors that contribute to differences in retail rates  
5 between any two utilities, including DEC and DEP, related to the attributes and  
6 make-up of its service area footprint. Some of these factors include the type and  
7 timing of generation, customer diversity and density for each respective utility,  
8 and the cost of fuel based on plant location and fuel transportation.

9 **Q. PLEASE COMMENT GENERALLY ON THE POTENTIAL TIMING OF**  
10 **A MERGER AND THE IMPACT OF THE CARBON PLAN ON**  
11 **EXISTING RATE DIFFERENCES.**

12 A. Because the most substantial Carbon Plan-related investments are not placed  
13 into service until later 2026 and beyond, a merger that is consummated at the  
14 start of 2027 would largely address any further growth in rate differences arising  
15 from the Carbon Plan. That is, the Companies do not forecast any material  
16 widening of rate differences due to the Carbon Plan in the period of 2023-2026,  
17 and a merger in early 2027 would solve rate differences over the long term.

18 **Q. IF THE COMPANIES WERE TO PURSUE A MERGER, HOW COULD**  
19 **THE RESULTING SINGLE UTILITY SEEK TO ADDRESS RATE**  
20 **DIFFERENCES BETWEEN THE LEGACY CUSTOMER CLASSES?**

21 A. The Companies recognize the potential for increasing rate differences between  
22 DEP and DEC is a significant issue and, as discussed above, believe that  
23 pursuing a merger of the utilities is the preferred and most straightforward

1 approach to address this issue. If stakeholders and regulators can agree on an  
2 approach that is equitable to all jurisdictions, customer classes and the  
3 Companies, and a merger receives the necessary approvals, there are various  
4 approaches to preventing further rate divergence and addressing historical  
5 differences between DEP and DEC.

6 First, it is important to note that the jurisdictional shift of costs away  
7 from wholesale to the North Carolina retail and South Carolina retail  
8 jurisdictions would happen right away. However, within the North Carolina  
9 retail jurisdiction, the Commission would have discretion on how quickly to  
10 merge the DEC and DEP rates. There are multiple options on how to accomplish  
11 this. For instance, Florida Power & Light (“FP&L”) and Gulf Power proposed  
12 the combination of their utilities in Florida in Florida Public Service  
13 Commission Docket No. 20210015-E. At the time, Gulf Power’s cost of service  
14 was higher than that of FP&L. In that docket, the utilities submitted three cost  
15 of service studies: (1) one combined cost of service study for the combined  
16 utility; (2) a cost of service study for FP&L standalone; and (3) a cost of service  
17 study for Gulf Power standalone. They proposed to set the rates for the  
18 customers of each utility initially based on the standalone cost of service  
19 studies. Then, they proposed a five-year rider that would move the rates from  
20 the standalone cost of service study for each utilities’ customers to the combined  
21 one over a five-year period. Over that five-year period, the rider increased rates  
22 for FP&L customers and decreased rates for Gulf Power customers.

1 Another option would be to create a combined cost of service study with  
2 one rate base and combined accounting records, but maintain the separate  
3 legacy rate schedules. In each rate case, the combined utility could apply the  
4 new rate increase for each customer class to the legacy rate schedules within  
5 the class and then also make further adjustments to move the rate schedules  
6 closer together over time. This approach leaves more flexibility to consider  
7 other factors in each rate case rather than committing to a fixed five-year  
8 schedule, and is consistent with how the Companies currently address rate  
9 schedules that vary from the cost of service within a rate class. Eventually, when  
10 the rates are closer together, customers could be transitioned to a combined rate  
11 schedule. This is similar to the approach that DEC took after the merger with  
12 Nantahala Power & Light Company.

13 These two options address base rates. The Companies will also have to  
14 propose how to combine the riders, the most impactful of which will be the fuel  
15 riders. There is a difference between the two utilities in the cost of fuel. Again,  
16 the jurisdictional shifts in cost would happen right away, but the Commission  
17 would have discretion on how quickly to merge the DEC and DEP rates within  
18 the retail jurisdiction. As an example, the Commission currently uses an equal  
19 percent increase approach to allocate fuel costs to the customer classes. A  
20 similar approach could be applied to legacy DEC and DEP rate schedules, or  
21 different percent increases could be proposed in the fuel rider for the legacy rate  
22 schedules in order to bring them closer together over time. Again, this approach  
23 would allow for flexibility and could happen over whatever period of time the

1 Commission deems appropriate. A similar exercise will need to be followed for  
2 all other riders.<sup>1</sup>

3 In addition to merging the rates, there are numerous complexities that  
4 will need to be worked through before the rate schedules can be fully merged.  
5 For example, DEC currently offers voltage differentiated rates for commercial  
6 and industrial customers while DEP does not. DEC's fuel rates are differentiated  
7 between commercial and industrial, not by rate schedule. DEP fuel rates follow  
8 the rate schedules and are not different between commercial and industrial.  
9 These are just a few examples. There are many more differences that would  
10 need to be addressed. Maintaining separate rate schedules for some period of  
11 time following the merger can allow more time to work through these issues.

12 **Q. WHAT ALTERNATIVES HAVE THE COMPANIES CONSIDERED TO**  
13 **ADDRESS CONCERNS EXPRESSED BY THE PUBLIC STAFF**  
14 **REGARDING THE EQUITABLE ALLOCATION OF CARBON PLAN**  
15 **COSTS IN LIEU OF A MERGER?**

16 A. As discussed above, the Companies believe that a merger of DEP and DEC is  
17 the best path forward and, once accomplished, would allocate the Carbon Plan  
18 costs going forward to customers of both legacy utilities. However, as also

---

<sup>1</sup> Other riders include Demand-Side Management & Energy Efficiency (DSM/EE), Renewable Energy & Energy Efficiency Portfolio Standard (REPS), Competitive Procurement of Renewable Energy (CPRE), Joint Agency Asset Rider (JAAR), Excess Deferred Income Tax (EDIT), Bulk Power Marketing (BPM) and Existing DSM Program Rider (EDRP). Plus, each utility will propose additional decoupling, performance incentive, and earnings sharing riders in their upcoming Performance Based Regulation applications.



1       stated previously, the merger of DEP and DEC is not something that the  
2       Companies can accomplish unilaterally. As such, the Companies are evaluating  
3       alternatives to address rate differences created by the Carbon Plan in the event  
4       that a merger cannot be accomplished. One option the Companies are  
5       evaluating is whether DEC could own solar generation in DEP's service  
6       territory. For a variety of reasons (primarily cost, suitability and availability of  
7       land and insolation), the cost of siting solar in DEP's service territory is less  
8       than in DEC's territory.

9               In this same vein, if offshore or onshore wind is ultimately selected by  
10       the Commission, the Companies are also considering whether DEP and DEC  
11       could jointly own wind generation. The offshore and onshore wind modeled in  
12       the Companies' Carbon Plan is assumed to be owned by DEP and paid for by  
13       DEP customers. The Companies are exploring whether these investments could  
14       be jointly owned by the utilities without significant additional transmission  
15       costs. Other significant generation investments proposed in the Carbon Plan,  
16       such as an expansion of Bad Creek pumped storage and first addition of small  
17       modular reactors ("SMRs"), are proposed to be owned by DEC.

18              Similarly, the Companies are also looking at the allocation of  
19       transmission investments. Even without a merger of DEC and DEP, CSO would  
20       require a combination of the balancing authorities and a combined Open Access  
21       Transmission Tariff ("OATT") rate for wholesale customers. The Companies  
22       could take a similar approach in retail rates and combine the transmission costs  
23       for DEP and DEC and then allocate them back to the separate utilities based on

1 a transmission allocation method. An alternative would be to take this approach  
2 only for new investments or some subset of new investments.

3 Once again, the Companies plan to pursue a merger of the DEC and  
4 DEP utilities and believe that is the optimal pathway, but are also evaluating  
5 these alternative options to address rate differences in the Carbon Plan should  
6 the merger not be achievable.

7 **II. OPERATING IN A DUAL-STATE SYSTEM AND CONTINUED**  
8 **STATE ALIGNMENT**

9 **Q. MR. PEELER, PLEASE DESCRIBE THE DUAL-STATE SYSTEMS**  
10 **THAT THE COMPANIES OPERATE ACROSS NORTH CAROLINA**  
11 **AND SOUTH CAROLINA.**

12 A. As explained in the Carbon Plan (see Chapter 1 – Introduction and  
13 Background), DEP and DEC have successfully operated dual-state systems<sup>2</sup> for  
14 more than a century. This effective model leverages efficiencies, scale and  
15 geographic characteristics to provide reliable and increasingly clean energy to  
16 customers at affordable rates. As an example, the scope and scale of the dual-  
17 state system supported construction of projects of the magnitude of the  
18 Companies’ nuclear and pumped storage hydro facilities. These substantial zero  
19 carbon investments have been critical to the reliable and affordable service the  
20 Companies have provided over their histories and are foundational to the net  
21 carbon future. In addition, these investments have driven economic

---

<sup>2</sup> The term “dual-state systems” refers to the fact that DEC’s system and DEP’s system each operate across the North Carolina-South Carolina border.

1 development in both states and provided significant tax base and employment  
2 to thousands over the years.

3 Since the Duke Energy systems have been planned, built and operated as joint  
4 systems for over 100 years, customers from both states have benefited from the  
5 scale and diversity of the dual-state systems. Resources have been selected to  
6 meet combined needs and have been located in the most economic locations.  
7 Taking advantage of the geographic diversity of the two states has allowed for  
8 investment in the nation's second largest nuclear fleet and in significant flexible  
9 resources, such as pumped storage. It is not feasible to separate existing assets  
10 by state boundary as assets located in each state do not match the state specific  
11 needs, but rather serve the collective requirements of both states. Further, the  
12 Companies' transmission and distribution lines cross the border between North  
13 Carolina and South Carolina, and electrons flow both ways. Continuing to plan  
14 and operate the dual-state systems allows for the most economic dispatch of  
15 existing assets and the most efficient planning for future investments. The dual-  
16 state system provides both scale and flexibility to operate reliability and  
17 economically with increasing amounts of variable generation resources over the  
18 coming decades.

19           Operationally, moving away from the dual-state system developed over  
20 the last century would be extremely complex. There would be challenges  
21 assuring that real-time dispatch will be fully economic without regard to  
22 ownership of generation. Processes to equitably allocate variable generation  
23 and fuel costs based on actual generation and load as asset bases differ would

1 be arduous. With the significant increase of variable energy resources placed  
2 on the grid, balancing a larger system increases system reliability and reduces  
3 reserve margin requirements and related additional capacity investments.  
4 Conversely, balancing separate state-specific systems could increase reserve  
5 margin requirements and related investments. There are not any current  
6 mechanisms in place to separately build the required enabling transmission.  
7 Overall, operating with a single stack economic dispatch model and joint unit  
8 commitment is the most efficient for all customers.

9 **Q. THE CARBON PLAN NOTES THAT IF DIFFERENCES IN ENERGY**  
10 **POLICY BETWEEN NORTH CAROLINA AND SOUTH CAROLINA**  
11 **DO NOT ALLOW FOR ALIGNMENT AND CONTINUED DUAL-**  
12 **STATE PLANNING, THE COMPANIES MAY NEED TO PLAN TWO**  
13 **DIFFERENT SYSTEMS SEPARATED BY STATE LINES. DOES THIS**  
14 **CONCERN IMPACT THE COMPANIES' REQUEST IN THIS**  
15 **DOCKET?**

16 **A.** It does not. Maintaining a dual-state system will continue to deliver benefits for  
17 customers, provide the most efficient pathway for the energy transition, and  
18 allow the Companies to pursue all available avenues to ensure ongoing  
19 alignment. The Companies remain convinced that a larger, combined system  
20 with scale, generation diversity, and operational flexibility provides substantial  
21 value and limits additional risk to customers and that the energy transition is  
22 ultimately consistent with prudent utility planning and in customers' best  
23 interest.

1           The Companies' Carbon Plan is focused first and foremost on the near-  
2           term procurement and development activities needed from now until the next  
3           biennial Carbon Plan decision at the end of 2024. Therefore, the Companies  
4           believe that focus on the near-term activities is an appropriate lens for this  
5           proceeding. In addition, this approach will provide time for the Companies to  
6           receive further clarity as to South Carolina utility regulation and energy policy  
7           and for the PSCSC to consider an Integrated Resource Plan ("IRP") that is  
8           consistent with the changes in conditions since the 2020 IRP and the  
9           Commission's final order in this docket. The PSCSC recently established  
10          dockets to (1) consider renewable resource procurement, and (2) explore the  
11          possibility of a study the integration of renewables on the system. The  
12          Companies have also been engaging with stakeholders on potential new  
13          renewable energy customer programs in both states. Each of these dockets will  
14          provide additional opportunities to advocate for the dual-state system and  
15          evaluate the extent of alignment between North Carolina and South Carolina on  
16          energy policy.

17   **Q.   HOW DO YOU RESPOND TO INTERVENORS THAT RAISE**  
18   **CONCERNS ABOUT SOUTH CAROLINA RETAIL COST**  
19   **DISALLOWANCE RESULTING IN INCREASED COSTS FOR NORTH**  
20   **CAROLINA RETAIL CUSTOMERS?**

21   A.   As stated above, the Companies believe that the focus of this proceeding should  
22          be on the near-term resource development and procurement activities and, as  
23          stated in the Carbon Plan, such near-term resources are no-regrets resources,

1 meaning that they are a set of resources that will be needed for North Carolina-  
2 only even in an extreme scenario in which fully integrated dual-state planning  
3 is no longer possible.

4 Fundamentally, if the assets identified by the Commission in its order in  
5 this docket are needed to meet the requirements of North Carolina retail  
6 customers and North Carolina law, it is appropriate that the costs of such as  
7 assets be included in the North Carolina retail rate base. The Companies  
8 anticipate that by 2024 (the date for next biennial Carbon Plan update) there  
9 will be more clarity regarding the options available to facilitate continuation of  
10 the dual-state system, which will then inform some of the longer-term and more  
11 substantial decisions that will need to be made in connection with the Carbon  
12 Plan.

13 **III. CONCLUSION**

14 **Q. MR. PEELER AND MS. BATEMAN, DOES THIS CONCLUDE YOUR**  
15 **PRE-FILED DIRECT TESTIMONY?**

16 **A. Yes.**

**Duke Energy Carolinas, LLC and Duke Energy Progress, LLC**  
**Summary of Direct Testimony – Carolinas Utilities Operations Panel**  
**Nelson Peeler and Laura Bateman**  
**Carolina Carbon Plan**  
**Docket No. E-100, Sub 179**

OFFICIAL COPY

Sep 23 2022

1 I am Nelson Peeler, Senior Vice President of Transmission and Fuels Strategy and  
2 Policy. My co-panelist is Laura Bateman, Vice President of Carolinas Rates and  
3 Regulatory Strategy. I will provide a summary of our testimony to describe future  
4 Carolinas' utility operations and address rate differences between the utilities.

5 The Companies believe a merger of DEP and DEC would be in the long-term best  
6 interest of customers. Operating a single utility is less complex and a merger would  
7 provide planning and operational benefits that allow for a more efficient energy  
8 transition. A merger would be the most straightforward solution to resolve both  
9 existing and potential future rate differences between DEP and DEC. Finally, a merger  
10 would result in substantial regulatory efficiencies by avoiding duplicative regulatory  
11 proceedings.

12 But the Companies cannot accomplish a merger unilaterally. We must work with all  
13 applicable regulators and stakeholders to identify an equitable merger pathway,  
14 recognizing that any merger will necessarily and unavoidably result in cost shifts. The  
15 conditions under which the merger is accomplished must be in the best interest of North  
16 Carolina, South Carolina and Wholesale customers. The merged utility must be able  
17 to recover its reasonably and prudently incurred costs and maintain the opportunity to  
18 earn the return on its investments required by its investors. To do otherwise would  
19 inhibit the merged utility from obtaining sufficient investment capital to fund the  
20 energy transition and maintain reliable service at affordable rates.

21 While there are many factors outside of the Companies' control that will influence the  
22 timing of a merger, we project a merger could be implemented by the end of 2026.  
23 Because the most substantial Carbon Plan-related investments are not placed into  
24 service until later 2026 and beyond, this timeframe would largely address any further  
25 growth in rate differences arising from the Carbon Plan.

26 If stakeholders and regulators can agree on an equitable approach and a merger receives  
27 necessary approvals, there are various options to prevent further rate divergence and  
28 address historical differences between DEP and DEC rates. We recommend an  
29 approach that creates a single rate base while maintaining legacy rate schedules to  
30 provide flexibility for appropriate adjustments over time. Although a merger is the  
31 preferred path, we have also evaluated other alternative methods to address rate  
32 differences if a merger cannot be accomplished in a manner that is acceptable to all  
33 jurisdictions and the Companies.

34 Finally, the Companies strongly believe in the benefits of a dual-state system and will  
35 continue to strive to maintain the necessary alignment. Duke Energy systems have

- 1 been planned, built and operated as joint systems for over 100 years to the benefit of  
2 customers in both states. The Companies' investments have driven economic  
3 development in both states and provided significant tax base and employment to  
4 thousands over the years. A larger, combined system with scale, generation diversity,  
5 and operational flexibility provides substantial value and limits additional risk to  
6 customers, particularly through the energy transition.
- 7 The Companies plan to file with the PSCSC IRPs that are consistent with the  
8 Commission's final order in this docket. Several current SC dockets address aspects  
9 of the energy transition. These dockets provide additional opportunities to advocate  
10 for the dual-state system and evaluate the extent of alignment between North Carolina  
11 and South Carolina on energy policy. The Carbon Plan is focused on near-term  
12 procurement and development activities needed from now until the next biennial  
13 Carbon Plan decision in 2024. This approach provides sufficient runway to receive  
14 further clarity as to South Carolina utility regulation and energy policy.
- 15 This concludes our summary.



Page 41

1 MS. NICHOLS: And I would also ask the  
2 panel's Exhibit Number 1 be marked as labeled for  
3 the record.

4 CHAIR MITCHELL: All right. And the  
5 exhibit to that testimony shall be marked for  
6 identification as it was when prefiled.

7 (Carolinas Utilities Operations Panel  
8 Exhibit 1 was identified as they were  
9 marked when prefiled.)

10 MS. NICHOLS: The panel is now available  
11 for questions from the parties and the Commission  
12 on their direct testimony.

13 CHAIR MITCHELL: All right. Attorney  
14 General?

15 MR. MOORE: No questions.

16 CHAIR MITCHELL: All right. CIGFUR?

17 MS. CRESS: Thank you, Chair Mitchell.

18 CROSS EXAMINATION BY MS. CRESS:

19 Q. Good morning, Mr. Peeler, good morning,  
20 Ms. Bateman.

21 A. Good morning.

22 A. (Laura Bateman) Good morning.

23 Q. Ms. Bateman, going to you first. In your  
24 role as the vice president of Carolinas rates and

1 regulatory strategy for Duke Energy, are you  
2 responsible for cost of service and cost allocation  
3 studies for North Carolina and South Carolina?

4 A. Correct.

5 Q. And that includes cost allocation at both the  
6 jurisdictional and the customer class level; is that  
7 correct?

8 A. Yes, it does.

9 Q. Ms. Bateman, were you in the hearing room  
10 when your colleague, Ms. Bowman, referred me to you on  
11 jurisdictional cost allocation issues?

12 A. Yes, I was.

13 Q. Great. So we'll come back to that in a few  
14 moments. But switching gears now, Mr. Peeler, you  
15 testify at the bottom of page 15 and the top of page  
16 16 -- and I'll give you a moment to get there.

17 A. (Witness peruses document.)

18 (Nelson Peeler) Okay.

19 Q. Do you see there that you say that the  
20 Companies' investments, quote, have driven economic  
21 development in both states and provided significant tax  
22 base and employment to thousands over the years?

23 A. Yes, I do.

24 Q. Okay. So a question for either or both of

1 you.

2 Did Duke perform any studies or conduct any  
3 analyses regarding the economic impact of rate  
4 increases on industrial load in DEC and DEP?

5 A. (Laura Bateman) I'm trying to -- I don't  
6 think we've had a recent study. I think there was one  
7 maybe almost 10 years ago.

8 MS. CRESS: So at this time, I'll ask  
9 the Chair if I may introduce Duke's response to  
10 CIGFUR's Data Request 4-7, which I'll request  
11 permission from the Chair to mark for  
12 identification as CIGFUR II and III Carolinas  
13 Utilities Operations Panel Direct Cross Examination  
14 Exhibit Number 1.

15 CHAIR MITCHELL: All right. The  
16 document will be marked for identification as  
17 CIGFUR II and III Carolinas Utilities Operations  
18 Panel Direct Cross Examination Exhibit 1.

19 (CIGFUR II and III Carolinas Utilities  
20 Operations Panel Direct Cross  
21 Examination Exhibit Number 1 was marked  
22 for identification.)

23 MS. CRESS: Thank you, Chair Mitchell.

24 Q. I'll give you a second to review this

1 response to data request.

2 A. (Witness peruses document.)

3 Q. So now that you've had a chance to review  
4 Duke's response to this data request, can you please  
5 confirm that, for purposes of the Carbon Plan filing,  
6 Duke did not conduct any studies or analyses regarding  
7 the impact of cost increases on the number of  
8 industrial customers or their load in North Carolina?

9 A. I think I would agree with this response that  
10 we are not aware of any studies.

11 Q. And, Mr. Peeler and/or Ms. Bateman, are you  
12 aware -- I think, Ms. Bateman, you referenced a study  
13 that was conducted perhaps around 10 years ago?

14 A. Yes. And I don't know whether it's a study,  
15 but there was the load retention rider that we were  
16 supporting that -- and there was -- we had a witness  
17 that spoke to just the importance of industrial  
18 customers in our service territory.

19 Q. Would you recognize that document if it was  
20 shown to you?

21 A. I probably would.

22 Q. This was a docket that you previously  
23 provided testimony to this Commission regarding; is  
24 that accurate?

Page 45

1 A. In that rate case, yes.

2 Q. And that's Docket Number E-2, Sub 1023?

3 A. I will -- subject to check, I will take your  
4 word for that.

5 Q. Excellent. Okay.

6 MS. CRESS: At this time now, I'll ask  
7 the Chair for permission to introduce as CIGFUR II  
8 and III Carolinas Utilities Operations Panel Direct  
9 Cross Examination Exhibit Number 2, the executive  
10 summary and Chapter 1 of the study referenced by  
11 Ms. Bateman.

12 (Pause.)

13 CHAIR MITCHELL: All right. The  
14 document will be marked for identification as  
15 CIGFUR II and III Carolinas Utilities Operations  
16 Panel Direct Cross Examination Exhibit 2.

17 MS. CRESS: Thank you, Chair Mitchell.  
18 (CIGFUR II and III Carolinas Utilities  
19 Operations Panel Direct Cross  
20 Examination Exhibit Number Defendant's  
21 was marked for identification.)

22 Q. Ms. Bateman, can you please turn to page 2 of  
23 the executive summary, and read the first sentence of  
24 the second paragraph on this page?

1           A.        "Intuitively, if electricity is a major cost  
2       to a large electric load customer, the price of  
3       electricity can play a role in a firm's decision about  
4       a facility's location, expansion, or closing."

5           Q.        And next can you please read the first  
6       sentence of the third paragraph on the same page?

7           A.        "This report also confirmed the importance of  
8       reliability and favorably priced electricity to  
9       economic development and that the Carolinas are  
10      experiencing a transition in their economy generally to  
11      a more energy intensive types of industries and  
12      facilities."

13          Q.        Thank you. And finally, will you please turn  
14      to page 3 and read the first two sentences of the  
15      second full paragraph beginning with "beyond these more  
16      region-wide"?

17          A.        "Beyond these more region-wide economic  
18      impacts, there could be an effect on the remaining  
19      customers' rates when large electric users depart any  
20      regulated electricity -- electric utility system. When  
21      electric load is lost from customers, severely cutting  
22      back on load, moving out of an electric utilities  
23      service territory or by going out of business entirely,  
24      the remaining customers will theoretically have to pay

Page 47

1 the fixed cost non-energy related portion of revenues  
2 no longer being recovered from the lost customer."

3 Q. Thank you.

4 MS. CRESS: At this time, I'd ask the  
5 Commission to please take judicial notice of the  
6 entirety of this document, which, for conservation  
7 purposes, the entire document was not printed  
8 because it is quite lengthy. But I would ask the  
9 Commission take judicial notice of this filing in  
10 Docket Number E-2, Sub 1023.

11 MS. NICHOLS: No objection.

12 CHAIR MITCHELL: Okay. I'm not hearing  
13 any objection to that request. The Commission will  
14 take judicial notice of the -- of the document  
15 titled "The Economic and Rate Implications from an  
16 Electric Utility's Loss of Large-Load Customers"  
17 dated March 9, 2013, filed in Docket Number  
18 E-2, Sub 1023. Do we know the date on which it was  
19 filed?

20 MS. CRESS: That's a great question. I  
21 can tell you when it was drafted, but I cannot  
22 confirm that was also the date on which it was  
23 filed.

24 CHAIR MITCHELL: Okay. And I see that

1       it was an exhibit to the testimony -- Exhibit 2 to  
2       the testimony of Julius Wright. Okay. Please  
3       proceed.

4               MS. CRESS: Thank you, Chair Mitchell.

5       Q.     Ms. Bateman, can you help us understand why  
6       Duke Energy did not commission a similar study or  
7       analysis when it was preparing its proposed Carbon  
8       Plan?

9       A.     So I think what was behind, or the reason  
10      behind the preparation of this study is because we were  
11      supporting a reduction or a discount for industrial  
12      customers in this -- and we wanted to support that  
13      discount. I'm not aware of any discount that we're  
14      proposing in this for any class of customers. In fact,  
15      the legislation says that we should avoid  
16      cross-subsidization.

17      Q.     So is it your position that the portions of  
18      this document that you read into the record are no  
19      longer true as we sit here today?

20      A.     I wouldn't say that. I would just say that  
21      that's why we didn't commission a specific study on  
22      that. I do think it's true that -- that cost impacts  
23      industrial customers and that can overflow into  
24      communities.



1 But I also think, if you look at this  
2 legislation, first of all, there's some protections in  
3 there for industrial customers in terms of how costs  
4 are allocated; and then I also think that there is --  
5 we're seeing a growing interest in renewable energy  
6 from industrial customers. They either have their own  
7 renewable goals or own carbon goals, and so we think  
8 this legislation has actually been a positive, in terms  
9 of economic development.

10 And so I think -- I don't see this  
11 legislation or this Carbon Plan as a negative overall  
12 for industrial customers. I think there is definitely  
13 different things that you balance, in terms of least  
14 cost and carbon reductions and all of that, but I don't  
15 think overall that it's negative.

16 Q. But just to confirm, Duke did not analyze  
17 price-induced demand erosion as part of its proposed  
18 Carbon Plan filing, correct?

19 A. Correct.

20 Q. And the Companies, likewise, did not do any  
21 analysis to allocate projected Carbon Plan rate  
22 increases across customer classes; is that right?

23 A. So there -- yeah, we did not for the long  
24 term. There's a lot of uncertainty, in terms of which

1 cost allocation methodology will be approved by this  
2 Commission in the next rate case and then also in  
3 future rate cases. So the particular cost allocation  
4 methodology is uncertain, different rate design  
5 structures are uncertain.

6 And so we thought it would not be helpful to  
7 try to model out a specific allocation to each class  
8 for this long-term modeling, but instead looked at  
9 overall percentage increases.

10 Q. And so the projected rate impacts that were  
11 provided as part of the Carbon Plan, they reflect an  
12 equal percentage increase across customer classes; is  
13 that right?

14 A. Correct. We thought that was the most --  
15 most appropriate way to model it at this point with all  
16 of the uncertainty.

17 Q. Ms. Bateman, you were involved in the  
18 legislative stakeholder process that culminated in the  
19 filing and enactment of House Bill 951, correct?

20 A. Correct.

21 Q. Would you agree that the --

22 A. Well, I would say to a minimal amount, but  
23 yes.

24 Q. Would you agree that the House version of

1 House Bill 951, if it had been enacted into law, would  
2 have prescribed the specific resource mix to serve as  
3 replacement capacity for Duke's retiring subcritical  
4 coal fleet?

5 A. Yes, I would agree with that.

6 Q. Would you also agree that the Senate version,  
7 which was the one that was ultimately enacted into law,  
8 is different in that it gives the Commission discretion  
9 to select the best resource mix for those replacement  
10 resources; is that fair to say?

11 A. Yes. I would say the Senate version gave a  
12 lot more discretion to this Commission.

13 Q. And as part of that legislative stakeholder  
14 process, are you aware of whether Duke shared a handout  
15 tending to show typical bill impacts broken down by  
16 customer class associated with the early retirement of  
17 Duke's coal fleet?

18 A. So I believe we shared projected rate impacts  
19 of the House version of the bill, but not broken down  
20 by customer class. I believe we also shared some  
21 projections of T&D costs in our base case IRP, which  
22 you know, obviously not related to a carbon reduction  
23 plan, broken down by customer class. And the main  
24 point of that was to show the difference in the T&D

1 impact on the different customer classes.

2 Q. Okay.

3 MS. CRESS: I'd like to introduce what I  
4 will request from the Chair be marked for  
5 identification as CIGFUR II and III Carolinas  
6 Utilities Operations Panel Direct Cross Examination  
7 Exhibit Number 3, which is a typical bill  
8 calculation handout that Ms. Bateman was just  
9 testifying about that was provided to the  
10 legislature last year.

11 MS. NICHOLS: Chair Mitchell, I just  
12 want to mention that this is really getting into  
13 Ms. Bateman's rebuttal testimony where she  
14 addresses the request from intervening parties for  
15 an all-in bill estimate. We're comfortable with  
16 the testimony going forward, just would ask that we  
17 not have repeat questions when she comes up on  
18 rebuttal.

19 MS. CRESS: Chair Mitchell, I understand  
20 Ms. Nichols' concern; however, the line of  
21 questioning here is really going to the  
22 jurisdictional cost allocation issue rather than  
23 the all-in rate impact issue.

24 CHAIR MITCHELL: All right. And I

1 understand Ms. Nichols to say that they're  
2 comfortable with the questions moving forward.  
3 She's not objecting to the questions at this point  
4 in time, just asking that there be -- be mindful of  
5 redundancy when this panel is up on rebuttal.

6 MS. CRESS: Understood. There won't be  
7 duplicative cross. Thanks.

8 CHAIR MITCHELL: All right. Ms. Cress,  
9 let's mark this document. Did you already make  
10 that request?

11 MS. CRESS: I did, Chair Mitchell, but I  
12 can repeat it.

13 CHAIR MITCHELL: All right. Well, I  
14 didn't hear any objection, so we'll go ahead and  
15 mark it as CIGFUR II and III Carolinas Utilities  
16 Panel Direct Cross Examination Exhibit 3.

17 (CIGFUR II and III Carolinas Utilities  
18 Operations Panel Direct Cross  
19 Examination Exhibit Number 3 was marked  
20 for identification.)

21 MS. CRESS: Thank you, Chair Mitchell.

22 Q. Ms. Bateman, can you please turn to page 2 of  
23 this handout?

24 A. Yes.

1 Q. And under the first bullet titled "Cost of  
2 Service," would you please read the first two bullet  
3 points?

4 A. Let me just look at what this is.

5 (Witness peruses document.)

6 I'll just say I'm not familiar with this  
7 particular PowerPoint, so I don't have any context for  
8 that. But I can read the bullet points.

9 Q. So is it your testimony that you did not  
10 prepare this document or have anything to do with  
11 presenting it to the legislative stakeholder process  
12 participants?

13 A. (Witness peruses document.)

14 I wouldn't say I didn't have anything to do  
15 with it, but I don't -- I don't recognize this  
16 particular PowerPoint. There are pieces in it that I  
17 recognize, but I don't recognize the PowerPoint.

18 Q. Okay. Well, let's talk about the pieces in  
19 the PowerPoint that you do recognize.

20 Which portions do you recognize?

21 A. So I recognize slide -- well, I recognize  
22 slide 5, but it's missing some footnotes from what I  
23 provided. And then I'm generally familiar with the  
24 typical bill calculations. But yeah, I would -- I

1 would say slide 5, and it's missing some footnotes.

2 Q. Well, understanding that this was not altered  
3 from the state in which it was received, is it fair to  
4 say that, on page 3, the estimated bill impacts appear  
5 to be shown broken down by customer class?

6 MS. NICHOLS: I'm gonna object to this  
7 line of questioning since the witness doesn't  
8 recognize the document and there's been no  
9 foundation laid for it.

10 MS. CRESS: Chair Mitchell, the witness  
11 testified moments ago that there were portions of  
12 the document she is familiar with, including, as  
13 she testified, the estimated bill impacts, which is  
14 the page on which I'm asking her questions.

15 CHAIR MITCHELL: All right. I'm gonna  
16 overrule the objection, and I'll allow you to ask  
17 the questions, recognizing that the witness has  
18 testified that there are -- there is information  
19 missing from the document based on her  
20 recollection. And we'll give her testimony the  
21 weight it's due.

22 MS. CRESS: Thank you.

23 THE WITNESS: And I will just clarify,  
24 this estimated bill impacts, slide 3, I'm not

1 familiar with this slide. I am familiar with, kind  
2 of, how we break down typical commercial and  
3 typical industrial customers in the most left-hand  
4 column.

5 Q. Okay. And on page 2, bill impact modeling  
6 assumptions, do you agree with me that this document  
7 appears to show that costs will be shared across  
8 jurisdictions, both North Carolina and South Carolina  
9 customers?

10 A. (Witness peruses document.)

11 I don't see that on here.

12 Q. Does it say combined North Carolina and  
13 South Carolina in bullet point 2?

14 A. Yes, yes. Okay. I see it. Yes.

15 Q. Thank you. We will move on, unless,  
16 Mr. Peeler, you happen to be familiar with this  
17 document?

18 A. (Nelson Peeler) I'm not.

19 Q. Then we'll move on. Okay. Ms. Bateman, are  
20 you familiar with a projected rate impact analysis that  
21 was performed for the house version of House Bill 951  
22 by the Public Staff?

23 A. (Laura Bateman) Yes.

24 Q. Okay.



1 MS. CRESS: At this time I'd like to  
2 mark for identification the Public Staff's House  
3 Bill 951 Version 10 analysis dated July 9, 2021.  
4 And I'd request that this be marked as CIGFUR II  
5 and III Carolinas Utilities Operations Panel Direct  
6 Cross Examination Exhibit Number 4.

7 CHAIR MITCHELL: All right. The  
8 document will be marked as CIGFUR II and III  
9 Carolinas Utilities Operations Panel Direct Cross  
10 Examination Exhibit 4.

11 (CIGFUR II and III Carolinas Utilities  
12 Operations Panel Direct Cross  
13 Examination Exhibit Number 4 was marked  
14 for identification.)

15 Q. Ms. Bateman, do you agree with me that this  
16 document provides estimated rate impacts associated  
17 with the House version of House Bill 951 broken down by  
18 customer class?

19 A. Yes, it does.

20 Q. Okay. And would you also agree with me that  
21 this document provides a comparison between estimated  
22 rate impacts associated with Duke's 2020 IRP plan as  
23 contrasted to the House version of House Bill 951?

24 A. Yes. I think it was one of the portfolios in

1 the 2020 IRP.

2 Q. Has Duke performed an apples-to-apples  
3 comparison comparing its 2020 IRP estimated rate  
4 impacts versus the house version of House Bill 951, as  
5 compared to its proposed Carbon Plan filing? So  
6 essentially adding a third bucket here to the Public  
7 Staff's framework.

8 A. No. We -- so you're asking if we prepared,  
9 kind of, the 2020 IRP to the House Bill version -- to  
10 the House version of the bill to the Carbon Plan on  
11 like an apples-to-apples basis with all the same input  
12 assumptions?

13 Q. That's right.

14 A. We had not done that. We did provide bill  
15 impacts in the 2020 IRP. We provided bill impacts in  
16 the Carbon Plan, but they were at different points in  
17 time with different assumptions that were appropriate,  
18 based on when they were prepared.

19 Q. How would the proposed Carbon Plan rate  
20 impacts compare to the rate impacts listed on the  
21 Public Staff's analysis here?

22 A. (Witness peruses document.)

23 Just give me a minute to get that.

24 Q. Absolutely. Thanks.

1 A. (Witness peruses document.)

2 Looking at 2030, it looks like, for DEP, most  
3 of the -- hold on a second here. It looks like most of  
4 the Carbon Plan impacts are higher.

5 Q. Thank you. Ms. Bateman, were you in the  
6 hearing room when your colleagues on the Modeling Panel  
7 testified that the Carbon Plan assumes costs will be  
8 shared across Duke's North and South Carolina  
9 customers?

10 A. Yes.

11 Q. Okay. And is it fair to say that revenue  
12 requirements are established based on cost of service  
13 studies that your team will have a role in preparing?

14 A. Yes.

15 Q. And then those costs will be allocated on a  
16 jurisdictional and customer class basis?

17 A. Yes.

18 Q. Okay. For a utility operating in multiple  
19 jurisdictions, is it fair to say that consistency  
20 between regulatory bodies of those jurisdictions is  
21 important to the utility?

22 A. I would say in some aspects, yes.

23 Q. Help us understand in what aspects it would  
24 not be important.

1           A.       There could be particular rate design  
2 offerings that can vary from jurisdiction to  
3 jurisdiction. There are some things that can vary from  
4 jurisdiction to jurisdiction without an impact on the  
5 utility.

6           Q.       With respect to jurisdictional cost  
7 allocation, is consistency across the regulatory bodies  
8 important to the utility?

9           A.       Yes.

10          Q.       Why is that?

11          A.       Because when you allocate to the  
12 jurisdictions -- jurisdictions use different allocation  
13 methodologies, there could be leakage where s utility  
14 is not able to recover its full cost.

15          Q.       So a possible under-collection of the total  
16 revenue requirement?

17          A.       Correct.

18          Q.       And what happens in a scenario where there is  
19 an under-collection of revenue by the utility as a  
20 result of a jurisdictional inconsistent fee?

21          A.       So it can sometimes just result in  
22 under-collected costs.

23          Q.       And in other times?

24          A.       If there's an inconsistency, it can be under

1 or over.

2 Q. And then how does the utility attempt to  
3 rectify that situation?

4 A. We attempt to have consistency in the  
5 allocation methodologies.

6 Q. Right. But when there is not consistency in  
7 the allocation methodologies, what are the options  
8 available to the utility to try to recoup those lost  
9 revenues?

10 A. I'm not sure kind of -- I'm not sure what  
11 you're asking.

12 Q. I'll try restating it. So you've testified  
13 that plan A is consistency across jurisdictions.

14 What happens when there is inconsistency  
15 across jurisdictions and then there's been, as you  
16 testified, an under-collection of revenues? What  
17 options are available to the utility to remedy that  
18 situation?

19 A. So I think what you might be asking about --  
20 and I'll just go ahead and hit it directly -- is we  
21 have assumed consistency or alignment between North and  
22 South Carolina in terms of this Carbon Plan. We are  
23 still hopeful that that will happen. We see evidence  
24 of interest in renewables in South Carolina, so they've

1 recently opened a docket on renewables procurement. We  
2 see indications of interest along those lines.

3 We do plan to file an IRP next year that  
4 is -- in South Carolina that is informed by the  
5 Commission's ultimate decision in this docket. So that  
6 is -- that is our plan and our hope. However, I  
7 understand there is a possibility that that won't  
8 happen, that South Carolina will opt for different  
9 policy than North Carolina.

10 And so that is something that we are aware  
11 of, that we have been thinking about. But we  
12 believe -- so while we're hopeful for that, we are also  
13 starting to look at a framework that could allow for  
14 the dual-state system to continue, because we think  
15 there's a lot of benefits to the dual-state system, but  
16 that would also allow for differences in state policy.

17 And so I'll flip to it so I get the names of  
18 the utilities correct. But we have -- you know,  
19 fortunately we are not the first utility to grapple  
20 with this issue of operating a dual-state system and  
21 having differences in state policy. And so just some  
22 other utilities that we are starting to look at,  
23 there's Appalachian Power, they operate in Virginia and  
24 West Virginia. And, of course, Virginia has the Clean

Page 63

1 Economy Act and West Virginia does not. And so they  
2 have developed a framework where West Virginia, for  
3 certain resources, can participate or not participate.

4 We looked at -- or we're looking at  
5 Southwestern Electric Power Company, also known as  
6 SWEPCO. They operate in Texas, Louisiana, and  
7 Arkansas, and three different states, three different  
8 policies. And they've developed a framework where the  
9 states can either opt in or opt out of different  
10 resources.

11 And so we are looking at developing a  
12 framework in the Carolinas that will work for North and  
13 South Carolina. So, you know, there's other utilities  
14 that have done this that maybe worked for those states.  
15 We have lessons that we can learn. But we want to work  
16 with the Public Staff, the ORS, both Commissions to  
17 develop a framework that will work for North and  
18 South Carolina.

19 And I believe both witness Bowman and witness  
20 Snider, kind of, alluded to that framework would not be  
21 South Carolina just opts out of a particular resource,  
22 North Carolina pays 100 percent of that resource, end  
23 of story. The benefits would flow with the costs. And  
24 so if North Carolina is paying for 100 percent of a

Page 64

1 resource, 100 percent of the output from that  
2 generation would go to North Carolina customers, and so  
3 their allocation of the rest of the system would be  
4 lower.

5 And so it's still very much a work in  
6 progress, but it is -- it is a concern for us and it is  
7 something that we are actively looking at. And we hope  
8 to have more clarity by the time we get to this -- the  
9 next Carbon Plan proceeding.

10 Q. Thank you for that. You've already testified  
11 that you were in the hearing room when your colleagues  
12 on the Modeling Panel testified that the Carbon Plan  
13 assumes costs will be shared across both jurisdictions.

14 But have the Companies modeled cost estimates  
15 and bill impacts in the event that South Carolina does  
16 not approve the Carbon Plan or otherwise disallows  
17 Carbon Plan cost recovery?

18 A. So no, we have not. And like I said, I mean,  
19 there's probably many reasons that the modeling team  
20 did not model that. But also, we're just now  
21 developing this framework, so it's not clear exactly  
22 how it would work, in terms of being able to model it.

23 Q. Okay.

24 MS. CRESS: I'd like to introduce what



Page 65

1 I'll ask the Chair for permission to mark for  
2 identification purposes as CIGFUR II and III  
3 Carolinas Utilities Operations Panel Direct Cross  
4 Examination Exhibit Number 4 -- 5, excuse me, which  
5 is Duke's response to CIGFUR Data Request 1-3.

6 CHAIR MITCHELL: All right. Document  
7 will be marked for identification as CIGFUR II and  
8 III Carolinas Utilities Operations Direct Cross  
9 Examination Exhibit Number 5.

10 (CIGFUR II and III Carolinas Utilities  
11 Operations Panel Direct Cross  
12 Examination Exhibit Number 5 was marked  
13 for identification.)

14 MS. CRESS: Thank you, Chair Mitchell.

15 Q. Ms. Bateman, do you see about -- I'm sorry,  
16 you're just now getting the document.

17 A. (Witness peruses document.)

18 Yes.

19 Q. Do you see about middle of the way through  
20 the response where it states, "To the extent that  
21 alignment cannot be achieved, it will be necessary for  
22 each state to separately plan to serve its respective  
23 retail load"?

24 A. Yes.

1 Q. Have the Companies undertaken any analysis or  
2 modeling to the effect of what that would cost if the  
3 Companies had to pursue those options?

4 A. So I don't think there's clarity yet on what  
5 that would look like. And so when I read that  
6 statement, we would have to know what North Carolina --  
7 what that resource would be for North Carolina, what  
8 differences South Carolina would want. And -- and then  
9 how we go about modeling that, in terms of, you know,  
10 if there's some joint resources. Like our system  
11 today, our dual-state system has been developed, there  
12 are a lot of benefits to it, but all of our resources  
13 are joint resources between North and South Carolina.

14 If going forward we have this world where we  
15 have joint resources, but then we are also able to have  
16 North Carolina-only resources and South Carolina-only  
17 resources, I don't think we have a clear vision yet of  
18 what that would look like.

19 And I think we really do need to go through  
20 the process of this Carbon Plan and then the IRP  
21 proceeding that I referenced in South Carolina next  
22 year to get more information from both Commissions on  
23 what types of resources they would want us to invest  
24 in.

1 Q. So is it fair to say that Duke's approach at  
2 this juncture is that this issue would fall under the  
3 overarching check-and-adjust strategy of coming back in  
4 2024 for the next Carbon Plan proceeding and  
5 potentially modifying in accordance with what may or  
6 may not happen in South Carolina?

7 A. I would agree with that. I think, you know,  
8 we think the near-term actions are appropriate  
9 regardless of how that turns out. We think -- but I do  
10 think our first hope is for alignment, and that is the  
11 plan A. However, if -- we should have more clarity by  
12 the time we get here in 2024, in terms of what that  
13 will look like.

14 Q. What happens to the Carbon Plan costs  
15 incurred between 2022 and 2024, to the extent that the  
16 South Carolina jurisdictional allocable share is not  
17 able to be recovered from Duke's South Carolina  
18 ratepayers?

19 A. Yeah. And so I mentioned the near-term  
20 actions, that we think those are appropriate whether  
21 South Carolina is participating in any one specific  
22 resource or not. If you look at -- I think we're  
23 getting a little bit into my rebuttal testimony, but I  
24 had referenced that North Carolina is about 80 percent

1 of the system. And if you look at the near-term  
2 actions, what we'd be doing in the near-term, that  
3 80 -- I'm sorry, that it is less than 80 percent of  
4 what will ultimately be required.

5 And so we think the resources in the  
6 Near-Term Action Plan will be required whether or not  
7 South Carolina participates in them. And I'll say  
8 there's one exception to that, I believe it's the CTs.  
9 But, you know, South Carolina can't opt out of all of  
10 the resources. There will be guidelines along that  
11 they need to build something for their load.

12 Q. Okay. Thank you for that.

13 MS. CRESS: At this time, I would like  
14 to introduce what I'll request be marked as CIGFUR  
15 II and III Carolinas Utilities Operations Panel  
16 Direct Cross Examination Exhibit Number 6, which is  
17 Duke's response to Walmart Data Request 1-7.

18 CHAIR MITCHELL: All right. Document  
19 will be marked CIGFUR II and III Carolinas  
20 Utilities Operations Panel Direct Cross Examination  
21 Exhibit Number 6.

22 MS. CRESS: Thank you, Chair Mitchell.

23 (CIGFUR II and III Carolinas' Utilities  
24 Operations Panel Direct Cross

Page 69

1 Examination Exhibit Number 6 was marked  
2 for identification.)

3 Q. Ms. Bateman, would you agree with me that  
4 subpart C to this data request asks, "Have the  
5 Companies performed any estimate of the increased cost  
6 to customers if there is a, quote, ultimate separation  
7 of the utilities? If so, please provide that analysis  
8 including a description of the types of cost the  
9 Companies would expect to incur and the amount of such  
10 costs, if known"?

11 Did I read that correctly?

12 A. Yes.

13 Q. And can you please read Duke's response to  
14 subpart C for the record?

15 A. And I'll just note that I did not respond to  
16 this. So I'm reading it for the first time, but I'll  
17 read it. "The Companies object to the request to the  
18 extent it seeks analysis that is subject to the  
19 attorney-client and attorney work product privileges.  
20 Notwithstanding and without waiving this objection,  
21 separation of the utilities, if ultimately deemed  
22 necessary, would require consideration of multiple  
23 different scenarios and potential options. Legacy  
24 assets, new resource plans and ownership, credit and

1 financing impacts, along with required changes to  
2 operational functions and enabling infrastructure would  
3 need to be studied in detail and would be subject to  
4 regulatory review and approval from the NCUC and Public  
5 Service Commission of South Carolina and FERC."

6 Q. So Duke has acknowledged, then, that the  
7 Carbon Plan, as a resource plan, would be different if  
8 South Carolina refuses to allow or approve Duke's  
9 proposed Carbon Plan filing?

10 A. I'm not sure that that's what this says. It  
11 just says that if we were to separate the utilities,  
12 that there would be a lot of work involved with that, a  
13 lot of complications. And I think what we're looking  
14 at now is an alternative to completely legally  
15 separating North and South Carolina, and instead  
16 looking at some -- what some of these other utilities  
17 have done, where we could maintain a dual-state system  
18 but allow for differences in state policy.

19 And I don't know what that would look like.  
20 So I think that's something that we need to have some  
21 more conversations about and get more clarity about.  
22 If there's particular resources that South Carolina may  
23 not want to participate in, but maybe they want  
24 100 percent of something else. And so we would just

1 have to see what that looks like.

2 Q. Okay. Thank you. Earlier you testified  
3 about the Virginia Clean Economy Act.

4 A. Yes.

5 MS. CRESS: I'd like to introduce what  
6 I'll request be marked as CIGFUR II and III  
7 Carolinas Utilities Operations Panel Direct Cross  
8 Examination Exhibit Number 7, which is a copy of  
9 the Virginia Clean Economy Act.

10 MS. NICHOLS: Chair Mitchell, I'm not  
11 sure what relevance a Virginia statute has to the  
12 discussion that we're having today. We would be  
13 happy to stipulate the statute into the record, but  
14 we have our own statute.

15 MS. CRESS: Chair Mitchell, the witness  
16 brought up the Virginia Clean Economy Act  
17 specifically regarding to the jurisdictional cost  
18 allocation issue. And my question is going to be a  
19 single question directly relevant to that issue  
20 pertaining to her prior testimony about this very  
21 legislation.

22 CHAIR MITCHELL: All right. Well, my --  
23 I'm gonna overrule the objection, allow the  
24 question. My recollection is that her testimony

1        pertained to the Appalachian Power scenario, the  
2        Virginia and West Virginia jurisdictional  
3        differences. So I'll allow the question.

4                    MS. CRESS: Thank you, Chair Mitchell.

5        Q.        Ms. Bateman, if you could just turn with me  
6        to page 29.

7        A.        (Witness complies.)

8                    Yes.

9        Q.        Can you tell me if I'm reading this  
10       correctly. In section F, the very last sentence of  
11       section F, on page 29, which reads, "If a phase 1 or  
12       phase 2 utility serves customers in more than one  
13       jurisdiction, such utility shall recover all of the  
14       costs of compliance with the RPS program requirements  
15       from its Virginia customers through the applicable cost  
16       recovery mechanism. And all associated energy capacity  
17       and environmental attributes shall be assigned to  
18       Virginia to the extent that such costs are requested  
19       but not recovered from any system customers outside the  
20       commonwealth."

21                   Did I read that correctly?

22       A.        You read that correctly, but I'm not sure  
23       that we should assume that what Virginia does is  
24       exactly what will happen in North and South Carolina.



Page 73

1 Q. You were anticipating my question, but you  
2 didn't anticipate it quite correctly.

3 The question is, there's no language like  
4 that in House Bill 951, correct?

5 A. That is correct.

6 Q. All right.

7 A. And I will just add, I think we're looking at  
8 developing a framework that can accommodate differences  
9 in state policy, and not just direct assign costs to  
10 one state versus another without making sure that the  
11 benefits go along with those costs.

12 Q. Okay. And you also testified earlier that  
13 Duke is -- and I'll characterize it this way, tell me  
14 if you disagree -- Duke is optimistic that it will be  
15 able to continue dual-state operations through  
16 constructive regulatory environments in both  
17 North Carolina and South Carolina, correct?

18 A. I think I used the word "hopeful."

19 Q. Hopeful. Okay. Well, can you stipulate that  
20 those are synonyms, for the most part? In any event --

21 MS. NICHOLS: Objection.

22 MS. CRESS: Yeah. It was a joke, but  
23 okay.

24 Q. Ms. Bateman, I would like to ask some

1 questions exploring that hopefulness, to use your word,  
2 regarding the South Carolina -- the ability for Duke to  
3 continue operating as a dual-state utility,  
4 specifically in the context of the Carbon Plan.

5 MS. CRESS: At this time, I would like  
6 to -- I think this is my last exhibit, or if not,  
7 it's a second to last. But I request permission to  
8 mark for identification as CIGFUR II and III  
9 Carolinas Utilities Operations Panel Direct Cross  
10 Examination Exhibit Number 8. And this is a letter  
11 that I will be asking the witness about.

12 CHAIR MITCHELL: All right. The  
13 document will be marked for identification purposes  
14 as Carolinas Utilities Operations Panel Direct  
15 Cross Examination Exhibit Number 8.

16 (CIGFUR II and III Carolinas Utilities  
17 Operations Panel Direct Cross  
18 Examination Exhibit Number 8 was marked  
19 for identification.)

20 MS. CRESS: Thank you, Chair Mitchell.

21 CHAIR MITCHELL: To be clear, CIGFUR II  
22 and II Carolinas Utilities Operations Panel Direct  
23 Cross Examination Exhibit Number 8.

24 Q. Ms. Bateman, have you seen this letter

1 before?

2 A. Yes.

3 Q. What is your understanding about the purpose  
4 of this letter?

5 A. (Witness peruses document.)

6 I might need to refresh just a little bit.

7 Q. Sure.

8 A. (Witness peruses document.)

9 So I believe it was citing some legal  
10 concerns with having a joint Carbon Plan proceeding  
11 with North and South Carolina. It's from the Attorney  
12 General in South Carolina to one of the legislators.

13 Q. Okay. And is it fair to say that Chair  
14 Sandifer reached out to the South Carolina Attorney  
15 General's Office requesting an advisory letter  
16 regarding House Bill 951 which, quote, will impose  
17 North Carolina's legislatively mandated greenhouse  
18 costs onto Duke Energy's South Carolina customers?

19 MS. NICHOLS: Objection. I don't know  
20 that this witness has any knowledge of what members  
21 of the General Assembly or the AG's office in  
22 South Carolina intended.

23 MS. CRESS: Chair Mitchell, I was  
24 reading an excerpt from the letter that stated the

1 inquiry from Chairman Sandifer to Attorney General  
2 Wilson.

3 CHAIR MITCHELL: All right. I'm gonna  
4 sustain the objection. You can ask her to read the  
5 letter or ask the question in a -- ask a different  
6 question on the letter.

7 Q. Okay. Ms. Bateman, can you please turn to  
8 page 3 of this letter?

9 A. Yes.

10 Q. Can you please read -- beginning with the  
11 first full sentence, can you please read the remainder  
12 of the paragraph at the top of the page?

13 A. Starting with "The recent South Carolina  
14 Supreme Court"?

15 Q. Starting with "first of all."

16 A. Oh, "first of all" and then through the end  
17 of that paragraph?

18 Q. Yes, ma'am, thank you.

19 A. "First of all, we are aware of no instance  
20 where this statute has been employed for such a joint  
21 hearing since its enactment in 1932. Regardless,  
22 however, we do not think that the Commission may order  
23 South Carolina ratepayers to cover the cost of Duke  
24 Energy's compliance with HB 951, a North Carolina

1 statute, through utilization of 58-27-170. The recent  
2 South Carolina Supreme Court decision in Duke Energy  
3 Carolinas, which will be discussed below, illustrates  
4 vividly that the South Carolina General Assembly has  
5 not authorized the PSC to develop a Carbon Plan on the  
6 basis of a North Carolina statute pursuant to a  
7 proceeding presided over by the NCUC and using only  
8 North Carolina law as its basis. We think that this  
9 proposal stretches South Carolina law and federal  
10 constitutional law past the breaking point. Indeed,  
11 rather than seeking a constitutionally authorized  
12 compact between the two states, such a joint proceeding  
13 raises significant constitutional concerns as well.  
14 Thus, to our mind, if the PSC engaged in this plan, it  
15 would run the risk of usurping the legislative powers  
16 of the General Assembly and could well violate the  
17 state and federal constitutions. We do not believe  
18 that current law nor constitution so permits."

19 Q. Ms. Bateman -- I'm sorry, go ahead.

20 A. Go ahead.

21 Q. Can you help us understand the basis for  
22 Duke's hopefulness that it will be able to continue its  
23 dual-state operations with the Carbon Plan, in light of  
24 this type of political and legal environment in

1 South Carolina?

2 A. Yes. So I think I said that we were hopeful  
3 that we can achieve alignment, in terms of the  
4 resources. So I think this is mainly a legal letter  
5 about a particular joint proceeding, but some of the  
6 things that make us still hopeful is that the  
7 South Carolina Commission has opened a docket to  
8 consider renewable procurement similar to the 2022  
9 solar procurement docket before this Commission.

10 They've also -- they have a docket to study  
11 integration of renewable resources on the system and  
12 recently had a workshop on that. The South Carolina  
13 General Assembly is exploring renewable resources and  
14 the impact on economic development, so we see interest  
15 there. The Companies have engaged with stakeholders on  
16 potential new renewable customer programs in the state  
17 and see a lot of interest there. And then also just  
18 the growing need of our customers. And so just like  
19 many members of CIGFUR, we have industrial customers in  
20 South Carolina that have their own renewable and carbon  
21 goals and are expressing interest in procurement of  
22 those resources.

23 So those are just a few of the things that  
24 lead us to believe that South Carolina is interested in

1 renewable generation and some of the very same  
2 resources that we have listed in the Carbon Plan. And  
3 so I know they don't want to be controlled by a  
4 North Carolina law, but I do think that they may end  
5 upcoming to the exact same resource plan. We see a lot  
6 of interest in renewables, a lot of change moving in  
7 that direction in South Carolina.

8 But nevertheless, we are working on  
9 developing a framework where, if we don't achieve  
10 alignment, that we can maintain the dual-state system  
11 and allow for differences in state policy. That would  
12 be fair and equitable to both states. So again,  
13 benefits going with costs.

14 Q. Thank you. If the Commission were to order  
15 Duke to model a scenario in which South Carolina does  
16 not pay for its jurisdictional allocable share of  
17 Carbon Plan costs, would Duke do so?

18 A. Well --

19 MS. NICHOLS: I just want to object.  
20 The question includes an assumption about  
21 jurisdictional allocable costs, and what  
22 Ms. Bateman was just testifying about is a  
23 different type of allocation methodology.

24 MS. CRESS: Chair Mitchell, it was a

Page 80

1       hypothetical, and I think it's absolutely relevant  
2       and material to this line of questioning, this  
3       inquiry. There has been testimony from multiple  
4       witnesses about this --

5               CHAIR MITCHELL: All right. I'll  
6       overrule the objection. Answer the question,  
7       please, ma'am.

8               THE WITNESS: So, obviously, we would do  
9       our very best to do anything that this Commission  
10      asks us to do. However, I do think it would be  
11      difficult, given that we are just starting to  
12      develop this framework where costs go with  
13      benefits. And so I think we would need to make  
14      some assumptions, and that might not be where we  
15      land with the framework.

16      Q.     Okay. Thank you. And last but not least,  
17      Mr. Peeler, I've got a few questions for you.

18              MS. CRESS: I will ask that CIGFUR II  
19      and III's final exhibit for this panel be  
20      identified and marked for the record as CIGFUR II  
21      and III Carolinas Utilities Operations Panel Direct  
22      Cross Examination Exhibit Number 9, which is Duke's  
23      response to Public Staff Data Request 13-9.

24              CHAIR MITCHELL: All right. The



document will be marked as CIGFUR II and III  
Carolinas Utilities Operations Panel Direct Cross  
Examination Exhibit Number 9.

(CIGFUR II and III Carolinas Utilities  
Operations Panel Direct Cross  
Examination Exhibit Number 9 was marked  
for identification.)

MS. CRESS: Thank you, Chair Mitchell.

Q. Mr. Peeler, you were the responder for this  
data request; is that right?

A. (Nelson Peeler) Yes.

Q. Okay. And am I correct that, in response to  
subpart D of this data request, you state in part that,  
quote, developing execution plans for a merger is not  
timely until more clarity is gained regarding the  
direction resource planning will take in  
South Carolina?

A. Just give me just a minute to read it.

(Witness peruses document.)

Could you just repeat the question? Make  
sure I answer exactly what you asked.

Q. How about you, sir, read your answer, just  
subpart D into the record, please.

A. "Developing execution plans for a merger is

Page 82

1 not timely until more clarity is gained regarding the  
2 direction resource planning will take in  
3 South Carolina. CSO execution plans are being  
4 developed to allow for future flexibility if merging  
5 the utilities is later determined to be most beneficial  
6 for both North and South Carolina customers and  
7 stakeholders."

8 Q. Thank you. Nothing further for this panel.

9 CHAIR MITCHELL: All right. Let's see.  
10 Next up would be SACE. Go ahead, Mr. Neal.

11 MR. NEAL: Thank you, Chair Mitchell.

12 CROSS EXAMINATION BY MR. NEAL:

13 Q. David Neal for SACE, et al. Good morning,  
14 Mr. Peeler, Ms. Bateman.

15 A. (Nelson Peeler) Good morning.

16 A. (Laura Bateman) Good morning.

17 Q. Oh, gosh, good afternoon. Mr. Peeler,  
18 starting with you, on page 5 of y'all -- of your  
19 testimony.

20 Could you read the first sentence there --  
21 I'm sorry, the -- on line 12, the sentence starting  
22 "combining into a single?"

23 A. (Nelson Peeler) "Combining into a single  
24 balancing authority to manage load and resources

1 produces savings annually for customers, helps  
2 accommodate expanded levels of variable renewable  
3 energy resources, substantially reduces forced solar  
4 curtailment, and eliminates several hundred annual  
5 combustion turbine starts that increase fleet  
6 maintenance costs."

7 Q. Thank you. And you would agree that the next  
8 sentence you also note benefits to customers in the  
9 form of lower fuel costs and reduced carbon dioxide  
10 emissions, correct?

11 A. Correct.

12 Q. And would you agree that one reason for the  
13 benefits you outline in your testimony is that the  
14 aggregate output from variable renewable generation  
15 becomes less variable as the geographic size of the  
16 balancing area containing those resources and the load  
17 that they serve increase?

18 A. To an extent, yes.

19 Q. And by the same token, enhanced interregional  
20 connections with neighboring utilities or wholesale  
21 energy markets could provide similar economic and  
22 reliability benefits to the ones that you outlined in  
23 your testimony?

24 A. So not completely in this context, but to

1 some extent, a larger footprint, as you describe, can  
2 support, you know, improved dispatch. But in this  
3 regard, such a construct doesn't really support  
4 resource plans like we're talking about here to  
5 actually place renewable resources. So the type of  
6 construct you're talking about is an operating only  
7 construct, not a resource plan.

8 Q. But you would agree that, from an operational  
9 point of view, some of the benefits of -- that you  
10 described from having variable resources serve a larger  
11 area, could apply, from an operations point of view?

12 A. Again, I would agree up to a certain point.  
13 There's diminishing return on scale and resources. The  
14 Duke Energy system scale is very large when combined  
15 and has variable -- has a wide range of diverse  
16 resources that actually support that. Things like pump  
17 storage, various types of generation that's very  
18 capable of managing the variability.

19 So there's a diminishing return is my point.  
20 The Duke Energy system is very large and reaches near  
21 that diminishing return.

22 Q. And, Ms. Bateman, turning to your testimony  
23 on the issue of rate disparities between the Duke  
24 utilities, which I believe you discuss on page 9.

1           A.       (Laura Bateman) Yes.

2           Q.       As I recall your testimony there was in the  
3 context of this issue of a merger of DEC and DEP.

4                   And is it fair to say that that merger would  
5 take some time?

6           A.       Yes. I believe we had an appendix to our  
7 testimony that laid out a potential timeline.

8           Q.       And so even following a merger, as I  
9 understand your testimony, rate disparities may  
10 persist, such that retail customers of the current DEP  
11 service territory may remain higher than for retail  
12 customers in the DEC territory; isn't that right?

13          A.       So yes, I think I talked about, if we were to  
14 merge, the discretion that this Commission would have  
15 on how quickly or slowly to merge those rates. And  
16 this is something that this Commission deals with in  
17 every rate case, but typically between customer  
18 classes. And so sometimes there's different returns  
19 that are being earned from different classes.

20                   So one class might be subsidizing another  
21 class. And we try to move those returns closer  
22 together, but we employ a principle of gradualism to  
23 avoid rate shock. And I think those are two principles  
24 that I know the Public Staff has testified to and that

1 we employ in establishing those rate increases by  
2 customer class.

3 Q. And given that disparity that exists and may  
4 persist, even following a merger, to the extent a  
5 Carbon Plan compliance pathway that otherwise complies  
6 with all the requirements of House Bill 951 -- least  
7 cost, reliability, carbon reduction, all that -- to the  
8 extent that you had a compliance pathway that had  
9 relatively higher rate increases for the DEC retail  
10 customers than the DEP retail customers, that would  
11 help to mitigate that disparity; isn't that right?

12 A. So no. If we're in a scenario where a merger  
13 between DEC and DEP is accomplished, new costs or cost  
14 increases, so back to kind of how we deal with  
15 differences in customer classes today, so new increases  
16 are spread typically based on rate base. So they're  
17 spread more proportionally. And to the customer  
18 classes and this example would be spread more  
19 proportionally to DEC and DEP customers.

20 It's how you address that existing disparity  
21 that can be done over time and with gradualism.

22 Q. So to the extent that the Companies incurred  
23 carbon compliance costs before a merger and had to  
24 allocate those costs between DEC and DEP, to the extent

1 that occurred and you had relatively higher costs  
2 imposed on DEC customer than DEP customers, in that  
3 scenario, that would help to mitigate the existing rate  
4 disparity, right?

5 A. So potentially. I think I testify in my  
6 rebuttal testimony, if we look at revenue requirement  
7 impacts through 2026, that they tend to be -- the  
8 difference between DEP and DEC is very small, and in  
9 several of the portfolios, in fact, I think a majority  
10 of the portfolios, the impact to DEC is greater than  
11 DEP.

12 But some of that will depend on rate case  
13 timing, and our modeling assumes perfect ratemaking,  
14 meaning that as soon as the costs are incurred, they're  
15 reflected in customers' rates. And that's not  
16 necessarily how the real world works, so there could be  
17 some other factors that weigh into that.

18 Q. Returning to the topic that you were  
19 discussing earlier about jurisdictional allocation, you  
20 would agree that whatever Carbon Plan this Commission  
21 adopts -- or whatever resource portfolio is adopted to  
22 comply with HB 951, the focus on any dispute between  
23 North and South Carolina would be really on the  
24 incremental costs of meeting those carbon reduction

1 goals, not the entire PVRR, present value revenue  
2 requirement; isn't that right?

3 A. So I think the way that we've been thinking  
4 about it is we're asking the Commission to approve the  
5 near-term actions that we requested in this proceeding,  
6 and then we've been thinking about a framework where,  
7 not necessarily looking at incremental cost versus base  
8 cost, because I think that's gonna evolve as we get  
9 further out in time. And it's just not how we've been  
10 thinking it. But instead we've been thinking about  
11 resource by resource.

12 Is this a joint-state resource; is this a  
13 North Carolina-only resource; is this a  
14 South Carolina-only resource. And then the cost of  
15 that resource, as well as the output of that resource,  
16 would go directly to that state, if it were a  
17 North Carolina-only or South Carolina-only resource.

18 Q. Thank you. No further questions.

19 CHAIR MITCHELL: All right. Tech  
20 Customers?

21 MR. SCHAUER: Thank you, Chair Mitchell.

22 CROSS EXAMINATION BY MR. SCHAUER:

23 Q. Craig Schauer on behalf of the Tech  
24 Customers.



Page 89

1           If at the conclusion of South Carolina's 2023  
2    IRP, Duke finds a disalignment of policies between  
3    North Carolina and South Carolina, will Duke model the  
4    potential disallowance of costs by South Carolina as  
5    part of Duke's next Carbon Plan?

6           A.       (Laura Bateman) So I might phrase it  
7    differently, because again, the framework that we've  
8    been thinking of is you have joint resources,  
9    North Carolina-only resources, and South Carolina-only  
10   resources. So if we had more clarity at that point on  
11   both the resource plans and the framework, then I think  
12   we would.

13          Q.       Thank you. No further questions.

14                 CHAIR MITCHELL: All right. Walmart?

15                 MR. SMITH: Commissioner, counsel for  
16    Walmart instructed me to tell you that she wouldn't  
17    have any questions after CIGFUR's line of  
18    questions, and she had to take a phone call.

19                 CHAIR MITCHELL: Okay. Public Staff?

20   CROSS EXAMINATION BY MS. EDMONDSON:

21          Q.       Good afternoon, Ms. Bateman, Mr. Peeler.  
22    Lucy Edmondson with the Public Staff.

23                 When do you expect the South Carolina IRP  
24    proceeding to conclude?

1           A.       (Laura Bateman) Actually, I don't know for  
2       sure. I think we're gonna file it in the middle of  
3       next year, but I don't know.

4           A.       (Nelson Peeler) I don't know. We can  
5       certainly find that out, but it's to be filed in, I  
6       believe it's the third quarter of '23.

7           Q.       And do you recall how long the last one took,  
8       not counting appeals?

9           A.       I do not.

10          Q.       So just trying to get an idea of when we  
11       could expect a decision from South Carolina; do you  
12       think it would be in 2023, '24, '25?

13          A.       (Laura Bateman) I think we could get an  
14       answer for you, but I don't know off the top of my  
15       head.

16          Q.       Okay. I may ask you that on the rebuttal.

17          A.       Okay. Or I'm sure you could ask the Modeling  
18       Panel.

19          Q.       Okay. Great. Ms. Bateman, Mr. Peeler, on  
20       page 9 of your testimony, you have a chart showing the  
21       difference in retail rates between DEC and DEP.

22          A.       Yes.

23          Q.       And those rates are an average retail rate in  
24       cents per kilowatt hour?

1 A. Correct.

2 Q. And your numbers go through 2019?

3 A. Correct.

4 Q. Did you-all have a chance to review

5 Mr. McLawhorn's testimony?

6 A. I did.

7 Q. Did you -- on page 6 -- do you have the  
8 testimony with you?

9 A. Yes.

10 Q. On page 6 of his testimony, he has a Table 1.

11 A. Yes.

12 Q. And he is using a different basis for his  
13 table, correct?

14 A. Correct. He is looking at the typical  
15 residential customer using 1,000 kWh, and I believe  
16 it's -- and I probably have to ask Mr. McLawhorn. I  
17 wasn't able to tie exactly to his numbers, but there's  
18 many different ways that you can look at it: summer,  
19 winter, annualized, I know he's got as of August in  
20 there. So don't have any reason to dispute his  
21 numbers. But there's many different ways to look at it  
22 and you get slightly different answers.

23 Q. Did your numbers include the various riders?

24 A. Yes, they did.

1 Q. And so you couldn't tie his numbers, but do  
2 you dispute his numbers?

3 A. No.

4 Q. And understanding that your two charts  
5 compare different things, you would agree  
6 Mr. McLawhorn's chart shows a much larger disparity  
7 between DEC and DEP customers?

8 A. (Witness peruses document.)

9 I don't -- I don't know that I would agree  
10 with that.

11 Q. Okay.

12 A. I think they both show a disparity, and they  
13 both show that disparity changing over time. That's  
14 what I would say is that -- so, for example, on my  
15 chart, in 2010, if you're doing cents per kWh, you  
16 know, maybe that's the same as dollars per 1,000 kWh.  
17 Or I'm sorry -- yeah, I think you could compare that.  
18 So I've got, like, a dollar -- one-and-a-half dollars  
19 and he's got, like, \$10. I think they're pretty  
20 comparable.

21 I think they both show that DEP has higher  
22 rates, and they both show that that -- how far apart  
23 they are fluctuates over time. In some years it gets  
24 closer together, in other years it gets further apart.

1 And I think I testified in my rebuttal testimony that a  
2 significant portion of that difference is due to the  
3 fuel rates, differences in the fuel rates.

4 And so if you think about the volatility of  
5 the fuel, the timing of the different fuel proceedings,  
6 you could have an issue with where one utility has an  
7 over-recovery and the other one has an under-recovery.  
8 In the same -- in the same time period one might be  
9 collecting an over-recovery and the other an  
10 under-recovery, and so that can make your rates look  
11 further apart or closer together, depending on what's  
12 going on with the over- or under-recovery in the fuel.

13 Q. But his chart also included 2020, '21, and  
14 '22?

15 A. Correct.

16 Q. And those show an increasing disparity?

17 A. Well, yeah. I would just say that they show  
18 a disparity. And since most of it is driven by fuel, I  
19 don't know that you can look at any particular trend.  
20 And I think they go further apart, they go closer  
21 together, they go further apart, they go closer  
22 together. And we've seen that over many, many years.  
23 I think he goes back to 2007. You know, we went from  
24 2007 to 2012, but you can see it over that whole time

1 period. They go closer together, they go further  
2 apart.

3 Q. All right. Turning to page 14 of your  
4 testimony. On lines 4 through 6, you say that one  
5 option to address rate disparities is to evaluate  
6 whether DEC could own solar generation in DEP's  
7 territory.

8 A. Yes.

9 Q. What is the status of that evaluation?

10 A. So I'll speak to it a little bit. I mean --  
11 and then I'm gonna ask Nelson maybe to help, because it  
12 has to do with transmission. So DEC could own the  
13 solar generation, but if it's used for capacity, in  
14 order to get any capacity credit for it, there would  
15 have to be firm transmission, I believe.

16 And so I think just working through that --  
17 what would be the most cost-effective way to do it. Is  
18 it more cost effective on for DEC to own solar  
19 generation in DEC service territory or to own in DEP  
20 service territory and build the transmission for it, or  
21 is there some other creative scenario or arrangement  
22 that we haven't thought of?

23 A. (Nelson Peeler) Yeah. I'll just add, and  
24 Ms. Bateman covered it, but looking at the options, if

Page 95

1 we're gonna count capacity of that solar, we'd need a  
2 firm path to get it to the other operating company.  
3 And that potentially adds cost which might make that  
4 not the most cost-effective way to do it.

5 So I'll just say the evaluation's really in  
6 that preliminary somewhat of a discussion stage to  
7 determine if it's feasible. But no real thorough  
8 analysis about all those potential complications.

9 Q. When do you expect this evaluation to be  
10 concluded?

11 A. So it's part of our overall, you know, work  
12 here around the work with -- the framework that  
13 Ms. Bateman mentioned earlier about the potential for a  
14 framework that allows some variation in state policy.  
15 We're really focused on that right now. This is an  
16 alternative.

17 So I would say, you know, it's definitely not  
18 while we're doing these proceedings. I would think it  
19 goes in that same timeline with the other work with  
20 South Carolina. So into next year as a potential  
21 option.

22 Q. All right. And also in -- on line 9, you say  
23 you're evaluating joint ownership of wind generation?

24 A. (Laura Bateman) Correct.

Page 96

1 Q. Is that being evaluated on the same timeline,  
2 Mr. Peeler?

3 A. (Nelson Peeler) I would say yes. Just  
4 again, this is intended to provide some potential  
5 scenarios of options, the things that could be done  
6 certainly with wind -- wind's a capacity resource, so  
7 there would definitely need to be some transmission to  
8 be addressed, but it's in the same time frame of the  
9 overall review.

10 Q. And on line 18 of that same page, you talk  
11 about allocating transmission investment.

12 Is that, again, sort of on the same time  
13 frame as well?

14 A. It is. And I'll just add, the other piece to  
15 that one is, if we do not end up going forward with the  
16 utility merger, we still would intend to go forward  
17 with consolidated operations as defined in here, which  
18 would create a single transmission planning footprint  
19 and a single transmission tariff for the Carolinas  
20 operation. So that would create a single transmission  
21 rate in the Carolinas.

22 A. (Laura Bateman) Yeah. And I think that's --  
23 just to add that that would be -- the wholesale OATT  
24 transmission rate would be one rate. And so one thing



Page 97

1 that we could consider if a merger was not feasible is  
2 proposing something similar in the retail rates.

3 Q. And when would you expect Duke and all of us  
4 to know whether a merger was feasible or not?

5 A. (Nelson Peeler) I'll just reference the  
6 timeline in our exhibit. It's just kind of an  
7 indicative timeline, but really we were looking at some  
8 evaluation over roughly the next nine months that helps  
9 us do some cost benefit analysis and other things. And  
10 then following that with, you know, stakeholder  
11 engagement. So it's probably late '23, early '24  
12 before there's a clear direction on that.

13 A. (Laura Bateman) And then I would just add  
14 that approval is needed from three regulatory  
15 commissions. And so there might not be clarity on that  
16 until we get further into the timeline.

17 Q. Were you here for the line of questioning  
18 during the Modeling Panel regarding the selection of  
19 combined cycles in P1 through P4 which would have one  
20 located in DEC territory and one in DEP? Are you  
21 familiar with that.

22 A. I was here for most of their testimony.

23 A. (Nelson Peeler) I'm not certain, but I'm  
24 certainly happy to take a question.

1 Q. Okay. And you'll accept that, in P1 through  
2 P4, it has one CC in each territory?

3 A. Yes.

4 Q. And then in Portfolio 5, both CCs are in the  
5 DEC territory.

6 If the Commission's Carbon Plan selected both  
7 CCs to be in DEC territory, would Duke propose to  
8 construct one CC in DEP's territory or come up with a  
9 way to allocate?

10 A. Just to make sure I got the question right,  
11 are you asking would we site one in DEP and one in DEC?  
12 I guess my answer would be that we aren't to the siting  
13 point yet, that those discussions are really just for  
14 modeling and indicative of where they would be.

15 So we would select the best location, whether  
16 it would be DEC or DEP, based on assuming a merger.  
17 Based on a lot of things that go into that, fuel  
18 supply, you know, transmission access, all those types  
19 of things.

20 A. (Laura Bateman) And just to clarify your  
21 hypothetical, are you saying the Commission adopts a  
22 Carbon Plan that has one combined cycle in DEC and one  
23 combined cycle in DEP service territories?

24 Q. Right.

1           A.       So I would assume, if that's what the  
2 Commission directs us to do, that we would do that.

3           A.       (Nelson Peeler) Yeah, I misunderstood. I'm  
4 sorry.

5           Q.       That's fine. And you would agree that siting  
6 of the new Carbon Plan generation is gonna be an  
7 important consideration as to cost allocation?

8           A.       Yeah. Siting is important for a number of  
9 reasons.

10          Q.       And you would agree a merger of the DEC and  
11 DEP could potentially obviate the issues about siting  
12 and allocation?

13          A.       (Laura Bateman) Yes, I would agree.

14          Q.       All right. That's all I have. Thank you.

15                   CHAIR MITCHELL: All right. At this  
16 point, we're gonna break for lunch, and we'll be  
17 back on -- so we'll go off the record. We'll be  
18 back on at 1:45.


19                   (The hearing was adjourned at 12:28 p.m.  
20 and set to reconvene at 1:45 p.m. on  
21 Monday, September 19, 2022.)  
22  
23  
24

## CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA )  
COUNTY OF WAKE )

I, Joann Bunze, RPR, the officer before whom the foregoing hearing was conducted, do hereby certify that any witnesses whose testimony may appear in the foregoing hearing were duly sworn; that the foregoing proceedings were taken by me to the best of my ability and thereafter reduced to typewritten format under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 22nd day of September, 2022.



JOANN BUNZE, RPR

Notary Public #200707300112

