

PLACE: Dobbs Building, Raleigh, North Carolina

DATE: Tuesday, July 16, 2019

TIME: 9:36 a.m. - 1:01 p.m.

DOCKET NO.: E-100, Sub 158

BEFORE: Chair Charlotte A. Mitchell, Presiding

Commissioner Tonia D. Brown-Blair

Commissioner Lyons Gray

Commissioner Daniel G. Clodfelter

IN THE MATTER OF:

General Electric

Biennial Determination of Avoided Cost

Rates for Electric Utility Purchases

from Qualifying Facilities - 2018

VOLUME: 3

## A P P E A R A N C E S:

FOR DUKE ENERGY CAROLINAS, LLC, and

DUKE ENERGY PROGRESS, LLC:

Kendrick Fentress, Esq.

Duke Energy Corporation

Associate General Counsel

410 South Wilmington Street

Raleigh, North Carolina 27602

E. Brett Breitschwerdt, Esq.

McGuireWoods LLP

434 Fayetteville Street, Suite 2600

Raleigh, North Carolina 27601

FOR DOMINION ENERGY NORTH CAROLINA:

Mary Lynne Grigg, Esq.

Nick Dantonio, Esq.

McGuireWoods LLP

434 Fayetteville Street, Suite 2600

Raleigh, North Carolina 27601

A P P E A R A N C E S    Cont'd. :

FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:

Benj ami n Smi th, Esq.

Regul atory Counsel

4800 Si x Forks Road, Sui te 300

Ral ei gh, North Carol i na 27609

FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY:

Lauren Bowen, Esq.

Seni or Attorney

Mai a Hutt, Esq.

Associ ate Attorney

Southern Envi ronmental Law Center

601 West Rosemary Street, Sui te 220

Chapel Hi ll, North Carol i na 27516

FOR NORTH CAROLINA CLEAN ENERGY BUSINESS ALLIANCE

and ECOPLEXUS, INC. :

Karen M. Kemerai t, Esq.

Fox Rothschi ld LLP

434 Fayettevill e Street, Sui te 2800

Ral ei gh, North Carol i na 27601

A P P E A R A N C E S    Cont'd.:

FOR THE NORTH CAROLINA CLEAN ENERGY BUSINESS ALLIANCE:

Steven Levitas, Esq.

Kilpatrick Townsend & Stockton LLP

4208 Six Forks Road, Suite 1400

Raleigh, North Carolina 27609

FOR NORTH CAROLINA SMALL HYDRO GROUP:

Deborah Ross, Esq.

Fox Rothschild LLP

434 Fayetteville Street, Suite 2800

Raleigh, North Carolina 27601

FOR CUBE YADKIN GENERATION:

Ben Snowden, Esq.

Kilpatrick Townsend & Stockton LLP

4208 Six Forks Road, Suite 1400

Raleigh, North Carolina 27609

FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION:

Robert F. Page, Esq.

Crisp, Page & Currin, LLP

4010 Barrett Drive, Suite 205

Raleigh, North Carolina 27609

5

A P P E A R A N C E S    Cont'd. :

FOR NC WARN:

Kristen Wills, Esq.

2812 Hillsborough Road

Durham, North Carolina 27705

Matthew D. Quinn, Esq.

Lewis & Roberts, PLLC

3700 Glenwood Avenue, Suite 410

Raleigh, North Carolina 27612

FOR THE USING AND CONSUMING PUBLIC AND ON BEHALF OF THE  
STATE AND ITS CITIZENS IN THIS MATTER AFFECTING THE  
PUBLIC INTEREST:

Jennifer T. Harrod, Esq.

Special Deputy Attorney General

Teresa L. Townsend, Esq.

Special Deputy Attorney General

Office of the North Carolina Attorney General

114 West Edenton Street

Raleigh, North Carolina 27603

A P P E A R A N C E S    Cont'd:

FOR THE USING AND CONSUMING PUBLIC:

Tim R. Dodge, Esq.

Layla Cummings, Esq.

Lucy E. Edmondson, Esq.

Heather D. Fennell, Esq.

Public Staff - North Carolina Utilities Commission

4326 Mail Service Center

Raleigh, North Carolina 27699-4300

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

T A B L E   O F   C O N T E N T S  
E X A M I N A T I O N S

PANEL OF  
GLEN A. SNIDER, STEVEN B. WHEELER,  
and DAVID B. JOHNSON

PAGE

Continued Cross Examination ..... 8  
By Mr. Levitas

Cross Examination By Ms. Ross..... 53

Cross Examination By Ms. Kemeraйт..... 64

Cross Examination By Mr. Quinn..... 90

Cross Examination By Mr. Dodge..... 115

Examination By Commissioner Clodfel ter.... 140

## P R O C E E D I N G S

CHAIR MITCHELL: Good morning. Let's go back on the record. Mr. Levitas, I believe you have the mic.

MR. LEVITAS: Thank you, Madam Chair.

GLEN A. SNIDER, STEVEN B. WHEELER,  
and DAVID B. JOHNSON,  
having previously been duly sworn, were examined  
and testified as follows:

CONTINUED CROSS EXAMINATION BY MR. LEVITAS:

Q. Mr. Snider, et al., I'm a little uncertain exactly about where I left off yesterday, so forgive me if I backtrack a little bit, but one question that we were talking about was the existing PPA contract language and what it means with respect to the ability of the QF to make modifications. And I believe, in your supplemental rebuttal testimony, around page 31, you talk about the -- you talk about facility information that's provided in the negotiated contract; is that correct?

A. (Glen A. Snider.) Are you on page 31 of the supplemental rebuttal?

Q. Page 31, right. And you indicate that -- you indicate that the negotiated contract includes a



1 detailed description of the QF precise location,  
2 et cetera, Mr. Johnson?

3 A. (David B. Johnson.) Yes, that was my  
4 testimony.

5 Q. And that, in fact, is an exhibit to that  
6 contract that's labeled "Facility Information"; is it  
7 not?

8 A. Yes, it's Exhibit 4 to the negotiated  
9 agreement.

10 Q. And there's nothing in that contract anywhere  
11 that makes any reference or discussion to that facility  
12 description expressly being a material term that can't  
13 be modified without Duke's approval, is there?

14 A. I don't think there is for some of the old  
15 ones. Now, we have included in some of the new  
16 agreements. But again, as I stated yesterday, the  
17 agreement -- it's understood that the agreement is for  
18 a facility that's built specifically for that PPA; and  
19 any changes -- any significant changes to that facility  
20 would be considered an alteration of that facility and  
21 would need Duke consent.

22 Q. Yeah, but -- that's my point is, you're  
23 seeking to modify the language of the agreement to  
24 accomplish that and make it clear, as opposed to that

10

1 language being in the agreement today, correct?

2 A. Well, what we're talking about in this  
3 proceeding is for the standard PPA providing clarifying  
4 language in the terms and conditions.

5 Q. All right. Let me ask you a question about  
6 this issue of the appropriate in-service date to be  
7 used for calculating avoided costs that's been the  
8 subject of your testimony. And I understand, with  
9 respect to the standard offer PPA, that your position  
10 is it's been company practice, Commission practice to  
11 utilize, I believe, the year immediately following the  
12 approval of the avoided costs as the presumed  
13 in-service date for projecting out the avoided costs,  
14 correct?

15 A. (Glen A. Snider.) That is correct.

16 Q. Now, with respect to negotiated contracts,  
17 isn't it the case that, when you've negotiated PPAs  
18 with QFs, that the avoided cost rates that had been  
19 included in those contracts had been based on the  
20 actual projected in-service dates? So not the  
21 following year of execution or approval of the rate,  
22 but the actual expected date that those projects will  
23 be placed in service?

24 A. That is my understandings, yes.

11

1 Q. Do you see any reason why that shouldn't  
2 continue going forward?

3 A. At this time, I do not.

4 Q. Okay. Thank you. Now, I just want to  
5 clarify something, Mr. Snider. I asked you yesterday  
6 about peer review and the fact that no peer review was  
7 done of the Astrape study. I just want to clarify.

8 I think you might have responded to this, but  
9 was it your testimony, or is it your explanation that  
10 peer review was not done because it wasn't sufficient  
11 time to do it or because you didn't think it was  
12 important?

13 A. Neither. I think my testimony said this was  
14 widely reviewed. Your definition of peer review and  
15 mine, I think we discussed yesterday, disagrees. I'm  
16 not, you know, sure what -- exactly what you mean by  
17 peer review, but to the extent this was -- study was  
18 done and performed and had extensive review through  
19 this process, this entire process started back in  
20 November of 2018. We sit here in July, eight months  
21 later. The Company and its consultants allowed  
22 intervenors and the Public Staff to review this study  
23 extensively. It has been compared to other studies by  
24 the intervenors; it's been reviewed by Public Staff in

12

1 light of other similar studies; its results were found  
2 reasonable by Public Staff and the Company, and so I  
3 think this has probably been reviewed and reviewed by  
4 contemporaries more than the average study.

5 Q. What's your basis for saying that? Do you  
6 have some information about what is typical with  
7 respect to average review of studies of this sort?

8 A. Yeah. My experience has been that, as I  
9 testified for over 10 years before many commissions,  
10 that this study seemed to get more attention than any  
11 other study I can remember in recent history.

12 Q. Are you aware of any industry organizations  
13 that provide for formal technical review committees for  
14 reports and studies of this sort?

15 A. I personally am not aware of which ones you  
16 are speaking of.

17 Q. And with respect to the extensive review that  
18 you claim occurred, I understand you to say that  
19 occurred or was conducted by Duke personnel, by Astrape  
20 personnel, and by the Public Staff; is that correct?

21 A. And by intervenors.

22 Q. Well, except with the case of the review done  
23 by intervenors, as indicated in your testimony  
24 yesterday, you don't assign value to that review, and

13

1 you dismissed it as just them not liking the results,  
2 so.

3 A. Yeah, I think they made some critical  
4 mistakes in their review and have a very vested  
5 interest in an outcome.

6 Q. But just to clarify, there was no independent  
7 body with no dog in the fight on either side that, with  
8 proper qualifications, attempted to review and validate  
9 this methodology and its results; isn't that correct?

10 A. I would not characterize the Public Staff as  
11 an unqualified body, so I disagree.

12 Q. We'll talk later about the qualifications of  
13 the staff personnel that was involved in this review.  
14 And I also asked you with respect to the involvement of  
15 stakeholders.

16 And I do think you testified, as I recall, in  
17 that case, that you simply didn't think there was  
18 sufficient time to involve stakeholders in the design  
19 and conceptualization of this model before it was  
20 conducted; is that correct?

21 A. No. I think I said -- yeah, I'm not -- I  
22 questioned both time and the appropriateness. Again,  
23 the stakeholder is -- has a -- utility here is the  
24 intermediary. When you say "have no dog in the fight,"

14

1 utility does not really have a dog in this fight.  
2 Whether we buy purchase power and pass it through the  
3 fuel clause or buy fuel and pass it through the fuel  
4 clause, utility is not making more or less money either  
5 way. So we don't have a dog in the fight.

6 And so to bring in a third party who has a  
7 very specific dog in the fight, it is their dollars  
8 that we are ascribing a cost to. And they're going to  
9 come into that collaborative, quote, unquote, process  
10 with a very specific objective, which is to minimize  
11 that or eliminate that cost because it's coming  
12 directly out of their revenue stream.

13 So I do not believe that that would be an  
14 appropriate process, and is not the role of the Company  
15 to engage in that type -- when performing a study from  
16 an independent perspective that's going to be reviewed  
17 by the Public Staff and subject to the discovery and  
18 the evidentiary proceeding that we have here today, it  
19 would be, to me, not necessarily appropriate to engage  
20 in a, quote, unquote, collaborative with the very  
21 people who are seeking to minimize or eliminate the  
22 charge.

23 Q. Let me ask you some questions about the  
24 timing of when these charges would become effective.

15

1           So, as I understand it, the integration  
2 charge is going to apply to existing QFs if and when  
3 they renew their current PPAs with the Company,  
4 correct?

5           A.     I would say, yeah, if they enter into a new  
6 PPA.

7           Q.     That's right. And so when do you expect the  
8 first such renewal of that sort to occur?

9           A.     I don't know if either of my panels know when  
10 the next expiry. We have thousands of contracts. I  
11 don't know when the next one expires.

12          Q.     Well, with respect to the standard offer  
13 PPAs, they're generally, at this point, 15-year PPAs,  
14 these legacy PPAs; and isn't it the case that the vast  
15 majority of those PPAs were entered into after, say,  
16 2009?

17          A.     I would agree that, for the vast majority,  
18 they would get a 10- to 15-year pass on this charge,  
19 yes.

20          Q.     Well -- so that's one way of looking at it.  
21 You want to refer to the pass.

22                 My question is, haven't you and your experts  
23 acknowledged that the accuracy of this modeling  
24 information is likely to improve significantly over

16

1 time, and with the addition -- with the acquisition of  
2 additional data and the performance of additional  
3 analysis?

4 A. I think any model learns from previous  
5 endeavors. Part of the reason we're recognizing that  
6 the Commission should have this updated every two years  
7 is, as those new circumstances evolve, as facts,  
8 figures, different approaches come forward, we will  
9 bring those forward. I think this is a very good study  
10 for this point in time. Am I saying it can't improve  
11 over time? I wouldn't say that of any study.

12 Q. Well, I understand that you think it's a very  
13 good study. Experts on this side think it's a highly  
14 flawed study.

15 MR. BREITSCHWERDT: Objection. Is there  
16 a question?

17 MR. LEVITAS: I'm getting to the  
18 question. Mr. Snider makes a speech in response to  
19 every question I ask, so I've allowed --

20 CHAIR MITCHELL: Mr. Levitas, please get  
21 to your question.

22 Q. So my question is, given the fact that there  
23 are highly respected experts on this side of the table  
24 who take serious issue with the study, have significant



17

1 problems with its methodology and assumption, and the  
2 fact that it is not going to apply to any renewing QF  
3 contracts for at least the period of time until the  
4 next avoided costs proceeding, and very likely the  
5 avoided cost proceeding beyond that, what is the rush  
6 to ask the Commission to approve the results of this  
7 study at this point in time?

8 A. As we have said, this would apply to new QFs  
9 moving forward, solar QFs in particular, that don't  
10 demonstrate an ability to alleviate the intermittency  
11 they are causing. And that is why we're putting it in  
12 at this time, and we're actually not reaching back to  
13 other ones as a concession to the QF community to do  
14 this in a very measured approach.

15 I mean, one approach would have been  
16 everybody's causing this, everybody should pay for it,  
17 let's ask the Commission to have everyone start paying  
18 for it immediately. I mean, we're looking to reopen  
19 contracts for other reasons. You know, we could have  
20 asked for that. We did not.

21 We tried to give deference to the existing  
22 solar QFs and say, now that we have 3,000 megawatts on  
23 the system with a \$4.5 billion obligation, the  
24 Commission ordered, in the Sub 148 order, to

18

1 specifically identify any costs or benefits that  
2 intermittent renewables are producing and then come  
3 forward with it; and that's exactly what we did in  
4 response to that order.

5 Q. What efforts did you make to identify  
6 benefits that are associated with renewable generation?

7 A. We have consistently looked for additional  
8 benefits. And, you know, I think some of the  
9 intervenors have brought up a couple: voided T&D. What  
10 we're seeing on a one-off basis, one by one by one, is  
11 that there are probably additional costs. It's  
12 difficult to ascertain a rate. So it's one thing to  
13 say we believe, based on what we're seeing with the QF,  
14 that there are T&D costs being imposed that the QF is  
15 not paying for, it's another thing to do a study that's  
16 substantially supported the way our ancillary service  
17 study is to say here's the rate we should charge.

18 So we're not charging the QF, because we  
19 don't have a study to say, oh, the QF is imposing T&D  
20 costs, such as the O&M of new facilities that's going  
21 to be absorbed by customers. It's hard to quantify  
22 that. So we haven't asked for that as a cost. The  
23 fact that the T&D that was available on the grid is now  
24 being consumed by the existing solar generators which

19

1 makes placing further firm generation on the grid more  
2 expensive is Difficult to quantify.

3 So we haven't included those costs. The  
4 areas that have been brought up as speculative  
5 benefits, we have seen example after example of costs.  
6 We have yet to define a study that says here is the  
7 exact cost it's imposing. So again, we feel that  
8 that's a, you know, conservative way to give deference  
9 to the QF community and not assign a cost unless we  
10 have a defined study that we feel we can quantify those  
11 costs.

12 So we've looked hard at it, we just don't  
13 have a systemwide study to define those costs.

14 Q. Well, did you retain a third-party consultant  
15 and ask them whether they could develop a study for the  
16 purpose of determining those benefits?

17 A. Actually, it was -- the benefits you're  
18 referring to we see as a cost. We have many examples  
19 on a project-by-project basis of where these are costs.  
20 So we're not avoiding T&D, we're incurring T&D costs.  
21 The other side in this proceeding is claiming those to  
22 be benefits. I have yet to, in talking to any of my  
23 peers around the country, find an industry or a utility  
24 that says the addition of a vast amount of intermittent

20

1 renewable generation is helping us to have a smaller  
2 transmission and distribution budget. I have yet to  
3 come up with a single peer that has said that.

4 I have been to many of my peers who have  
5 said, "Boy, we have to figure out how to keep up with  
6 the T&D needs of these QFs." So we see an acceleration  
7 of T&D costs. I think there is a good effort in the  
8 interconnection process to ascribe costs to the QF  
9 community that they're incurring, but I don't think we  
10 are fully ascribing all costs that they're incurring,  
11 and the remainder get, you know, passed on to  
12 ratepayers.

13 So, you know, I would say we've tried hard to  
14 look at it. We haven't tried to pass those costs along  
15 as a rate deduct in a manner until we have a study that  
16 quantifies it.

17 Q. Well, I understand that's your opinion that  
18 you don't think that there are benefits or haven't  
19 identified benefits, but I guess your answer to my  
20 question is, you did not engage a third-party  
21 consultant and ask them to do a study of those benefits  
22 to see what they might determine; isn't that correct?

23 A. We don't believe -- we're -- we'd have a hard  
24 time scoping the study, because we're trying to figure

21

1 out what benefits -- just like the intervenors, I  
2 think, didn't hire any third parties that were able to  
3 put forward any credible study to say here's a benefit  
4 that is being missed. So I'm waiting to review a study  
5 that shows a benefit, a concrete avoided cost, but for  
6 benefit, that under PURPA, but for the purchase of that  
7 QF, there would have been additional benefits to the  
8 consuming and using public.

9 If someone can point those out, we're happy  
10 to adopt them. And again, we really don't have a dog.  
11 It's what the true indifference price. And right now,  
12 the indifference price still gives plenty of deference  
13 to the QF community, because we're trying to capture  
14 all known and quantifiable costs, but there are  
15 certainly additional costs that we have not quantified.  
16 We have yet to find a benefit that we haven't  
17 quantified.

18 Q. Are you aware that FERC requires PJM, and  
19 perhaps other ISOs, to pay -- to adopt ratemaking to  
20 pay QFs for bars that are provided to the system?

21 A. I am not aware of what they are doing in PJM.

22 Q. And you were asked yesterday about the recent  
23 South Carolina legislation in which the Commission was  
24 directed to look at the value of ancillary services,

22

1 and I believe your answer was you were going to  
2 approach that issue the same way you're doing here.

3 Are you aware that the intention of that  
4 language was to consider --

5 MR. BREITSCHWERDT: Objection. I don't  
6 think it's relevant to North Carolina's  
7 implementation of PURPA what recent legislation in  
8 South Carolina has articulated as how they quantify  
9 avoided costs for purposes of that state.

10 MR. LEVITAS: Well, it imposed --  
11 Madam Chair, that legislation imposes an obligation  
12 on the Company, and the question is, how is the  
13 Company fulfilling that obligation, and how does  
14 that relate to what they do in this state?

15 MR. BREITSCHWERDT: That's not relevant  
16 to the avoided costs in North Carolina, which is  
17 prescribed by House Bill 589. I'm sure we will  
18 have plenty of time to talk about that in  
19 South Carolina.

20 CHAIR MITCHELL: I will allow the  
21 question, but let's just leave it at just one  
22 question.

23 Q. Just one question. My point is just that you  
24 answered the question yesterday suggesting that your

23

1 response would be the same as what you are doing here,  
2 which is basically to try to determine the additional  
3 ancillary service cost and to potentially develop a  
4 charge that would apply to South Carolina generators.

5 My point to you is, I believe it's the case,  
6 is it not, that the intention of that legislation is to  
7 require the Company to evaluate ancillary service  
8 benefits and potentially credit QFs for those benefits;  
9 isn't that right?

10 A. I think the intent is cost or benefit, get  
11 the impact right. I think it's simply what PURPA  
12 requires. If the QF can more than offset its -- you  
13 know, wants to sell ancillaries back after it's first  
14 alleviated the ancillary services cost -- its cost,  
15 then maybe there would be a potential. But it first  
16 has to alleviate its imposition of ancillaries onto the  
17 system before it can be paid for additional ancillary  
18 benefits.

19 Q. Let's talk some about CPRE Tranche 2. We  
20 talked about that a little bit yesterday, and I believe  
21 the panel has indicated, while there was a little bit  
22 of -- I would say the paper filing suggested that was  
23 an open question, but I understand it's your position  
24 now that you do intend to impose an integration charge

1 on CPRE Tranche 2 projects; is that correct?

2 A. I believe we testified we didn't -- it would  
3 impact it.

4 Q. Right. So this goes to a question -- I want  
5 to be sure everyone's clear about how this is going to  
6 work, because there's been a little bit of confusion  
7 and maybe disagreement in the record about this, and  
8 the Public Staff has opined on this issue.

9 The ancillary service charge that Duke is  
10 proposing is a discrete charge that would appear in the  
11 invoicing to the QF as opposed to a decrement to the  
12 avoided cost rate, correct?

13 A. Yes.

14 Q. And, in fact, the Public Staff has  
15 recommended that Dominion follow the Duke example of  
16 using a supplemental charge rather than a decrement to  
17 avoided cost, correct?

18 A. Subject to check, yes.

19 Q. So in the context of CPRE Tranche 2, the  
20 Commission, with your input, will determine the  
21 appropriate 20-year avoided cost rate, and that will  
22 become the cap for CPRE Tranche 2, correct?

23 A. Yes.

24 Q. And as with Tranche 1, the way the bid



25

1 evaluation procedure will work is that the market  
2 participant will bid a price into CPRE 2; the IA, with  
3 the assistance of Duke's Evaluation Committee, if I got  
4 the name right, will determine network upgrade costs;  
5 those will be combined together; and that will  
6 determine whether the combination of  
7 bid-plus-integration costs -- or interconnection costs  
8 will be below the cap and, therefore, the project will  
9 be eligible, correct?

10 MR. BREITSCHWERDT: Objection, again. I  
11 think we went through this yesterday fairly  
12 extensively that this has nothing to do with the  
13 issues the Commission noticed for hearing in this  
14 proceeding. We had a technical conference on CPRE  
15 a month ago. Commission issued an order saying  
16 that a pre-solicitation process would be commenced  
17 August 15th, and the initial RFP would be issued  
18 October 15th. We are far beyond the scope of what  
19 this proceeding is supposed to address.

20 MR. LEVITAS: Madam Chair, not only the  
21 technical conference but the extensive proceedings  
22 leading to the development of CPRE Tranche 2 made  
23 no mention and had no discussion of the impact of  
24 this charge on CPRE Tranche 2. I've suggested that

26

1 a major consequence of what you're doing in this  
2 proceeding will be the impact of this charge on  
3 Tranche 2, and I think it's appropriate to ask  
4 questions about that to be sure that the Commission  
5 understands how this will work, because it is  
6 highly uncertain based on the record to date how  
7 this program is -- how this charge is going to  
8 affect Tranche 2. And I think that's highly  
9 relevant to the decisions that you make about  
10 whether or not to approve the charge.

11 MR. BREITSCHWERDT: And I would just  
12 note that the Commission said that the purpose of  
13 this proceeding was to evaluate the quantification  
14 of the charge and didn't speak to the generalized  
15 policy arguments about how it would impact Tranche  
16 2 or other issues that are outside of the general  
17 implementation of PURPA. It's very precise in  
18 North Carolina law that the Commission and the  
19 utility shall follow the methodology prescribed by  
20 the Commission in establishing the cost cap for  
21 Tranche 2. And Duke plans to adhere to that in  
22 August when they would issue the pre-solicitation  
23 documents.

24 MR. LEVITAS: I'll keep my question on

27

1 the subject brief.

2 MR. BREITSCHWERDT: -- what we're here.

3 Thank you.

4 MR. LEVITAS: I can keep my questions on  
5 this subject brief.

6 CHAIR MITCHELL: All right. Gentlemen,  
7 I'll remind you not to speak over one another for  
8 purposes of the court reporting.

9 Mr. Levitas, I will allow the questions  
10 for now. Please move efficiently through them.

11 Q. So I'm just trying to understand the  
12 mechanics of how this charge will work in the context  
13 of CPRE Tranche 2.

14 So a bidder is going to have to make an  
15 assumption about what the integration -- applicable  
16 integration charge would be and design its bid  
17 accordingly in order to bid into the process; isn't  
18 that how it has to work? They have to account for that  
19 charge?

20 A. Yeah, I think they would definitely account.

21 Q. And a rational bidder is going to have to  
22 assume, will it not, that the potential charge that it  
23 faces over the life of a 20-year contract is subject to  
24 increases as that charge is potentially increased

1     against the cap, correct?

2           A.     I think, if I was evaluating it and was a  
3     bidder, I would say it starts with my base case being  
4     the charge as implemented and my tail risk is the cap.

5           Q.     Right. And so, as initial matter, that means  
6     that the presence of this charge is going to require  
7     that bids be higher than they otherwise would, and the  
8     issue is the costs paid under those contracts are fully  
9     paid by ratepayers; are they not?

10          A.     The costs paid are fully paid, yeah.

11          Q.     Right. So by moving these alleged  
12     integration costs from a ratepayer charge to a supplier  
13     charge in the context of CPRE, you're accomplishing  
14     nothing to insulate the ratepayers from those charges,  
15     are you?

16          A.     Potentially, there were bids that would be  
17     right at the avoided costs that might elect not to bid.  
18     So yes, we're still ensuring -- and again, House Bill  
19     589 was very clear, is accept bids as long as they come  
20     in under the true avoided costs they're creating. So  
21     if certain bids don't come in because they're creating  
22     costs and they can't cover those costs, then we  
23     shouldn't be accepting those bids in the first place.

24                 So no, I think you're still accomplishing the

29

1 intent of 589 and the intent of PURPA.

2 Q. Well, I understand that bids may be qualified  
3 as a result of having to absorb the integration charge,  
4 and that would accomplish the purpose that you  
5 suggested. So, to that point, let me ask you this:

6 Have you done any analysis, looking at the  
7 Tranche 1 bids, to see whether those bids would have  
8 been viable if they had been required to absorb your  
9 currently proposed integration charge?

10 A. No, I have not.

11 Q. Do you think that's an important question for  
12 this Commission?

13 A. I do not.

14 Q. Okay. But getting back to my primary point,  
15 even if the charge has the effect of weeding out some  
16 costly proposals so that they're no longer eligible,  
17 those that do come in under the cap, the point that I  
18 was making -- I want to know if you agree -- is that  
19 once those integration charges are incorporated into a  
20 CPRE bidder's bid, by definition, those costs are going  
21 to be paid by ratepayers who are paying the cost of the  
22 contract revenues under the CPRE program; isn't that  
23 right?

24 A. Yeah. So long as they come in under --

30

1 whatever their bid is -- under the 20-year avoided  
2 cost, as approved by this Commission, it's still  
3 generating a net benefit for the consumer. And if they  
4 need to adjust their bid, that is the way the process  
5 should work.

6 Q. I understand that, but my point is, when they  
7 do that, it increases the cost of the power that  
8 they're selling within the cap with the result that the  
9 ratepayer pays those integration charges just as they  
10 do today?

11 A. I would -- notwithstanding my other comment  
12 that says this will allow appropriate bids to come in.

13 Q. Yes. Okay.

14 A. They might -- we also talked yesterday about  
15 adding innovative technologies to alleviate that.

16 Q. Right. And I'll talk about that in a moment.  
17 So let me -- let me turn to the GSA program for a  
18 minute.

19 MR. BREITSCHWERDT: Objection. We are  
20 moving farther and farther afield from the purpose  
21 of this proceeding.

22 MR. LEVITAS: Well, again, Madam Chair,  
23 they're seeking to impose a charge that has  
24 significant consequences on other programs run by

31

1 this Commission, and I think it's appropriate for  
2 this Commission to understand what the impacts of  
3 what they're asking you to do in this proceeding  
4 will be for these other programs. And they  
5 indicated, in their prior testimony, they haven't  
6 even thought about that question, so I'd like to  
7 ask a few questions about that.

8 MR. BREITSCHWERDT: And to that precise  
9 point, Mr. Snider indicated yesterday he has no  
10 direct knowledge of whether this will be applied or  
11 how it would be applied to the GSA program. So I'm  
12 struggling with why we're rehashing something that  
13 was largely addressed yesterday, continues to be  
14 outside the scope of the noticed purpose of this  
15 proceeding, and the witness said he didn't have  
16 specific knowledge of it.

17 CHAIR MITCHELL: Mr. Levitas, to the  
18 extent the point that you are -- intend to make  
19 with your questions related to GSA is different  
20 than the point that you have been working on with  
21 respect to the CPRE program, I'll allow the  
22 questions, but as long as you proceed efficiently  
23 through them. But if the point is the same, we  
24 have heard the point.

32

1 MR. LEVITAS: I will try to condense my  
2 questions to make two quick points. One is a  
3 process point.

4 Q. I believe you're aware that the GSE -- GSA  
5 proceeding has been in progress for over 18 months;  
6 isn't that correct?

7 A. Yes.

8 Q. And during that 18-month period, has there  
9 been any mention by the Company, anything in the  
10 extensive filings that have been made, about the  
11 possibility that an integration services charge would  
12 be imposed on GSA contracts?

13 A. I'm not part to that. I have not been a  
14 party to those proceedings.

15 Q. And have you done any analysis of the  
16 potential impact of the ability of participating  
17 customers to participate in the GSA program if they are  
18 required to absorb the proposed integration services  
19 charge?

20 A. No. I have not done any analysis with  
21 respect to that, in particular.

22 Q. I want to go back to a series of -- a few  
23 questions about storage.

24 So it's been extensively covered in testimony



33

1 that the Company believes that battery storage devices,  
2 if properly designed, installed, and operated, can  
3 eliminate the integration impacts that the storage  
4 charge is designed to address; is that right?

5 A. Yes.

6 Q. And yet, at the same time that the Company is  
7 asking this Commission to approve this charge, which,  
8 as we discussed yesterday, has hundreds of millions of  
9 dollars of potential impact on operating facilities,  
10 the Company has been unwilling to define, in this  
11 proceeding, the exact storage requirements and  
12 operating procedures that you deem necessary in order  
13 for a customer or supplier to be able to relieve itself  
14 of that charge; isn't that right?

15 A. No, I think we said it's more appropriate  
16 that we're addressing the storage protocol as part of  
17 589, and that we would take this into consideration.  
18 That if a facility could demonstrate that they  
19 materially eliminated their intermittency through  
20 storage or other methods, that the Company agrees with  
21 the Public Staff that it would not be appropriate to a  
22 charge -- a charge for an intermittency they are no  
23 longer causing. So that's all we are saying.

24 And we said we would work in good faith to

34

1 negotiate those terms and conditions in a negotiated  
2 PPA; that we would, you know, work in good faith to  
3 have that be included in the storage protocol; and it  
4 would not be in a -- again, this proceeding is largely  
5 1 megawatt and under must take what is the 10-year  
6 avoided cost rate, that that is something that is more  
7 appropriately developed in those storage protocol  
8 discussions as well as in negotiations with negotiated  
9 PPAs above 1 megawatt, which we're not addressing the  
10 rates in this.

11 Q. The charge that you're seeking to have  
12 approved in this proceeding, by your own admission, is  
13 not limited in its applicability to 1 megawatt standard  
14 offer projects; isn't that correct? You're proposing  
15 to apply it in other contexts?

16 A. Right. But the ability to mitigate it is  
17 limited to above 1 megawatt. So under 1 megawatt has a  
18 must-take obligation. And if you go under the  
19 must-take and you put a battery -- a 500 kW battery  
20 with a 900 kW solar facility, we're in a must-take  
21 obligation under this. We're not -- we said if that  
22 same facility would like to alleviate the charge, we  
23 would be happy to negotiate that in a negotiated. But  
24 in terms of if they want to just assert their PURPA

35

1 rights under the file rates, that they would not be  
2 able to alleviate themselves of that charge.

3 Q. But, Mr. Snider, isn't there tremendous  
4 asymmetry there? Because you're asking this Commission  
5 now, in this proceeding, to approve an extremely  
6 substantial charge to be imposed on facilities that you  
7 say can be mitigated, but you don't want to address in  
8 this proceeding what the parties need to do to mitigate  
9 it. Now, if I'm going to try to react to how serious a  
10 problem I have here, I want to know, in detail, what I  
11 can do to avoid this charge.

12 Don't you think it's appropriate to deal with  
13 all of that at the same time?

14 A. Yeah. I think, in all fairness, any  
15 developer that's putting in a solar facility knows what  
16 intermittency is associated with it. They're very  
17 familiar with the technical details. They know exactly  
18 what they would need to do to eliminate that  
19 intermittency. And negotiating the terms and  
20 conditions of the storage protocol, I think, would be  
21 something that they would be very willing and able to  
22 do. And so I think that's just something that is --  
23 we've agreed to work with developers, we've agreed to  
24 include it in the storage protocol and, you know,

36

1     that's where our position is.

2           Q.     Well, in fact, you have left that decision --  
3     I appreciate that you're offering negotiations, but as  
4     with so many things, you've left that issue to the  
5     Company's reasonable discretion. So, ultimately, you  
6     get to decide what those protocols are. If an effected  
7     facility doesn't agree with your determination, the  
8     only recourse they have is to come to this Commission  
9     in timely and expensive litigation to have a dispute  
10    with you about that, rather than having this Commission  
11    decide those issues on the front end so everybody knows  
12    what the rules of the road are.

13                Now, why do you think that's a preferable  
14    approach to this issue?

15           A.     I think we've had extensive discussions in  
16    the technical conference that I participated in this  
17    Commission a few weeks ago. I think, out of that,  
18    there was a desire to go work in a transparent process  
19    with intervenors on the storage protocol. I think  
20    we're going to try and address this issue as part of  
21    that. I think there's nothing to infer that the  
22    utility somehow heavy-handedly coming in and imposing  
23    this without a willingness to work with parties is just  
24    incorrect.

37

1 I think, you know, having every detail worked  
2 out on the "what would it take to mitigate it" is  
3 not -- is not necessary for the Commission to determine  
4 whether or not the charges being asked for are  
5 reasonable, just, and appropriate for those that do  
6 not. For those QF facilities -- again, consistent with  
7 148 and the order that came out of 148, the Commission  
8 specifically directed the Companies to identify this  
9 cost.

10 We have done so with a great effort, with,  
11 you know, just an incredible amount of discovery that  
12 we responded to on this, and we've identified this cost  
13 in a way that we feel is just and prudent. And to  
14 simply point to the fact that there may be somebody who  
15 will offset it but they don't have all the details  
16 today so we shouldn't accept this charge just doesn't  
17 make sense to me.

18 Q. Well, isn't it the case that, under your  
19 current proposal, you have not even identified a role  
20 for the Commission in approving what these operating  
21 protocols would be? That's a unilateral decision that  
22 you're holding to yourself?

23 A. Again, outside of this proceeding, we've  
24 talked a lot about CPRE, we've talked a lot about all

1 these other programs. They are extensive ongoing  
2 proceedings around that. I'm sure this discussion will  
3 now, from this point forward, be part of that. So I  
4 don't think it's unilateral as you I making it out to  
5 be.

6 Q. Well, I didn't see anything in your testimony  
7 that suggested that you have the intention of bringing  
8 these protocols back to this Commission for approval;  
9 did I miss something on that?

10 A. I believe the storage protocol that will be  
11 ultimately adopted through the CPRE process, to my  
12 knowledge, will address concessions for -- or will  
13 address the issue of how do you smooth an intermittent  
14 facility that has a great deal of intra-hour  
15 volatility. And it will allow for smoothing of that  
16 facility if that facility wishes to alleviate itself of  
17 the integration services charge.

18 Q. Thank you for that. You mentioned in the  
19 context of CPRE. What about storage protocols that  
20 would be applicable to facilities outside of CPRE? Do  
21 you envision a similar process by which the protocols  
22 will ultimately be approved by this Commission?

23 A. Again, not being the person that is heading  
24 up those proceedings for the other programs, my general

39

1 understanding is we generally point to the protocol and  
2 CPRE, and we don't have separate storage protocol  
3 because you're under a different program. That's my  
4 general understanding. Again, I'm going to -- I'm  
5 saying that as the nonexpert in those programs. I have  
6 not -- I have not led the effort in those programs.

7 Q. Let me ask you a question about PURPA  
8 facilities.

9 So if I understand things correctly, upon  
10 expiration and potential renewal of a PURPA PPA, that  
11 QF would be subject to the integration charge, correct?

12 A. As we spoke about yesterday, when their  
13 contract terminates, if among their many options they,  
14 you know, tend to exercise is to renew a PPA, or I  
15 would say enter into a new PPA with the utility, if it  
16 had wanted to add storage as part of that new contract,  
17 then the then prevailing protocol would apply.

18 Q. And it's also the case, we've discussed this  
19 at some length, that -- it goes to my last series of  
20 questions -- if that QF is able to appropriately  
21 design, install, and operate the storage device, it has  
22 potential to be relieved of the obligation to make  
23 that -- to pay that charge, correct?

24 A. If, at that point in time, that was able to

40

1 do that and the Commission, at that point in time,  
2 again, 15 years from now, these rules were to, you  
3 know, be in place the way we're proposing them, then  
4 yes.

5 Q. So here's my question and concern:

6 So if I'm a QF, and I'm at year 13 of a  
7 15-year contract, or let's say you're 10 of 15-year  
8 contract, and I'm looking ahead to the renewal term,  
9 and I understand the policy -- this policy has been  
10 adopted that, if I seek to renew at that point in time,  
11 and I don't have storage in place, I'm going to be  
12 subject to a charge. So I'm going to make a financial  
13 determination, a business determination, and see if  
14 it's possible for me to add storage to my system in  
15 connection with that new contract term so that I could  
16 avoid the charge.

17 And my question is, under the approach that  
18 you have proposed with respect to modification to  
19 existing facilities, it's impossible for that operating  
20 facility to make the change in order to avoid the  
21 charge in its subsequent term without losing the  
22 benefit of its current contract price.

23 Now, what's the basis for that. And doesn't  
24 that put the QF in an incredible catch 22?



41

1           A.       No, I don't think so. I mean, I think we've  
2       said there's many alternatives for that QF. If it  
3       wanted to maintain its PURPA status and continue to  
4       operate as a PURPA QF, we're saying it would need to  
5       establish its LEO -- it's second LEO for the new  
6       contract within one year of contract expiry. At that  
7       time they would have clarity on what the avoided cost  
8       rates were that it would be getting paid for its  
9       five-year new contract, it would have clarity on what  
10      the average integration charge is at that point in  
11      time, and it could make a determination whether or not  
12      it wanted to add battery storage in that period.

13          Q.       But the question I'm asking about is the lead  
14      time that the QF would need to design, finance, build,  
15      and install the storage in order to have it in place  
16      upon renewal of the new contract. And what I'm asking  
17      about is your position that a QF may not do that  
18      without relinquishing its current PPA rate.

19                   And so you're creating a serious impediment,  
20      are you not, to the ability of QFs to get ahead of the  
21      curve and put storage in place in anticipation of the  
22      need to avoid this contract charge when it becomes  
23      effective?

24          A.       No. I think a year is plenty of time.

42

1 Q. What's your basis for saying that?

2 A. It's already established itself as a merchant  
3 generator, right? It's already fully financed. You're  
4 talking about an incremental decision to add storage.  
5 If it decided to add storage, it could request for that  
6 to be studied, it could look at, it could be talking to  
7 utilities about what -- you know, what it's planning to  
8 do, and then, within one year -- it gives it a year to  
9 decide whether or not to pull the trigger. You have an  
10 existing facility already interconnected to the grid.

11 So my assumption is, again, per our  
12 conversation yesterday, that's if it wanted to continue  
13 to maintain a PURPA must-take under PURPA and not bid  
14 into either this utility's or some other utility's  
15 general -- you know, they're a merchant generator.  
16 They could decide years in advance that, hey, Dominion  
17 has an RFP for peaking, they could take that option to  
18 say, hey, I want to add a battery to my existing  
19 facility and sell it to Dominion. If it wants to  
20 maintain its PURPA rights, then, within one year, they  
21 would get firm pricing.

22 There's nothing that stops them. I think we  
23 speak in testimony to say, hey, we're thinking about  
24 this. We know it's not binding. Here's what we're

43

1 thinking about. Start talking to the utility about it.  
2 We just believe it's not appropriate to lock the  
3 consumer into forward prices, three, four years in  
4 advance, as argued by intervenors, and let them decide  
5 whether they want to or not. Then come again, within a  
6 year, have another decision of whether or not they want  
7 to lock you into a long-term rate or not, and then  
8 decide whether you want to sell as available or under  
9 long term when the contract finally expires.

10 I don't think PURPA ever envisioned the QF to  
11 have multiple, multiple puts on the customer three  
12 years in advance, one year in advance, real time. As  
13 an existing generator, I think what we provided is just  
14 and reasonable. It gets plenty of time for the QF to  
15 ascertain its options.

16 Q. I just have a few more questions, Mr. Snider,  
17 and kind of a little bit of cleanup on some other  
18 matters.

19 First of all, just circling back to CPRE for  
20 a minute, does the fact that CPRE facilities are fully  
21 dispatchable affect the appropriateness of accessing an  
22 integration charge to those facilities?

23 A. I think, to the extent they could be fully  
24 dispatchable, it could have an impact.

44

1 Q. I want to ask you with respect to -- we'll  
2 talk to Mr. Wintermantel about this further, but with  
3 respect to the cost -- the increased cost that the  
4 Company claims it incurs due to intermittency, my  
5 understanding is that that's a combination of capital  
6 and operating costs; is that correct?

7 A. I will let Mr. Wintermantel further expand on  
8 that.

9 Q. Okay. I'll come back to that. And this may  
10 also -- you, I believe, said yesterday you wanted me to  
11 ask Mr. Wintermantel about this, but I just want to be  
12 sure I've got your answer to the question.

13 My question was -- I believe I asked this  
14 question, which is whether the Company is subjected by  
15 NERC or any other regulatory body to compliance with  
16 the LOLE FLEX standard; do you know the answer to that  
17 question?

18 A. Yeah. I think we talked about this  
19 yesterday, and what I said is that, irrespective of the  
20 standard, the Company is responsible for maintaining  
21 real time operating reliability. And what we've  
22 demonstrated extensively in the study is that the --  
23 irrespective of that metric, that, to maintain the same  
24 reliability, LOLE FLEX, the -- I guess the Idaho used a

45

1 spreadsheet-type approach -- you know, the critical  
2 thing in all these studies is you have the same  
3 reliability before and after, and that you recognize  
4 that to maintain that same reliability while also  
5 simultaneously introducing more intra-hour volatility  
6 requires carrying additional operating reserves. And  
7 carrying additional operating reserves has a cost.

8           So the LOLE FLEX standard is not the -- may  
9 not be the NERC standard. That does not -- that's not  
10 what we try to imply in the study. It was a manner of  
11 looking at what is the reliability both before and  
12 after integrating solar onto the grid and ensuring that  
13 it's the same either way.

14       Q.     So is it your testimony that, if the Company  
15 has chosen or chooses to operate its system to a level  
16 of reliability that far exceeds what it's obligated to  
17 do in compliance with these national standards and  
18 these regulatory bodies, that solar facilities should  
19 incur the cost of maintaining that voluntary enhanced  
20 level of reliability?

21       A.     No. My testimony is that, whatever the  
22 reliability level is, and I think the Company is  
23 committed to maintaining a reliable system, certainly  
24 it agrees that it needs to comply with all NERC

46

1 standards, that that reliability level -- and I think  
2 Mr. Wintermantel will discuss this in more detail --  
3 but that reliability level be maintained both before  
4 and after you add the solar.

5 And we're not implying, and nor does the LOLE  
6 FLEX metric imply that we are somehow drastically  
7 overcomplying and being more reliable than required.  
8 We -- the study, itself, does not -- does not make that  
9 assertion.

10 Q. I think I have just two more questions.  
11 Well, they may be small clusters of questions. The  
12 first is, I was asking a minute ago about the costs  
13 that contribute to your need to impose these charges  
14 and capital versus operating cost. You asked me to  
15 talk to Mr. Wintermantel about this, but let me ask you  
16 this:

17 Today, with your ratepayers incurring costs  
18 associated with the integration of intermittent  
19 facilities, does the Company do everything within its  
20 power to mitigate and minimize those costs?

21 A. Yes. And the Company, within its power, does  
22 everything it can to operate and dispatch its system  
23 economically. I mean, it's a subject that is of many  
24 proceedings, it's how do you operate, just commit and

47

1 dispatch your system. We do it in the most economic  
2 manner possible. Well dispatching in real time. You  
3 have to match load to demand, demand to supply, minute  
4 to minute, hour to hour. In doing that, we do it the  
5 most cost effective way possible. We just have to  
6 carry additional operating reserves when we have more  
7 uncertainty. And that's what the study points out. To  
8 a large extent -- and again, letting Mr. Wintermantel  
9 get into the details -- that is an operating cost.

10 Q. That was my understanding. And so is it fair  
11 to assume that, if you're successful in getting this  
12 charge adopted such that these costs will be  
13 transferred from ratepayers to solar facilities over  
14 time, that you will continue to do everything within  
15 your power to mitigate and minimize those costs?

16 A. Certainly.

17 Q. And if you are successful in doing that, to  
18 the point that the actual costs incurred are lower than  
19 the costs that are reflected in the charge that you  
20 have collected from the solar facilities, do you have  
21 an intention to rebate or true those up so that they  
22 will be refunding costs that you didn't actually incur?

23 A. I think what we're saying is that's the  
24 beauty of how we've done this, is we're going to update

48

1     them every two years. So I don't think there's any  
2     retrospective look-back. I think it's saying, you  
3     know, they've gone down or up, and now you adjusted on  
4     a go-forward basis.

5             The same way we don't look back on the energy  
6     charge that's now, you know, \$2-and-a-half billion over  
7     what it's worth and ask for the solar community to  
8     rebate that \$2.2 billion to customers. We're not going  
9     to, when we're updating every two years, try and say,  
10    well, what were the actuals and let's reconcile. We're  
11    saying here was our best estimate. Two years from now  
12    we'll update that based on the new situation at that  
13    time, and it will be in effect for only two years.

14        Q.     Thank you. You provided a very helpful segue  
15    to my last question.

16             If the Company determines that it's  
17    reasonable and prudent to build a natural gas plant  
18    and obtains approval from this Commission to do so at a  
19    moment in time to meet projected capacity needs in the  
20    future, and three, four, five years in, gas prices  
21    increase substantially, and it turns out that that gas  
22    plant with its 25-, 30-year life was, in fact, a really  
23    bad bet, and is going to cost ratepayers substantially  
24    more than an alternative, if you had been able to



1 anticipate that alternative at the time you made the  
2 decision.

3 Do you consider making rebates to ratepayers  
4 for the excess cost of that facility?

5 A. I think what the Commission does, on a very  
6 regular basis, again, is go through a very detailed  
7 certificate of public convenience and necessity  
8 process. It's a cost-of-capital based. So we don't  
9 get paid for capacity. We get paid for capital  
10 invested, if it was invested prudently, which is  
11 determined both through an extensive CPCN process and  
12 then followed up by a rate case process, which is put  
13 into rates.

14 We periodically then appear before this  
15 Commission, and the Commission has cost-based service  
16 rate cases, and adjust the equity return that the  
17 utility gets over time based on current market  
18 situation. All very different than how a QF gets  
19 compensated for its investment. It gets a market-based  
20 rate or an administratively determined rate. This  
21 Commission has no cost-based ratemaking authority over  
22 that.

23 You don't have to show up for a CPCN and  
24 demonstrate need. You don't have to make a

1 determination, did I prudently incur those costs;  
2 that's all done at market-based or administratively  
3 determined based rates, whether it's in the CPRE or  
4 whether it's through a standard offer.

5 So there's very -- and I point this out in  
6 testimony. There's very significant differences  
7 between how a utility invests capital, how that capital  
8 is deemed to be prudent through a CPCN process and the  
9 associated rate case that goes with it. That's a very  
10 different cost-recovery mechanism than PURPA QFs are  
11 allowed, and there are logical trade-offs between the  
12 two.

13 Q. I understand, Mr. Snider, that you take issue  
14 with the way that the cost the QFs are allowed to  
15 recover are determined relative to the way your costs  
16 are established.

17 A. I don't take issue; I just point out the  
18 differences.

19 Q. Fair enough, that you point out the  
20 differences.

21 But the fact is that, in the way that your  
22 cost recovery is determined, if a decision is made that  
23 is deemed to be reasonable and prudent at the time that  
24 it was made but subsequently turns out, due to change

51

1 in market conditions, to be significantly more  
2 expensive than some alternative that might have been  
3 anticipated with perfect insight -- even though it was  
4 prudent at the time, no one is saying the wrong  
5 decision was made, but the fact is the ratepayers will  
6 be paying substantially more for that asset than they  
7 would have been if you had had good enough foresight to  
8 make a better decision at that moment in time; isn't  
9 that correct?

10 A. I think ratepayers have that potential. They  
11 also have the potential to make significant benefit to  
12 the ratepayer if it goes in the other direction. So  
13 let's take an example of the QF wherever you have a  
14 fully depreciated solar plan. Let's say the QF has  
15 nothing left on its book, but circumstances at the time  
16 determine that your true avoided cost for the utility  
17 is pretty significant. If the utility made the same  
18 investment on a cost-of-service base, it would only be  
19 allowed to put into rate base its non-depreciated book  
20 balance. And the fact that avoided costs were seven  
21 times higher would all be a benefit to the consumer.

22 In this case, the QF would get the full  
23 avoided cost rate, and the consumer would pay that  
24 avoided cost, not the depreciated book balance that the

1 QF now has on its books. So if your QF that you are  
2 saying is going to expire in 15 years is fully paid  
3 for, and we have high avoided cost rates, the customer  
4 doesn't get that benefit. The customer has to pay full  
5 avoided cost rates. It doesn't get the depreciated  
6 book balance.

7 So it can work in both directions. And to  
8 selectively pull out the single direction where it may  
9 work against the consumer without pointing out that the  
10 cost-of-service base ratemaking also gives all the  
11 consideration of market moving in their favor to the  
12 consumer is not really a fair look at that equation.

13 So yes, the equation is different, but the  
14 consumer also has the potential to benefit very  
15 significantly from investments made under a  
16 cost-of-service model that they don't have under a QF  
17 model.

18 Q. Well, under a QF model, if markets shift in  
19 favor of the consumer, they get the benefit of lower  
20 cost energy relative to market rates at the time; do  
21 they not?

22 A. No. They pay the indifference price, even  
23 though the QF may have nothing left on its book when it  
24 enters into its second contract. And that indifference

53

1 price doesn't benefit the consumer, it just leaves them  
2 indifferent.

3 MR. LEVITAS: I have nothing further.

4 CROSS EXAMINATION BY MS. ROSS:

5 Q. Good morning, gentlemen. My name is  
6 Deborah Ross, and I represent the Small Hydro Group in  
7 this proceeding. I only have a few questions for you.  
8 I think they'll predominantly be for Mr. Snider, but  
9 anybody else who has wisdom to share, we'd be happy to  
10 hear from you.

11 Most of my references are going to be to the  
12 rebuttal testimony that then would incorporate your  
13 preliminary testimony and your supplemental testimony,  
14 Mr. Snider, so I'll tell you which page.

15 A. (Glen A. Snider.) Supplemental rebuttal or  
16 rebuttal? Sorry.

17 Q. Rebuttal. Supplemental rebuttal didn't go to  
18 the issues I was dealing with --

19 A. Got you.

20 Q. -- so the rebuttal testimony.

21 So the first question is, in both your direct  
22 testimony -- and this was the reference, it was to  
23 pages 12 through 14 -- and your rebuttal testimony on  
24 page 6, you state that the Company's IRPs have

54

1 consistently and appropriately assumed that all  
2 wholesale purchase contract capacity is removed in the  
3 year after the wholesale contract expire, and that QFs  
4 are not presumptively assumed to establish a new  
5 legally enforceable obligation to deliver capacity and  
6 energy to the utilities over a new fixed term in the  
7 future; is that correct? Is that what was in your  
8 testimony?

9 A. Yes.

10 Q. Okay. So -- and you also say that you treat  
11 merchant power plant contracts and QF contracts the  
12 same for contract renewals, despite the fact that QFs  
13 have a federal right to renew under PURPA; you're still  
14 treating them the same?

15 A. Yeah. The -- it's a right but not an  
16 obligation, and I think, in this proceeding and in  
17 prior proceedings, I tried to point out that the  
18 utility has no guarantee. We've had extensive  
19 discussion about the QF has lots of rights. None of  
20 those guarantee that that energy or capacity will be  
21 there after the contract expiry. And PURPA explicitly  
22 points out that they have executed a contract over a  
23 fixed term.

24 Q. But the QF does have a federal right to renew

55

1 their contract should they choose to?

2 A. At this point in time, they do, assuming that  
3 15 years from now PURPA stands the way -- I mean,  
4 they've established a legally enforceable obligation  
5 that resulted in a legal purchase power agreement  
6 that's entered into for 15 years. So, like, in  
7 Mr. Levitas' example, you know, they're just now coming  
8 into service 2018. They're going to go through 2033.  
9 They have a legal obligation, and we have a legal right  
10 to that energy and capacity. If PURPA remains exactly  
11 the same a decade and a half from now, they will have  
12 that same right to enter into a new contract in 2033.

13 Q. But, Mr. Snider, we're dealing with something  
14 for the next two years. So right now there are two  
15 hydroelectric facilities who are going to have  
16 expirations of their contracts in 2019.

17 Do they have a federal PURPA right to renew  
18 their contracts?

19 A. In my understanding, as long as they're still  
20 a qualified facility, they have a right to enter into a  
21 new contract under the appropriate terms, conditions,  
22 and rates consistent with North Carolina implementation  
23 of PURPA, yes.

24 Q. And consistent with the federal law?

56

1 A. Right.

2 Q. Thank you. And so when the Public Staff  
3 asked -- and I'm going to hand this you up to you.

4 MS. ROSS: Madam Chair, may I approach?

5 CHAIR MITCHELL: You may.

6 (Pause.)

7 Q. In the IRP docket, which, of course, is very  
8 much related to this docket, because we're basing  
9 capacity payments based on the high IRP docket, the  
10 Public Staff asked, in Data Request Number 6, Item  
11 Number 6-4 in the IRP docket, whether PPAs for QFs are  
12 considered renewed after their initial terms, and I've  
13 handed you Duke's response to that data request. And  
14 Duke replied, "For planning purposes, QF PPAs are  
15 expected to either be renewed or replaced in kind.  
16 Importantly, however, there's no implicit assumption in  
17 the IRP of contract renewals with any given existing QF  
18 facility owner"; is that correct?

19 A. Yes.

20 Q. Okay. However, your IRPs show that biomass  
21 and hydroelectric QFs -- and I'm here for the hydro  
22 QFs -- will diminish in the case of DEP from  
23 266 megawatts to zero during winter peak by 2033. And  
24 in the case of DEC, from 95 megawatts to 52 megawatts,



57

1 again, for winter peak, by 2033.

2 Is that your recollection of what's in the  
3 IRP?

4 A. Yes, subject to check.

5 Q. Okay. Thank you. And are you aware that  
6 there are three hydroelectric QFs who testified in the  
7 public hearing for the IRP and in this proceeding  
8 saying that they intended to renew their contracts and  
9 they were afraid, because of that IRP, that Duke didn't  
10 have an intention to renew their contract?

11 A. I -- subject to check, yeah, I agree with  
12 that.

13 Q. Thank you. And then, in this docket, in Data  
14 Request Number 14, Item 14.4 --

15 MS. ROSS: And, Madam Chair, may I  
16 approach?

17 CHAIR MITCHELL: You may.

18 Q. How many hydroelectric QFs have ceased to  
19 sell power to Duke, that's both DEC and DEP, since  
20 2010? And in that reply it said that it was only two  
21 hydro QFs, one in each of the territories; is that  
22 correct?

23 A. Yes.

24 Q. Thank you. And are you aware that most of

1 the small hydroelectric facilities in North Carolina  
2 have been operating consistently since the 1980s or  
3 earlier and are predominantly in rural counties?

4 A. That is my understanding.

5 Q. Thank you very much. Also in your rebuttal  
6 testimony, in your testimony from yesterday, you talked  
7 about -- and also today, because we've talked about  
8 this a lot -- that you talked about all the options for  
9 QFs with expiring contracts. And you talked about  
10 their ability to participate in RFPs, including the  
11 CPRE program, and a variety of different other kinds of  
12 ways to participate; is that correct?

13 A. Yes.

14 Q. So are you aware that the CPRE program only  
15 applies to QFs that are placed in service after the  
16 date of the initial competitive procurement?

17 A. Yes.

18 Q. And so that's what is in House Bill 589?

19 A. For these next tranches, yes.

20 Q. Yes. And so could you explain to me how a  
21 small hydro facility would be eligible to participate  
22 in the CPRE program?

23 A. In my understanding, it would not. I was  
24 talking to Mr. Levitas about solar facilities.

59

1 Q. Okay. So the CPRE program, as it's  
2 constructed by the legislature, provides no  
3 alternative, other than exercising PURPA rights, to a  
4 small hydro QF, correct?

5 A. It does not stop the QF from bidding into  
6 other competitive solicitations, but I agree with your  
7 characterization of 589.

8 Q. And, Mr. Snider, there aren't any other  
9 competitive solicitations currently that a small hydro  
10 QF would be eligible for; is that correct?

11 A. At this time, there are not.

12 Q. Okay. Thank you. My next question is on  
13 page 6 of your rebuttal testimony -- so you can take a  
14 look at that -- you testified that, in 2018, in the  
15 biennial IRPs filed in Docket E-100, Sub 157, that the  
16 utility's first respective avoided capacity need arises  
17 in 2028 for DEC and 2020 for DEP; is that correct?

18 A. Correct.

19 Q. But Duke will be adding new capacity under  
20 the CPRE program in the DEC territory; is that correct,  
21 between now and 2028?

22 A. It will be adding new energy, and there might  
23 be a tiny bit of capacity.

24 Q. Okay. And Duke, itself, can bid into the

60

1 CPRE program; is that correct?

2 A. If it has a facility that meets the bid  
3 requirements, so yeah, it would need to be consistent  
4 with the resources that you just mentioned that are  
5 allowed.

6 Q. Okay. Great. Just a couple more questions.  
7 In the IRPs, there is also a discussion about the need  
8 for new capacity over the planning horizon.

9 I believe, on page 8 of both of the IRPs,  
10 there is a discussion of additional new customers and  
11 demand growth, the potential retirement of some older  
12 and less efficient generation, the need for some new  
13 resources, and, of course, we've talked about  
14 competitive procurement; is that correct?

15 A. Yeah. I think the other thing driving need  
16 is actually the expiration of the contracts, so.

17 Q. Okay. Your assumed expiration of the  
18 contracts?

19 A. I mean, they expire. It's not an assumption.  
20 It's a -- sort of a legal term in the contract, they  
21 expire.

22 Q. But your assumption that they won't be  
23 renewed?

24 A. Yeah. And again, it's -- we explicitly don't

61

1 count on capacity. We don't have a legal right to.  
2 Now, if we enter into a new contract, at the point in  
3 which we enter into a new contract, it will go into the  
4 IRP. And we treat that very similarly for all  
5 resources, whether it's gas, solar, hydro. It's a  
6 designated, countable, reliable resource once you have  
7 an executed PPA. Those that are undesignated or that  
8 are planning resources are simply ones that we plan on  
9 but don't have an executed contract. So it's not  
10 designated, it's not -- it's avoidable. It is not  
11 something that can be counted on.

12 So we try and -- we've agreed with Public  
13 Staff, we're going to, in future IRPs, very clearly  
14 delineate when our first need is based on what  
15 resources we have today, both physically owned or  
16 contracted, and when the first avoidable need is  
17 created in the IRP that points to a new resource need  
18 for which we do not have either a contract or we own  
19 generation to meet that need.

20 And so, yes, I would just make that  
21 delineation. We have resources in the IRP that are  
22 both owned and contracted, and then the IRP has planned  
23 resources going out into the future that we do not --  
24 have yet not built, that we're not sure if we're going

62

1 to own, someone else may own. We -- you know, may have  
2 a contract for it, but those are undesignated versus a  
3 designated resource that we have ownership of or have a  
4 contract for.

5 Q. But, Mr. Snider, right now, we haven't gotten  
6 to that lovely point where -- two years from now where  
7 we're going to have that statement of need. Right now,  
8 in this proceeding, we are having to rely on the IRP  
9 that was filed in 2018. And we haven't yet gotten  
10 direction from the Commission about how to interpret  
11 that IRP consistent with PURPA and consistent with  
12 contract renewals for QFs; isn't that correct?

13 A. I will agree, we haven't got a ruling from  
14 this Commission yet on -- in this docket.

15 Q. And that's a -- that's a significant issue  
16 because it will guide how the Companies respond when  
17 they do their statement of need in the next avoided  
18 cost proceeding because they come so frequently?

19 A. Yes.

20 Q. I just have two more questions. So what we  
21 were talking about the capacity needs from adding new  
22 customers and retirements, and so capacity needs build  
23 over time, they're not just fixed at one point in time.  
24 They're over the planning horizon; isn't that correct?

63

1           A.       What is one point in time is when is your  
2 first need, right, and that first need then grows over  
3 time. So you're adequate in both supply, whether it's  
4 owned or contracted, based on what you have today up  
5 until a point in time when you become deficient, and  
6 then you start, in an IRP, saying here's what my  
7 planned resources are under various scenarios and  
8 sensitivities to meet that deficient need.

9                    So yes, you have a growing need across time,  
10 but you have a specific date at which you have your  
11 first undesignated avoidable need.

12          Q.       And just a final question.

13                   And the resources that you have in your  
14 stack, whether they're merchant resources or ones that  
15 you own, contribute to filling that need up until the  
16 point when you need to get something else?

17          A.       Right. Anything that we have owned or  
18 contracted contribute to meeting our needs today and  
19 into the future up until those owned resources are  
20 retired or those existing legal contracts expire. At  
21 that point in time, to the extent we have insufficient  
22 resources to meet a growing demand, that's what the IRP  
23 points out. Here is the point in time in which those  
24 existing or contracted resources become insufficient to

1 meet future needs plus a reasonable reserve margin.

2 MS. ROSS: Thank you. I have no further  
3 questions.

4 CROSS EXAMINATION BY MS. KEMERAIT:

5 Q. Good morning, gentlemen. My name is  
6 Karen Kemera it, and I'm going to be asking questions on  
7 behal f of EcoPl exus. And, Mr. Snider, I think, again,  
8 most of the questions are going to be directed to you,  
9 al though i f anyone else would l ike to contribute,  
10 because my questions were touched upon by, I think, all  
11 members of the panel in your supplemental and  
12 supplemental rebuttal testimony.

13 So I'm going to be focusing my questions on  
14 Duke's position about the structure that you have  
15 proposed when energy storage is added to an existing  
16 facility. So that will be the focus of my questions to  
17 the panel .

18 And, Mr. Snider, to begin with, Duke's  
19 position about the structure that you are proposing to  
20 the Commi ssi on di ffers from the structure that's been  
21 recommended by the Public Staff, NCSEA, EcoPl exus and  
22 some of the other intervenors; is that correct?

23 A. (Glen A. Snider.) It's not my understanding.

24 Q. Is the structure that Duke is proposing in



65

1 regard to how PPAs will be provided -- so just to  
2 frame, I think, fairly simply what Duke's position is,  
3 is that, when energy storage is added to a facility, is  
4 it Duke's position that the underlying solar-only  
5 facility must enter into a new purchase power agreement  
6 with the current avoided cost rates and term, and that  
7 the added energy storage also will enter into a new  
8 PPA -- or excuse me, a PPA with current avoided cost  
9 rates and term; is that correct?

10 A. Yeah. Let me see if I can restate it. I'm  
11 sorry, I may have misinterpreted your first question.  
12 When it comes to our position on additional storage  
13 being added as a material alteration to an existing  
14 contract, it is Duke's position that it's in the best  
15 interest of customers, consistent with PURPA and  
16 consistent with House Bill 589, that the best way to do  
17 that is to negotiate a new contract with that QF  
18 provider at the then prevailing avoided cost rates. So  
19 that is our position, yes.

20 Q. For both the added energy storage and the  
21 underlying solar-only facility, correct?

22 A. Yeah. The two are under -- behind one  
23 inverter under one meter, so yes.

24 Q. And under -- with that construct that Duke is

66

1 proposing, the solar developer would lose its rights to  
2 the avoided cost rates in turn with the underlying PPA  
3 if it were to, with Duke's position, add energy storage  
4 to the facility?

5 A. At its discretion, it could choose to enter  
6 into either a new contracted existing or now current  
7 avoided cost rates, or it could retain its rights if it  
8 didn't alter its facility, so yes.

9 Q. And it would retain its rights under the PPA  
10 if it decided that it would be -- there would be -- if  
11 it decided not to add the energy storage, correct?

12 A. Yeah. We're in a legally binding purchase  
13 power agreement with that facility, that if it doesn't  
14 materially alter, we are committed to honoring.

15 Q. But if the solar developer made the  
16 determination that it did want to materially alter a  
17 facility by adding energy storage, then what would --  
18 the effect of that would be, if the solar developer had  
19 a PPA with, say, Sub 140 or Sub 148 rates, the new  
20 rates that would be applicable to the facility would be  
21 the current Sub 158 rates; is that correct?

22 A. Assuming it was standard offer, yes.

23 Q. And this would be Duke's position that a new  
24 PPA would be required with the current avoided cost

67

1 rates even when energy storage would be added that did  
2 not increase the maximum output of the facility; is  
3 that correct?

4 A. I think we've had extensive discussion on  
5 that yesterday, that yes, it's going to either increase  
6 it -- it's going to either increase or decrease it, and  
7 it's going to materially shift when that energy is  
8 being delivered.

9 Q. And you're aware that there is a considerable  
10 amount of interest among the solar developers in  
11 North Carolina for energy storage and adding energy  
12 storage to existing and proposed facilities?

13 A. That has been purported, yes.

14 Q. Do you have any information for the  
15 Commission about how much energy storage has currently  
16 been deployed in North Carolina?

17 A. I do not have the exact numbers.

18 Q. Do you have any general information about the  
19 number of facilities that --

20 A. It's been a relatively small number of  
21 facilities, as it's a -- you know, a nascent technology  
22 coming into existence. I think there has been a lot of  
23 discussion around different manners in which storage  
24 could be deployed onto the grid. And we have a

68

1 placeholder for that in the IRP, and there's a few  
2 projects that have been -- have been proposed and  
3 approved it.

4 Q. And, Mr. Snider, would you agree that there  
5 should not be any unnecessary barriers placed in front  
6 of -- or placed that would prevent the appropriate  
7 deployment of energy storage?

8 A. Yes. Unnecessary barriers, yeah, I would  
9 agree.

10 Q. And would you also agree that there would be  
11 a disincentive -- a strong disincentive for a solar  
12 developer to add energy storage to an existing facility  
13 if by doing so the solar developer would lose its  
14 rights under its existing PPA?

15 A. Yes. As I pointed out, the existing PPAs  
16 today are generally more than double their current  
17 market value. So allowing -- or having to forego  
18 that -- what right now is an excessive payment relative  
19 to customer value would be a disincentive.

20 Q. And leaving aside the discussion of whether  
21 it is excessive payment, it would be a disincentive?

22 A. Yeah. I guess our difference is it's not --  
23 I think you used something to the effect of any  
24 unnecessary barriers or something to that effect. And

69

1 what we're saying here, again, is from what's in the  
2 best interest of consumers. Is it in the best interest  
3 of the using and consuming public to go back in and  
4 open up an existing PPA in a manner inconsistent with  
5 House Bill 589's intent, or is it better to incent  
6 storage through competitive procurement where that  
7 storage could add more value for the consumer.

8 And it's been our position that it's better  
9 to do it through competitive procurement. And if  
10 existing customers or existing QFs would like to open  
11 up their contract to add storage, that they should do  
12 so with those same general principles in mind, which  
13 would require bringing that into service at now  
14 applicable avoided costs.

15 Q. So, Mr. Snider, I'll ask you a couple more  
16 questions about this in a minute, but I did want to  
17 touch upon that energy storage can provide benefits to  
18 the grid -- to the utilities grid and system --  
19 regardless of whether it is in a project that was bid  
20 in the CPRE or a PURPA project; would you agree?

21 A. They have -- you know, assuming they were  
22 operated identically, the question is, then, at what --  
23 if I had two projects, a 5 megawatt battery under CPRE,  
24 a 5 megawatt battery under an existing contract, the

1 question then, if they had the same physical  
2 characteristics to the grid and to the customer, is  
3 just at what cost are customers paying for that  
4 identical service.

5 So yes, I would agree they have the same  
6 physical impact on the grid, whether it's a 5 megawatt  
7 battery obtained through competitive procurement or a  
8 5 megawatt battery obtained through opening up a PPA  
9 and allowing a 5 megawatt battery to be placed into an  
10 existing QF. The question then becomes which one is  
11 consistent with the intent of 589 and which one has the  
12 best and highest benefit for the consumer.

13 Q. And I'll ask you, in just a couple of  
14 minutes, questions about the benefit to the grid for  
15 energy storage, whether it is through CPRE -- the  
16 physical characteristics through CPRE or through PURPA  
17 projects, and I'll get to that in just a minute.

18 But before I move on, the position of the  
19 Public Staff, NCSEA and EcoPlexus is consistent in  
20 their supplemental and supplemental rebuttal testimony  
21 that the energy storage that is added should be at the  
22 current avoided cost rates; is that your understanding?

23 A. Yes. I think it's testimony that it should  
24 be -- the battery, itself, should be at current avoided

71

1 cost rates.

2 Q. And no -- no party is advocating in this  
3 proceeding that the added energy storage should be at  
4 the previous avoided cost rates in the PPA?

5 A. I think one of the parties raised that  
6 perspective and then came in and said, as a negotiated  
7 position, they thought that this would be appropriate.

8 Q. And so the Public Staff and intervenors'  
9 position is consistent that the energy storage that was  
10 added should be provided a PPA with the current avoided  
11 cost rates, but then the underlying solar facility  
12 should retain its rights under the current PPA.

13 That is the Public Staff and the intervenors'  
14 position; is that your understanding?

15 A. That is my understanding.

16 Q. And the Public Staff has provided information  
17 in its supplemental rebuttal testimony that, under that  
18 construct in which the added avoided energy storage is  
19 provided at current avoided cost rates, that the  
20 ratepayers will be fully protected; is that your  
21 understanding of the Public Staff's position?

22 A. I think it's important to say that the public  
23 staff said, as an initial matter, that's their  
24 position, but they also noted that there is a series of

1 complex, both physical, federal and state legal issues  
2 as well as interconnection issues that would need to be  
3 worked out. So that conceptually Public Staff says  
4 that is their position, but candidly acknowledges that  
5 there is a significant number of both physical and  
6 legal issues that would need to be overcome to  
7 effectuate that position.

8 Q. Or perhaps to be addressed, that EcoPlexus  
9 and the Public Staff discussed that there are  
10 additional issues that need to be addressed to  
11 accomplish the two separate PPAs; is that a fair way to  
12 describe their testimony?

13 A. I think that's addressed, worked out,  
14 overcome.

15 Q. All right. And I'll move on to that question  
16 in a couple of minutes, because EcoPlexus, as you know,  
17 has provided some solutions to those technical  
18 challenges. But I did want to go back to your  
19 testimony about compliance with PURPA for when energy  
20 storage is added.

21 And you testified yesterday and then provided  
22 information in your supplemental rebuttal testimony  
23 that, if energy storage is added at the current avoided  
24 cost rates, that the customers would be indifferent.



73

1 That was your testimony yesterday, correct?

2 A. Correct.

3 Q. Okay. And so if the customers remained  
4 indifferent, then the requirements of PURPA will have  
5 been met; is that a fair assessment?

6 A. Yeah. They would need to be left  
7 indifferent, not just -- I mean, PURPA is a broad  
8 guideline; 589 is the specific state implementation of  
9 that broader guideline under cooperative federalism.  
10 So the implementation of it would need to be consistent  
11 with the intent of 589, which defines how PURPA is  
12 implemented. And so yes, it is my testimony that, as  
13 long as it was consistent with the intent of 589, that  
14 you would be indifferent.

15 Q. Okay. And then for the intent of 589, you  
16 testified on page 12 of your supplemental rebuttal  
17 testimony, is to prevent customers from overpaying for  
18 energy storage.

19 But if the energy storage is added and a PPA  
20 is entered into at the current Sub 158 avoided cost  
21 rates, then the customers would not be overpaying, they  
22 would be indifferent; is that a fair statement?

23 A. Again, under 589, if it was done for more  
24 than five years at full avoided cost, and as I think we

74

1 had some testimony on yesterday, that would not be  
2 consistent with 589. So again, you have most of these  
3 QF facilities are no longer standard offer. It's  
4 1 megawatt and under for standard offer. You have  
5 5 megawatts -- a lot of 5 megawatts, and then you have  
6 them as big as 80 megawatts. So now you're talking  
7 about adding storage to these contracts and asking  
8 consumers to pay for that storage for 10 or 15 years of  
9 the remaining PPA at full avoided cost. And that -- I  
10 think my testimony is that that is not consistent with  
11 589.

12 Q. So, Mr. Snider, if energy storage was added  
13 to an existing facility and the energy storage entered  
14 into a PPA under the current avoided cost rates for a  
15 term of five years, then that would be in compliance  
16 with 589 and the customers would be indifferent to the  
17 source of that power; is that -- is that correct?

18 A. For the storage, itself, yes. That doesn't  
19 alleviate the concerns Mr. Wheeler had earlier about  
20 you are now getting a different amount of energy coming  
21 out of the residual solar facility than was originally  
22 contracted for. So, by definition, you've got to  
23 charge the storage with the existing solar.

24 So the existing solar is now changing what

75

1 it's obligating itself to by selling you the net output  
2 of its facility with the residual going into the  
3 battery. And so you've changed the amount that's under  
4 the old rate and introduced a new facility within it  
5 that's going to take some of that energy to charge the  
6 battery. But for the battery, itself, that output at  
7 five years would be -- for that particular piece, yes,  
8 it would be consistent with 589.

9 Q. And PURPA?

10 A. And PURPA.

11 Q. And I'm going to move on to the questions  
12 that I had reserved for the end, my final questions,  
13 but since we're talking about these technological  
14 challenges, the output from the underlying solar-only  
15 facility and the output from the battery could be  
16 measured separately by two separate DC batteries; is  
17 that correct?

18 A. I'm sorry, would you restate that? Measured  
19 by?

20 Q. Could be measured separately by two meters.

21 A. And I'll allow Mr. Wheeler to expand upon  
22 this. I think his point was -- our understanding is  
23 that it was data loggers that would need to be not  
24 utility-grade meters. I think Mr. Wheeler, and I think

76

1 it's in testimony extensively, points to there's a  
2 significant difference of egressing someone else's  
3 property trying to use a data logger as opposed to a  
4 utility-grade meter on the AC side. Some of the issues  
5 that that creates, in terms of the utility's actual  
6 control of that device, the M&V, measurement and  
7 validation, of that device, the fact that it's  
8 intertwined into the customer side, their electrical  
9 system, requiring qualified electrician to enter as  
10 opposed to a meter tech. There's a host of issues that  
11 I think we brought up that, you know, you're not  
12 addressing when you just say having a data logger on  
13 their side.

14 Q. So those technological issues that you're  
15 mentioning, they are currently being considered by  
16 Duke, and Duke is trying to find solutions currently;  
17 is that a fair statement? That you're looking for  
18 technological solutions to this issue?

19 A. (Steven B. Wheeler.) I think Duke's concern,  
20 overall, is that there's technical limitations on our  
21 ability to distinguish the output between a battery  
22 storage system in the solar facility. It's all behind  
23 the customer's inverter. We only meter at the AC side  
24 after it's gone through the inverter and it's delivered

77

1 to the grid.

2 We think the simplest solution to resolve  
3 this is to renegotiate the entire agreement. If they  
4 want to make a material alteration under the facility  
5 under current rates and charges, that's what's fair to  
6 retail ratepayers who our primary interest is in  
7 serving their needs, making certain they're  
8 indifferent, as Mr. Snider has said numerous times.

9 We believe if you install a DC meter or data  
10 logger behind the meter, we don't know what that will  
11 result, then, on the AC side when it's delivered to the  
12 grid. We believe that there are possible workarounds  
13 that are not as technically feasible as the AC meter,  
14 which we know is 100 percent accurate of what we're  
15 actually delivering to the grid and the benefit to  
16 ratepayers. There are possible workarounds that we  
17 could use using DC meters, or blended rate, or some  
18 other approach.

19 We've agreed, if Commission decides that it  
20 needs to be considered, that a working group be set up  
21 as Public Staff Witness Metz has recommended, we're not  
22 opposed to that if the Commission decides that we need  
23 to dig into the details, come up with a different  
24 solution than the Company is recommending. What the

78

1 Company is recommending is the most technically sound,  
2 and that's to install a DC -- an AC meter like we have  
3 today to measure the entire output of the facility and  
4 to compensate the QF based on that output at current  
5 rates.

6 Q. Mr. Wheeler, I understand that that is, you  
7 believe, the simplest solution --

8 A. And most technically sound, I would add.

9 Q. Most technically sound at the current time,  
10 but technological advances and improvements will  
11 continue to occur, would you agree, considering that  
12 there is so much interest in energy storage, and that  
13 solutions will be sought by solar developers and by  
14 electric utilities?

15 A. And that's the reason we conceded to the  
16 Public Staff's decision if the Commission decides  
17 against us. That a working group should be formed with  
18 all the parties, including your company, and decide  
19 what is the best way to try to address, overall,  
20 blending some -- a rate from an old rate with a new  
21 rate and come up with something which is fair to retail  
22 ratepayers, which is what our goal is.

23 Q. Thank you. And I think that we are in full  
24 agreement that a working group and a solution through

1 the working group could be achieved to address this  
2 issue.

3 And then in regard to ANSI standards, you did  
4 mention that that was one of the technological -- or  
5 one of the concerns about having an appropriate ANSI  
6 standard if there were to be two separate meters.

7 Is Duke currently engaging with EMerge  
8 Alliance and Accuenergy to try to develop appropriate  
9 ANSI standards for two separate meters?

10 A. I'm not in the metering area, so I don't know  
11 who we're interacting with, as far as looking at ANSI  
12 standards, what used to be handled, I thought, by IEEE,  
13 who represents the industry to look into what standards  
14 are appropriate.

15 Q. And then are you aware -- are you not aware,  
16 then, that Duke has been working with both Accuenergy  
17 and EMerge Alliance and preparing draft ANSI standards  
18 for these technological -- this new technology for two  
19 meters, and that the draft is expected to be prepared  
20 sometime in the fall, perhaps even in October?

21 A. I'm not familiar with that, no.

22 Q. And then -- thank you, Mr. Wheeler.

23 Mr. Snider, back to a few questions to you.

24 And this is back to your testimony about House Bill

80

1 589. But House Bill 589 does not have any requirements  
2 in the legislation that -- let me rephrase the  
3 question. Has no requirements that a project outside  
4 of CPRE must -- if you must demonstrate customer  
5 benefits, if you were complying with the current  
6 avoided cost rates.

7 Is there anything in the House Bill 589 that  
8 provides that language to support your position?

9 A. (Glen A. Snider.) Yeah. As I understand it,  
10 it's any new facility -- and this is a new facility  
11 being placed into service -- that seeks a long-term  
12 rate -- that's above 1 megawatt that seeks a rate of  
13 greater than five years for a fixed term shall have the  
14 opportunity to do so under competitive procurement or  
15 other programs outlined in CPRE. But that -- again  
16 that -- suppose it's a 2-megawatt battery, should not  
17 be -- a new 2 megawatt battery that's being added to  
18 the grid would not -- was never envisioned to be done  
19 at a 10 or 15-year avoided cost -- full avoided cost  
20 rate, whether it was the old avoided cost or the new  
21 avoided cost.

22 Q. And so for -- if it was a five-year PPA at  
23 the current avoided cost rates, there is nothing in 589  
24 that would require the solar developer to demonstrate



81

1 to Duke or to the Commission about customer benefits,  
2 other than compliance with the current avoided cost  
3 rates?

4 A. If it was a new facility, five years or less,  
5 no.

6 Q. Mr. Snider, I want to move on to benefits.  
7 You focused on customer benefits, and I think that the  
8 parties would disagree that there are no customer  
9 benefits to adding storage to a solar-only facility;  
10 but let's talk about benefits to the grid for adding  
11 storage to a solar facility.

12 Would one of the benefits be to add more  
13 predictable output and to smooth the intermittency of  
14 solar facilities?

15 A. Highly unlikely.

16 Q. And could you elaborate on why you think that  
17 that would be highly unlikely that storage would not  
18 have the ability to smooth the intermittency?

19 A. As I pointed out, I think extensively in  
20 testimony, storage, in and of itself, does nothing to  
21 smooth intermittency; storage is a time shift. I  
22 believe on my rebuttal testimony towards the end, page  
23 65, figure 5 of my rebuttal testimony shows an example  
24 of where you could operate storage, and if I was the

1     devel oper, would operate storage to shift energy from  
2     off peak into the premium peak period.

3             And in shifting that energy, under an  
4     existing PPA where there is no financial incentive to  
5     smooth, I would not operate a scheme -- smoothing  
6     involves quick charge and discharge of that battery.  
7     That takes wear and tear on your battery. Why would I  
8     charge and discharge my battery while attempting to  
9     fill it up in the off peak so that I could move energy  
10    to on peak? I would simply charge the battery at a  
11    constant rate, as is shown in this example. That rate  
12    is low, and to the -- there would be benefit and you --  
13    we've acknowledged the benefit, it's good -- to get  
14    higher energy hours, higher cost energy and capacity  
15    hours, but you would do it in a manner that left the  
16    net output of the facility equally if not more  
17    intermittent than the original facility that didn't  
18    have the battery. And there is a very clear example of  
19    that in Figure 5.

20            Again, I struggle to see, without the  
21    appropriate ancillary service charge and an attempt to  
22    alleviate themselves of that charge, how an existing  
23    facility would ever have an economic signal to smooth.  
24    It's simply going to shift energy. And in this case

83

1 of -- it's going to have an old set of hours to choose  
2 from to charge the battery, because it's charging the  
3 battery under old rates. So these are the old Schedule  
4 B 140, 136 rates. It's going to take old rates, and  
5 it's going to move energy out of the old rates, and  
6 it's going to try to minimize the lost revenue from the  
7 old rate, and it's going to try and maximize the  
8 revenue from the new rate under the proposal by parties  
9 to get as much arbitrage between the old B rate and the  
10 new Sub 158 rate. And in that arbitrage that the  
11 developer will use to maximize its revenues to pay for  
12 the battery, it's going to do so in a manner that  
13 limits its O&M cost to that battery and does it in the  
14 most efficient way possible.

15 I don't see how smoothing would be a very  
16 likely outcome in an existing contract. In a new  
17 contract, if there were to be an integration charge and  
18 they could simultaneously try and smooth and shift,  
19 they would have that economic incentive, but in the  
20 existing contracts, I don't see any smoothing.

21 Q. So, Mr. Snider, going back to what I -- about  
22 the party's position, you were talking about time shift  
23 and that time shifts are more profitable periods.

24 If there are separate meters or a way of

84

1 measuring the output from the battery, which has been  
2 proposed by the Public Staff and by EcoPlexus, then the  
3 customers would not be harmed in any way, because the  
4 output from the battery would be compensated at the  
5 current avoided cost rates; is that correct, assuming  
6 you meet those challenges?

7 A. Notwithstanding you're changing the output  
8 from the existing solar facility. The battery, itself,  
9 the output from the battery, if it were limited to five  
10 years, would not create any detriment.

11 Q. Thank you. And then -- but I understand your  
12 opinion that a solar developer would have no incentive  
13 to provide that smoothing, but that is something that a  
14 battery is capable of doing. It could ramp up and  
15 provide a smoothing for the intermittency. Regardless  
16 of your opinion about whether it would be actually  
17 performed, but that is what the battery can do?

18 A. It's technically capable of doing that.

19 Q. And then another potential benefit to a  
20 battery --

21 CHAIR MITCHELL: Ms. Kemerait, before  
22 you ask your next question, how much more do you  
23 have for the Duke panel?

24 MS. KEMERAIT: Probably less than five

85

1           mi nutes.

2                       CHAIR MITCHELL:   Okay.   Let's go ahead  
3           and finish before we take our next break.

4                       MS. KEMERAIT:   Okay.

5           Q.       And then another -- Mr. Snider, another  
6           benefit to adding energy storage would be that you  
7           could -- the time shift where you could provide the  
8           output at times when -- peak periods when output or  
9           power is most needed; is that correct?

10          A.       Yeah.   As I said, it would shift to the  
11          premium peak.

12          Q.       And I'll move along very quickly here.   But  
13          in regard to a peaker plant, for example, a natural gas  
14          peaker plant that is the objective of a peaker plant,  
15          so energy storage could displace the need for the more  
16          expensive peaker plant; is that correct?

17          A.       No.   It's an indifference price.   It's not a  
18          more expensive peaker plant.   It's being displaced at  
19          the avoided cost rate that reflects the peaker.   So  
20          it's not displacing a more expensive peaker, it's  
21          displacing -- the consumer is paying for that peaker in  
22          the form of full avoided cost.   Now, if it was done at  
23          half of the avoided cost, then it would be displacing a  
24          more expensive peaker.

86

1 Q. What about dispatchability? Is that --  
2 energy storage can provide dispatchability ability for  
3 the utility; is that correct?

4 A. Partial. In other words, the storage --  
5 again, it's difficult to put 20 or 30 batteries all  
6 from different manufacturers and have a utility get in  
7 the middle of all that and somehow have full dispatch  
8 control. I think storage protocol can give partial  
9 dispatchability by sending the right price signal, the  
10 right times, the right ramp rates much more so than  
11 underlying just solar, itself. So from that  
12 perspective, yes, but is it as dispatchable as an asset  
13 that's on full automatic generator control that's  
14 moving up and down minute to minute at the utility's  
15 demand? No.

16 Q. So, Mr. Snider, this partial dispatch -- as  
17 you described, the partial dispatchability of the  
18 battery would be valuable to the system?

19 A. Yes.

20 Q. And this -- and would you agree that a  
21 solar -- with these benefits, that a solar-plus-storage  
22 facility would be more valuable to the system than a  
23 solar-only facility?

24 A. Again, I think Mr. Levitas and I went round

87

1 and round for probably an hour on that yesterday. If  
2 you're saying are the costs higher or is the  
3 customer -- there is more value and more cost. So it's  
4 providing, yes, more premium peak, higher cost energy,  
5 but it's at the full indifference price.

6 So, again, if I'm a consumer, I'm not  
7 benefitting any more from paying solar with storage  
8 compared to just solar. There's no -- I'm indifferent  
9 as a consumer to whether or not you add a battery.

10 Now, the battery in this case is displacing a need for  
11 a peaker, but it's being done at the full indifference  
12 price.

13 So the consumer doesn't see additional  
14 benefit one way or the other in terms of would my --  
15 would my -- if everything was done perfect in analytics  
16 base and it all came out that way, assuming avoided  
17 cost rates were perfect, the consumer would be left  
18 fully indifferent to whether you added storage or did  
19 not add storage. Because if you didn't add storage, we  
20 would add a peaker at the exact same -- or the portion  
21 of a peaker. The storage does not offset -- four-hour  
22 battery does not fully offset a peaker, but it does a  
23 lot more than solar standalone. And for that portion  
24 that it does offset, you would be offsetting it the

88

1 full cost I would have billed the peaker for.

2 So the consumer doesn't see any net bill  
3 reduction whether you choose to add storage or not, it  
4 simply changes how you provide peak.

5 Q. Thank you, Mr. Snider. I just have a couple  
6 more questions that will be very brief related to the  
7 protocol for energy storage. And you testified earlier  
8 this morning that the protocol is being discussed in  
9 the CPRE context in the docket. And we had a technical  
10 conference that I think you were present for.

11 A. I was there.

12 Q. Yeah, present for approximately a month ago.  
13 And we had quite a bit of discussion about  
14 the energy storage protocol that was included in the  
15 PPA for Tranche 1; is that your recollection?

16 A. I do.

17 Q. And I think that Duke's statement at the  
18 technical conference is that Duke is considering  
19 modifications and revisions to the protocol that was in  
20 the Tranche 1 PPA and that there -- that there is  
21 likely to be a different protocol in the Tranche 2 PPA;  
22 is that right?

23 A. That's a fair assessment.

24 Q. And the energy storage requirements or



89

1 protocol have not been provided -- I think Mr. Levitas  
2 touched upon this -- in this avoided cost docket; is  
3 that correct?

4 A. They have not.

5 Q. And at the technical conference, Duke's  
6 informed the parties, the market participants, and the  
7 Commission that it would provide the revised energy  
8 storage protocol to the CPRE market participants so  
9 that discussion and collaboration about appropriate  
10 requirements could hopefully be agreed to; is that your  
11 recollection?

12 A. That is.

13 Q. And have those revised energy storage  
14 protocol been provided to the market participants yet?

15 A. I'm not responsible for that. I will let  
16 Mr. Johnson answer that.

17 A. (David B. Johnson.) So we haven't -- we  
18 haven't yet submitted the updated protocols, and we're  
19 still working on them. But we have had a couple of  
20 discussions with developers, and we do intend -- as the  
21 Commission ruled in a recent order, we were required to  
22 have monthly meetings with stakeholders on CPRE up  
23 until we release the Tranche 2 RFP. So our intent is  
24 to -- in one of those upcoming meetings, to discuss

90

1 those updated protocols.

2 Q. Okay. Thank you very much. That's all the  
3 questions I have.

4 CHAIR MITCHELL: All right. We will  
5 take a break and be back at 11:35.

6 (At this time, a recess was taken from  
7 11:23 a.m. to 11:36 a.m.)

8 CHAIR MITCHELL: Let's go back on the  
9 record, please. And before we resume with the  
10 cross-examination of the Duke panel, my intention  
11 is to take a recess at 1:00 for lunch. Proceed.

12 CROSS EXAMINATION BY MR. QUINN:

13 Q. Good morning. My name is Matthew Quinn. I'm  
14 the attorney for NC Warn, and I have tried my best to  
15 identify cross examination topics that have not been  
16 covered yet, and I cannot promise that I will make an A  
17 on that exam, but I will do my best.

18 So with that in mind, Mr. Snider, I would  
19 like to speak with you about a topic that I don't think  
20 has gotten as much coverage yet, and that is the  
21 Company's natural gas forecasting method.

22 MR. BREITSCHWERDT: Objection.

23 madam Chair, again, I think the noticed purpose of  
24 this proceeding was on a discrete set of issues,

91

1 and the Commission was very clear in the scheduling  
2 order that that topic, while I'm sure Mr. Snider  
3 would love to spend a lot of time talking about it,  
4 was beyond the scope of what Commission noticed for  
5 hearing.

6 MR. QUINN: On page 23 of Mr. Snider's  
7 supplemental testimony, he discussed natural gas  
8 forecasting in detail. Also, I think it's  
9 extremely important to the Company's support of the  
10 stipulation reached with the Public Staff about the  
11 avoided cost rates. The Company's acknowledged,  
12 themselves, in their joint statement, that one of  
13 the primary drivers behind the reduction in the  
14 avoided cost rates is the natural gas forecasting.  
15 So it's directly pertinent to that.

16 CHAIR MITCHELL: Given that Mr. Snider  
17 has testified to the issue and -- I will allow  
18 questions on his testimony, so please stick to  
19 matters testified to.

20 And for purposes of this proceeding  
21 going forward, the scheduling order that was  
22 entered by the Commission identified discrete  
23 issues that -- on which we requested testimony from  
24 the parties. The intention was that this

1 proceeding, the evidentiary proceeding, this  
2 hearing run as efficiently as possible.  
3 Historically, the Commission has allowed open  
4 cross. We've been lenient with respect to cross  
5 examination.

6 I will remind you-all, though, that this  
7 docket is a bit unusual in that we have identified  
8 the topics from which we have -- we want to hear  
9 from the parties. So while I will be lenient to a  
10 certain extent with your cross examination, please,  
11 please, in the interest of efficiency, stick to, to  
12 the best of your abilities, the matters on which  
13 these gentlemen have provided testimony.

14 MR. QUINN: Thank you.

15 Q. (Glen A. Snider.) So, Mr. Snider, as I  
16 mentioned a moment ago, I think you probably agree  
17 that, according to the Companies, one of the primary  
18 drivers behind the reduction in the avoided cost rates  
19 is a drop in natural gas prices; is that fair to say?

20 A. That is certainly a contributing factor.

21 Q. And when the Commission approved the  
22 Companies' avoided cost rates in 2016, natural gas  
23 prices were higher than what they are presently; is  
24 that also fair?

93

1 A. That is fair.

2 Q. And you probably agree with me if I said  
3 that, at this moment, natural gas prices could be  
4 accurately described as being very low; is that right?

5 A. There -- they've been dropping since we've  
6 been doing this proceeding for -- since 2012.  
7 Consistently orderly I think is what I said in  
8 testimony. There's been an orderly decline in the  
9 10-year forward curve for the last six years at least.

10 Q. And, of course, the lower the natural gas  
11 prices, the lower the Companies' avoided cost; is that  
12 right?

13 A. Yes. One component of what benefit a QF  
14 provides is that it's allowing the Company to buy less  
15 natural gas. So the question is, how much money is the  
16 consumer saving, what's the indifference price based on  
17 that price of natural gas?

18 Q. Okay. And so the more that a company's  
19 natural gas forecast emphasizes the current natural gas  
20 market, like at this moment, the lower the company's  
21 avoided cost rates are likely to be; is that fair to  
22 say?

23 A. You know, when you say "prices at this  
24 moment," we're not talking about prices at this moment.

1 We're talking about the 10-year-forward price. So  
2 we're going out on a systematic basis and buying gas  
3 out 10 years forward. So it's not purchasing gas at  
4 today's spot price, which may be significantly below  
5 the 10-year-forward price. Just for the clarity, what  
6 we're talking about is we're buying 10 years of natural  
7 gas out into the future at the then prevailing forward  
8 price the same way we're buying QF power at a  
9 prevailing forward price for QF power.

10 But yes, to bring it full circle, the 10-year  
11 avoided cost rate has come down, and natural gas prices  
12 are one of the drivers. And they are lower today, as I  
13 said yesterday, than they were even when we filed these  
14 rates back in November.

15 Q. Okay. So -- and in your answer, you  
16 mentioned four prices. And I think what you're getting  
17 at there is kind of the difference between a forward  
18 prices forecasting model and -- versus a fundamental  
19 prices forecasting model; is that a fair and accurate  
20 understanding of the component of your answer?

21 A. No. A forward price is not a forecasting  
22 model, it's the market. I mean, you don't forecast a  
23 forward, there's -- there are -- as I have said in  
24 previous rounds of this, there are multiple forecasts.

1 Each of the intervenors can bring forward a different  
2 entity that forecasts a price. There's a single  
3 market. So there's not multiple forward markets. And  
4 if you go to buy gas today for 10 years forward, there  
5 would be one price for that, and that is the forward  
6 price. So you have a forward price and then you have a  
7 forecast of what prices might be when you don't have a  
8 liquid forward market.

9 Q. Okay. So just for the sake of our  
10 conversation to make sure we're on the same page, my  
11 understanding is that the forward prices forecasting  
12 method, it represents the future price that parties are  
13 willing to contract for now; is that fair to say?

14 A. It's a price agreed to today for exchange of  
15 cash and commodity in the future. So I'm not -- just  
16 to be clear, a forward, you don't pay for it in  
17 advance; you agree on a price and then that price  
18 settles in the future. But yes, it's a market price  
19 established today for a future period.

20 Q. And so, then, conversely, the fundamentals  
21 forecast looks at a longer-term trend in the natural  
22 gas market; is that fair to say? It looks more market  
23 dynamic supply and demand on a national and  
24 international scale?

96

1           A.       No. I would say they both -- I mean, if  
2   you're transacting, if you're in that market, a forward  
3   market participant, it's all suppliers, all consumers  
4   are coming together and saying that encompasses all of  
5   the markets' beliefs about supply and demand at a  
6   single price.

7                   A forecast is dependent on who you get to  
8   provide the forecast, and they have different  
9   macroeconomic views. And like I said, there will be  
10  multiple forecasts.

11                  So yes, there are more forecasts than there  
12  are forwards, and they all have varying views of what  
13  those supply and demand factors are, except for a  
14  forward price where there is but one view, and that's  
15  the market's view.

16          Q.       Okay. In light of that, isn't it true that  
17  the more reliance on a forward prices forecasting model  
18  that the Company uses, the more that the Company's  
19  natural gas forecast will reflect current low natural  
20  gas prices?

21          A.       Again, it depends on -- most of the  
22  fundamental forecasts today are above. Because of the  
23  trend, we've had extensive testimony in this case and  
24  prior cases that the fundamental forecasts have



97

1 struggled to keep up with the market, and they're  
2 usually done on a year to two-year lag compared to a  
3 market that's transacting in real time.

4 So I would say that no, the gas price that  
5 we've transacted at -- as I pointed out, we just did  
6 another transaction last week where we bought 10 years  
7 of forward gas at a single transaction price that is  
8 today lower than some historic fundamental forecasts.  
9 There may be a point in time where someone forecasts  
10 prices to be lower than the market.

11 And, in this case, given the trend that I  
12 just spoke about since 2012 of constant steady decline,  
13 if we went back and looked at the transcripts from  
14 2012, '14, '16, and '18, every time we said the market  
15 can't go any lower and that the fundamental forecasts  
16 are more correct, and over the last six to eight years,  
17 all that's happened is the fundamental forecasts  
18 continued to decline in response to what's happening in  
19 the marketplace.

20 So the marketplace, in my opinion, is by far  
21 and away the best not estimate, but the -- more  
22 importantly, is the price at which transactions are  
23 taking place. So we are entering into physical  
24 transactions, buying gas at a certain price level, and

1 our clear interpretation of PURPA is we should not be  
2 required to buy the same power at a higher level.

3 Q. Okay. Well, then, let's compare your belief  
4 that the forward-pricing model is preferable. Let's  
5 compare that belief to, I guess, some of your  
6 colleagues or other utilities.

7 Would you agree with me, Mr. Snider, that the  
8 Companies use -- in this avoided costs docket, the  
9 Companies use a natural gas forecasting model that uses  
10 10 years of forward prices before transitioning to a  
11 fundamentals forecast; is that an accurate summation?

12 A. That has been the case in the last four or  
13 five IRPs and the last several avoided cost filings, at  
14 least what we've presented to this Commission, yes.

15 Q. Okay. So relevant to the other utilities --

16 MR. BREITSCHWERDT: Objection. I'm not  
17 seeing where Mr. Snider's supplemental testimony or  
18 any testimony filed in this portion of the  
19 proceedings speaks to how other utilities are  
20 analyzing their future procurement of natural gas  
21 or how they're making purchases out in the future.  
22 This is something certainly addressed extensively  
23 in the comment proceeding that preceded the  
24 evidentiary proceeding, but I think we're getting

1 far afield from them.

2 MR. QUINN: One of the topics for this  
3 evidentiary hearing is the Companies' support of  
4 the stipulation for the Public Staff about avoided  
5 cost rates. The primary -- as Mr. Snider, himself,  
6 acknowledged, the primary driver behind the  
7 reduction in avoided cost rates is natural gas  
8 prices. So, to my mind, the topic that we're  
9 discussing right now is probably the most important  
10 component of this evidentiary proceeding.

11 CHAIR MITCHELL: Do your best to stick  
12 to the issues on which these gentlemen have  
13 provided testimony. I ask that you move through  
14 these questions efficiently.

15 MR. QUINN: Yes, ma'am. I will do so.

16 Q. Mr. Snider, is it fair to say that the use of  
17 10 years forward prices forecasting before switching to  
18 fundamentals, that's a fairly unique way to project --  
19 to project natural gas prices among utilities?

20 A. Again, it's not projecting, it's actually  
21 procuring. So we're not projecting, we're actually  
22 buying. And that is the market price of gas, which is  
23 the market price that should be used for power. They  
24 need to be equivalent. We said that repeatedly.

100

1           It isn't -- when we say it's unique in that  
2 other utilities, it is ironic that what has  
3 precipitated the use of 10 years of forward is the fact  
4 that we now find ourselves in a position where by not  
5 using actual market, we end up with thousands of  
6 megawatts that are currently excessively above the true  
7 value being created for the very reason that we -- that  
8 caused us to go to 10 years.

9           So we went to 10 years because we ended up --  
10 we're buying power out 10 years, 15 years under the old  
11 rates, at rates that were significantly above the  
12 market -- the actual market for natural gas. So I  
13 would purport that, if there were any other utilities  
14 that found themselves in a \$4.5 billion obligation to a  
15 long-dated QF community, they would very well be buying  
16 gas out a commensurate tenner to ensure that they were  
17 getting the true indifference price of a forward  
18 transaction for power with a forward transaction for  
19 natural gas.

20           The very nature by which this came about was  
21 the obligation to go out 10 and 15 years and lock in  
22 two forward power positions. As a result of that, back  
23 in 2012 and 2014, it was questioned whether there was  
24 an equivalent market that was liquid. There was a lot

101

1 of discussion around whether that market was liquid and  
2 transparent. We started getting quotes for that. It  
3 was argued that maybe the quotes were not transactable.  
4 And starting a few years back, we started transacting.

5 And we've demonstrated that not only we but  
6 other utilities are also buying out 10 years, that  
7 we're not alone in doing this, and it's really just and  
8 prudent, on behalf of customers, to ensure that, if  
9 you're going to make forward natural gas transaction or  
10 power transactions to QFs, that they should be  
11 commensurate with and equal to what you could have, the  
12 but for principle, indifference principle, you could  
13 make that same forward transaction for natural gas.  
14 And we -- I think, as Mr. Breitschwerdt has mentioned,  
15 we've, you know, commented on that extensively in this  
16 proceeding and in prior proceedings.

17 Q. I appreciate your defense of the Company's  
18 natural gas forecasting model, and suffice it to say  
19 that multiple intervenors disagree with it, but that  
20 wasn't exactly my question.

21 What my question was is, isn't the Company's  
22 natural gas forecasting model unique relevant to other  
23 utilities? I guess what I mean by that is, Mr. Snider,  
24 can you identify another utility in the entire country

102

1 which uses a natural gas forecasting model with a  
2 10-year forward-pricing component?

3 A. Two issues there. One is I've said  
4 repeatedly it's not a forecasting model. There's a  
5 fundamental difference between a forecasting model and  
6 a liquid forward market. So no, no one using that  
7 forecasting model, because it's not a forecasting  
8 model, it's a market.

9 Second, reliance on forwards, as we've  
10 demonstrated to and we filed as a confidential response  
11 in one of our interrogatories, is yes, there is another  
12 utility in the southeast that is also buying gas at  
13 significant quantities out 10 years, and that was  
14 provided as a confidential response to a data request.

15 So yes, I can; and no, it's not a price  
16 forecasting model.

17 Q. Okay. So I don't want to get into the  
18 confidential issues, but there is one other utility  
19 that you've been able to identify; is that correct?

20 A. Yes.

21 Q. Any other than just one?

22 A. Well, as I point out, no other utility also  
23 that am I aware of that is buying \$4.5 billion worth of  
24 QF must-take at administratively determined rates that

103

1 are reliant upon gas prices. So North Carolina is  
2 uniquely situated in the very position that  
3 precipitated us going out and buying gas that far into  
4 the future to ensure that we had this indifference  
5 principle in place at the right level.

6 So it's a circular reference here to say  
7 North Carolina uniquely went out and procured 3,000  
8 megawatts plus of solar at 10- to 15-year contracts,  
9 which then required, from a prudence perspective, to  
10 make sure that that was being done at the prevailing  
11 market that consumers would be indifferent to if the  
12 Company simply went out and bought the natural gas.

13 So the very nature of the North Carolina QF  
14 process precipitated this, and now they're using the  
15 argument that we're unique in buying natural gas that  
16 far forward as a reason not to do it. Well, you know,  
17 by that respect, just tell us what natural gas forecast  
18 we should use so that you can get a high enough rate;  
19 that's not the way this process should work.

20 Q. Mr. Snider, you mentioned the unique  
21 situation of North Carolina. So that raises me to ask  
22 the following question:

23 You are, of course, aware that Dominion is a  
24 utility in North Carolina; is that correct? A public

104

1 utility in North Carolina?

2 A. Yes. They have a small portion of their  
3 service territory in North Carolina.

4 Q. And are you familiar at all with Dominion's  
5 filings in this avoided cost docket?

6 A. Roughly.

7 Q. Okay. And are you aware of the natural gas  
8 methodology used by Dominion in this case? That they  
9 use forward prices for 18 months and then switch to  
10 fundamentals; is that fair to say?

11 A. Subject to check, I would agree with it.

12 Q. So subject to check, if that is indeed a  
13 correct statement of Dominion's position, then I'm sure  
14 you would also agree that Dominion's method, there's  
15 about an eight-and-a-half-year difference in the use of  
16 forward pricing between Dominion and Duke; is that  
17 correct?

18 A. I think the difference between one and a half  
19 and ten is eight and a half, yes.

20 Q. Mr. Snider, are you -- let me ask that  
21 question again.

22 Mr. Snider, you're an employee of Duke Energy  
23 Company; is that correct?

24 A. Yes.



105

1 Q. Okay. And Duke Energy Company, of course, is  
2 the parent company for several subsidiaries, right?

3 A. My responsibilities lie with Duke Energy  
4 Progress and Duke Energy Carolinas.

5 Q. Fair enough. Then are you familiar at all  
6 with the natural gas of subsidiaries Duke Energy  
7 Florida, or Duke Energy Kentucky, or Duke Energy --

8 MR. BREITSCHWERDT: Objection. I'm  
9 going to raise the same objection I raised  
10 previously; we are now far outside the scope of  
11 what Mr. Snider's supplemental testimony speaks to  
12 in this proceeding. We're squarely within the  
13 comments that were filed by the Public Staff, by  
14 Duke, by numerous other parties that the Commission  
15 specifically said they did not want to hear  
16 testimony on. These were issues that had been  
17 considered and decided before, and Mr. Snider  
18 didn't prepare -- while he seems fairly well  
19 prepared to articulate his views on this, we didn't  
20 go back over what we addressed in the comment based  
21 in this proceeding related to what Duke Energy  
22 Florida does or other utilities. It just seems  
23 like, in the interest of expediency and efficiency,  
24 we're far, far outside the purpose of this

106

1       proceedi ng.

2                   MR. QUINN: And I disagree with that  
3       vehemently. As I said a moment ago, one of the, if  
4       not the most important, issue in this evidentiary  
5       hearing is the stipulation between Duke and the  
6       Public Staff and the Companies' avoided cost rates.

7                   MR. DODGE: Madam Chair, if I could  
8       interrupt there. I just want to point out, the  
9       Public Staff entered into two stipulations with  
10      Duke. One related to rate design, which dealt with  
11      the schedule, the hours and the months during which  
12      on and off peak, the rates would be assigned; and  
13      then also with regard to this whole integration  
14      services charge. But we are certainly not in  
15      agreement with all issues including gas price  
16      forecast with the utility.

17                  MR. QUINN: And that's absolutely  
18      understood. But the stipulation between the Public  
19      Staff and Duke and -- goes to the very heart of  
20      what the avoided cost rates are going to be.

21                  CHAIR MITCHELL: All right. Mr. Quinn,  
22      I have -- we have given you some time to ask your  
23      questions on the natural gas forecast construction  
24      methodologies that the Company has used or not

107

1        used. I have asked you to stick to the matters  
2        that have been testified to by these gentleman in  
3        this proceeding, and, you know, we are now  
4        15 minutes into your cross-examination. So I'm  
5        going to give you two more minutes to make your  
6        point, and then move on to the next topic, please.

7                MR. QUINN: I will -- in deference to  
8        that, I will move on to the next topic now, and I  
9        appreciate that.

10        Q.        So, in light of that, I'd like to shift our  
11        conversation away from the natural gas issue and toward  
12        the standard terms and conditions. So, Mr. Johnson, I  
13        expect that a lot of my subsequent questions are going  
14        to be directed at you, but there's a lot of overlap  
15        here between yourself and Mr. Snider. So, you know, by  
16        all means, you know, both gentlemen, please interject  
17        where you think is appropriate.

18                Mr. Johnson, is it fair to say that, as we  
19        move into the forward future, that battery storage is  
20        going to play a greater and greater role in the utility  
21        market?

22        A.        (David B. Johnson.) That seems to be the way  
23        it's gone, but it's still to be decided.

24        Q.        Are you familiar with the Companies' IRP

108

1 filings for 2018?

2 A. That's not my area of expertise, so just  
3 generally familiar.

4 Q. Okay. Then my question is probably --  
5 general familiarity is probably going to be sufficient.  
6 I guess what I wanted to just -- I just wanted to get  
7 on the record is that, would you acknowledge that the  
8 companies have expressed, in their 2018 IRP filings,  
9 the objective of adding about \$500 million in battery  
10 technology in the Carolinas over the next 15 years?

11 A. (Glen A. Snider.) Roughly the amount of  
12 investment in a number of batteries that we had put  
13 placeholders in the IRP for.

14 Q. And so, presumably, the Companies are making  
15 this \$500 million investment, or something in that  
16 ballpark, because they anticipate that batteries are  
17 going to play an important part in the utility market  
18 as we move forward in the future; is that fair to say?

19 A. I would say it's a growing part for sure. I  
20 think the big debate with any nascent technology is  
21 just how quickly and how fast it grows. So we have a  
22 placeholder for some amount of storage, could be on the  
23 transmission system, could be on the distribution,  
24 could be paired with solar, but there's a placeholder

109

1 recognizing growth in that.

2 It's still a nascent technology. We're  
3 talking -- I think our placeholders are a little over  
4 100 megawatts in the two utilities' IRPs. I apologize,  
5 I don't have my IRP with me right now. That's relative  
6 to a -- you know, a combined system of, you know,  
7 nearly 40,000 megawatts. So yes, it is not  
8 insignificant. It is a growing -- but it is still a  
9 nascent technology that is coming into utility scale.

10 Q. Would you acknowledge that the cost of  
11 battery storage has been on the decline for several  
12 years?

13 A. Certainly.

14 Q. And would you also agree that the cost of  
15 battery storage is projected to continue to decrease as  
16 we move forward into the future?

17 A. We have those projections in our IRP.

18 Q. And so, therefore, I think we can probably  
19 agree that investment and battery storage is a prudent  
20 investment that the Companies are -- have forecasted  
21 that they're going to make; is that fair to say?

22 A. Actually, they're placeholders right now.  
23 You know, I think what we say is, you know, battery  
24 storage has the potential, if costs come down

110

1 significantly, to be a prudent investment. At today's  
2 prices, a standalone battery, you know, if I were to  
3 put one in tomorrow, is not cost-effective.

4 But given declines, given the potential to  
5 solve potential T&D and G issues, you know, once we  
6 work through stack value, you know, it has potential.  
7 It has potential to be prudent, but it's dependent  
8 upon, as Mr. Johnson said, a lot of factors.

9 Q. I've read several places in this docket that  
10 one of the Company's chief concerns about solar  
11 generation is that it's intermittent and  
12 non-dispatchable; is that fair to say?

13 A. I don't know if it's a concern, it's just a  
14 recognized difference. I mean, it still provides  
15 energy value. We're not saying it doesn't provide  
16 value. It's just a recognized difference that does  
17 impose certain costs on the system that we have to  
18 account for.

19 Q. Okay. Fair enough. Would you acknowledge  
20 that adding battery storage to a solar facility would  
21 allow a shift in the production of electricity to more  
22 valuable peak times?

23 A. Yes. To higher -- we had this discussion at  
24 length, to periods where there is a higher cost to

111

1 provide that same energy.

2 Q. And we have had this discussion, so I've cut  
3 a lot of questions about this, I promise, but my  
4 colleague with EcoPlexus did a good job on this  
5 subject, and there's just one -- I think one follow-up  
6 question or cluster of follow-up questions that I  
7 wanted to ask just to try to make sure I understood  
8 your testimony.

9 Would you acknowledge that battery storage  
10 technology creates the -- at least the possibility of  
11 helping the Company's -- of addressing the Company's  
12 concerns about solar generation being intermittent and  
13 non-dispatchable?

14 A. It has the potential to change the time in  
15 which energy is being delivered, for sure. As I said,  
16 we still have a lot -- a long way to go before it can  
17 be fully dispatchable; but it is certainly -- as I  
18 think I explained earlier, it's partially dispatchable.  
19 It's certainly less intermittent than pure solar  
20 stand-alone.

21 Q. And you would also agree, I'm sure, that  
22 the -- it's important for the Companies to incentivize  
23 the use of battery storage?

24 A. Yeah. I think I testified extensively

112

1 yesterday that this very rate design that we stipulated  
2 to with Public Staff sends a very significant price  
3 signal for incremental battery storage.

4 Q. Just so the record is clear, is that a yes to  
5 my question, it's important to incentivize the use of  
6 battery storage?

7 A. If done at the proper avoided costs,  
8 absolutely.

9 Q. Now, of course, the Company's position in  
10 this docket is that, if a QF were to install storage,  
11 then it's a material alteration and require a new PPA  
12 at new avoided cost rates; is that fair to say?

13 A. Yes.

14 Q. And those new avoided cost rates would be  
15 higher avoided cost rates, correct?

16 A. During the --

17 Q. I'm sorry, wait a minute, lower avoided cost  
18 rates.

19 A. It depends by price period. So during the  
20 premium peak winter hours, you have certain price  
21 periods where the new rates are higher in that  
22 particular period than the old rates. The average rate  
23 for around-the-clock, you know, QF that was 100 percent  
24 available would go down. But any given price period,



113

1 it depends on looking at the comparison of the price  
2 period.

3 Q. So switching topics just a little bit,  
4 Mr. Snider, you are aware that an electrical energy  
5 storage device is used to store electricity rather than  
6 to generate additional electricity; is that fair to  
7 say?

8 A. Yes, depending upon its application. It has  
9 the ability to do both when paired with storage.

10 Q. I guess you're also probably aware that the  
11 process of storing and then discharging electricity  
12 from an electrical storage device involves an inherent  
13 efficiency loss; is that fair to say?

14 A. Yes.

15 Q. Okay. And are you also aware that, in the  
16 wintertime, solar generators produce less power than in  
17 the summer, and often produce less than their maximum  
18 output rating at their peak winter daily production  
19 periods?

20 A. Yes.

21 Q. So are you aware, then, that solar  
22 generator -- that a solar generator that stores and  
23 then discharges part of its production on winter days  
24 using a battery may, in fact, produce less overall

114

1 energy output on those days, not more; is that fair to  
2 say?

3 A. On any given winter day, the potential for  
4 the joint output to be less is definitely there.

5 Q. Then would you also acknowledge, in that  
6 case, that a key reason to install storage on a solar  
7 generator is to time shift generation from one time  
8 period to another rather than to generate additional  
9 electricity?

10 A. In my prior example, yes.

11 Q. Thus, would you say it's reasonable to assume  
12 that, if all or most avoided capacity value is  
13 allocated to the wintertime, as Duke is proposing in  
14 this docket, that a substantial portion of the use of  
15 the storage equipment on a solar-plus-storage facility  
16 would be used in the wintertime; is that fair to say?

17 A. No. I think, if you have a storage device,  
18 you're going to use it every day. To the extent there  
19 is -- once you've sunk the cost into a storage device,  
20 if there is a daily energy arbitrage to be had, winter,  
21 spring, summer, fall, that sunk cost is going to be  
22 offset by, on any given day of the year, ensuring that  
23 you put energy in to the extent you can based on its  
24 configuration in the off peak and discharging it on the

115

1 on peak 365 days a year.

2 Q. That's all I have. Thank you.

3 CROSS EXAMINATION BY MR. DODGE:

4 Q. Good afternoon, gentlemen. I'm Tim Dodge of  
5 the Public Staff. Sorry. Working our way down the  
6 table. I will try to be -- I've shortened mine a  
7 little bit as a result of some of the other questions  
8 that have been raised, but I have also some points I  
9 think I want to follow up on as well that have been  
10 added. So, Mr. Snider, most of my questions are going  
11 to be directed at you, but certainly of either of the  
12 other panelists have input on the questions, I'd  
13 appreciate their thoughts as well.

14 So, Mr. Snider, as you discussed yesterday  
15 with Ms. Bowen, you were one of the witnesses in  
16 several of the avoided cost proceedings, most recently  
17 the Sub 148 proceeding in the 2016/2017 timeframe,  
18 correct?

19 A. (Glen A. Snider.) That is correct.

20 Q. I wanted to make a couple of references to  
21 your testimony and the testimony also of Duke witness  
22 Sammy Holman from the Sub 148 proceeding.

23 MR. DODGE: May I approach the witness?

24 CHAIR MITCHELL: You may.

116

1 MR. DODGE: I have copies of those  
2 testimony just for Mr. Snider's reference as we go  
3 through these sections here.

4 Q. Why don't you flip to those? The first page  
5 I'll have you turn to is your testimony is the Sub 148  
6 proceeding. I believe this is on pages 24 and 25 of  
7 your testimony.

8 In this section, you're discussing  
9 unscheduled and unconstrained QF generation,  
10 particularly from solar resources, correct?

11 A. Just one second.

12 Q. Sure. Take your time.

13 A. (Witness peruses document.)

14 Yes.

15 Q. All right. And the question that was put  
16 forth to you was, "Please expand on how ancillary  
17 impacts of solar generation may influence the types of  
18 new generation and future resource plans." And you  
19 responded, "The ancillary services impact of high  
20 levels of must-take solar may need to be considered in  
21 future plans when recommending the type of resources  
22 needed to satisfy winter reserve margin requirements  
23 and to ensure adequate system ramping capability and  
24 operational flexibility." And then you reference

117

1 Mr. Holeman's testimony describing increased levels of  
2 variable unscheduled and unconstrained solar QFs may  
3 create incremental need for faster load following  
4 response generation as well.

5 Did I read that correctly?

6 A. Yes.

7 Q. Okay. So now, if you could turn to the  
8 second tab and Mr. -- that's going to be Mr. Holeman's  
9 testimony, on pages 10 and 11. And in this section,  
10 Mr. Holeman defines or explains what the utility meant  
11 by "unscheduled and unconstrained solar." And again,  
12 the question put to Mr. Holeman was, "Please explain  
13 what the Companies mean by unscheduled and  
14 unconstrained solar QF energy and why it is now  
15 impacting the reliability of system operations." To  
16 which Mr. Holeman responded, "Solar QFs inject energy  
17 into the BA without any day ahead or intraday  
18 scheduling coordination with the system operator and  
19 without any commitment to delivery scheduled quantities  
20 of energy into the BA, and therefore are making  
21 unscheduled energy injections into the BA. Moreover,  
22 the unscheduled solar QF energy injections into the BAs  
23 are unconstrained by dispatch control due to purpose  
24 limitations, and that this is because FERC's PURPA

118

1 regulations, absent contractual agreement otherwise, a  
2 QF injecting energy into a system under a contract may  
3 be curtailed and the energy injections discontinued  
4 only in a system emergency."

5 Did I read that correctly?

6 A. You did.

7 Q. Okay. So in the context of these statements,  
8 Mr. Holeman and your testimony, you were referring  
9 to -- generally to the day ahead or intraday basis for  
10 planning for system reliability purposes, were you not?

11 A. Yes.

12 Q. And to address the costs that are being  
13 incurred by the utility as a result of this  
14 unconstrained or unscheduled solar that was being  
15 discussed here, that is part of the basis for the  
16 utility's decision to retain Astrape to develop the  
17 solar ancillary services study that's been discussed  
18 extensively in this proceeding?

19 A. That is correct.

20 Q. All right. Now, in his testimony,  
21 Mr. Holeman also talked about excess energy situations  
22 and where the utilities may have operationally excess  
23 energy and have to dispatch down or curtail QF power  
24 and potentially sell power non-firm basis at a loss; is

119

1 that correct?

2 A. Yeah, I believe that was the case in his  
3 testimony.

4 Q. Okay. And so we've talked again about the  
5 amount of solar, the amount of existing solar in  
6 North Carolina's system, but at this time, aren't most  
7 of the solar QFs in DEC and DEP's service territory  
8 operating under option B hours -- option B rate design  
9 hours?

10 A. Yes, that is my understanding.

11 Q. Okay. And do some of those operationally  
12 excess energy hours that the utilities have incurred or  
13 experienced, are those typically occurring during  
14 on-peak hours or during off-peak periods?

15 A. Off-peak periods.

16 Q. During off-peak periods. Okay.

17 So in the current proceeding, the Public  
18 Staff and Duke have entered into stipulation supporting  
19 the implementation of the solar integration services  
20 charge, and the purpose of that is to ensure that some  
21 of the costs of that additional load following  
22 resources that are being incurred by the utilities and  
23 ultimately being passed onto customers are assigned or  
24 recovered from the cost causers; is that correct?

120

1 A. That is correct.

2 Q. I know Mr. Wheeler testified to this point as  
3 well.

4 Yesterday, Mr. Snider, when you were talking  
5 with Ms. Bowen, I think you stated your perspective  
6 that any energy that increases intra-hour volatility  
7 adds a cost; do you agree with that statement?

8 A. Yeah. The resources that create additional  
9 intra-hour volatility require -- must take resources  
10 that create that -- require us to carry more operating  
11 reserves, which results in a cost, yes.

12 Q. All right. And one of the criticisms that  
13 was raised by the Public Staff in our initial comments  
14 regarding the development of the solar integration  
15 services charge and also by a SACE witness, Devi Glick,  
16 was that when the utility, in developing Astrape when  
17 establishing the baseline for the system reliability,  
18 the base case, Duke used a no-solar scenario that  
19 didn't include existing utility solar; is that correct?

20 A. Yes.

21 Q. All right. And why -- why -- if you could  
22 refresh my memory, why did the utility believe it was  
23 appropriate for the utility-owned solar to not be  
24 included in that baseline?



121

1           A.     I think, in the baseline, what we're looking  
2     at is must-take unconstrained under PURPA. So  
3     utility-owned solar is not subject to PURPA. We don't  
4     have -- we can -- if we're in excess, we can curtail  
5     it. I think -- and I'm not the expert on this, but I  
6     believe we've agree that we are curtailing ours in  
7     advance of QF solars, subject to check. And so we were  
8     looking specifically in the study at the impact of the  
9     must-take uncontrolled under PURPA where these  
10    situations that Mr. Holeman was describing under PURPA  
11    apply.

12          Q.     But you would agree that those -- the  
13    utility-owned generation does still result in increased  
14    intra-hour volatility that must be -- requires  
15    additional load reserves, load following reserves?

16          A.     Yes.

17          Q.     And in the stipulation, the parties also  
18    agreed that it was appropriate going forward to  
19    consider the ancillary services cost of adding  
20    incremental solar, such as in CPRE -- future tranches  
21    of CPRE that we would consider how to address those  
22    additional ancillary service costs caused by those  
23    intermittent resources?

24          A.     That's is correct.

122

1 Q. As part of the stipulation -- and again, this  
2 was discussed yesterday between you and Mr. Smith and  
3 Ms. Bowen -- the parties agreed that a negotiated QF  
4 facility could seek to demonstrate and contractually  
5 agree with the utilities that -- based on its  
6 operational characteristics, that it could reduce the  
7 need for additional load following generation and no  
8 longer be subject to the solar integration service  
9 charge, correct?

10 A. That is correct.

11 Q. And specifically in the stipulation, wasn't  
12 the addition of energy storage system one of the  
13 examples that was listed?

14 A. It was.

15 Q. All right. But as you've indicated, a  
16 battery by itself doesn't reduce volatility, it's how  
17 it's operated and the operational constraints or  
18 controls that would be in place on that battery?

19 A. That is correct.

20 Q. And in the context of the stipulation, we  
21 also agreed that, for currently exempt projects, or the  
22 grandfathered existing QF facilities, that they would  
23 not be subject to the solar integration charge until  
24 they come in to renew or until the time of their

123

1 current PPA term expires, correct?

2 A. Right.

3 Q. So if one of those facilities, you know, a  
4 facility that may be on an option B Sub 136 or Sub 140  
5 rate, wanted to make changes to its facility to avoid  
6 the charge, it doesn't have an incentive to do that  
7 currently for purposes of avoiding the solar  
8 integration charge?

9 A. That is correct.

10 Q. All right. But say if that is its goal  
11 within one year of the expiration of that PPA term, it  
12 could file a new -- establish a new LEO with the  
13 utility, seek to commit to selling its output, and at  
14 that point it may be able to make the modifications  
15 that we've described here to seek to avoid the  
16 application of the charge going forward?

17 A. Yes.

18 Q. So thinking back to some of those facilities  
19 that may want to make those modifications, if they  
20 don't have an incentive under the integration charge to  
21 modify the facility to avoid that charge currently,  
22 those facilities -- I think yesterday you described the  
23 idea that, for the utility to be receptive to allowing  
24 those modifications, there would be need to be a

124

1 benefit to customers. Customers would -- they would  
2 need to demonstrate that customers would benefit as a  
3 result of that modification to the facility.

4 Do you recall that discussion?

5 A. Yes. I think yesterday and today I was  
6 testifying to the extent that that is consistent with  
7 my read of House Bill 589.

8 Q. Okay. And I know we talked about the  
9 indifference point, I think you made some references  
10 to -- and I won't try to use the hamburgers and the  
11 fillet mignon analogy that was used yesterday.

12 A. Thank you.

13 Q. But to the extent that there are -- there's  
14 different ways you could view indifference, and I just  
15 want to make sure I'm following the way that you are  
16 interpreting the indifference principle for PURPA  
17 purposes.

18 I think you indicated that this point is  
19 basically when a customer is indifferent between  
20 whether that megawatt hour that's required by the  
21 utility to serve load comes from either the utility or  
22 a QF; is that correct?

23 A. Right.

24 Q. Okay. And this Commission makes that

125

1 determination every biennial proceeding as to what the  
2 appropriate indifference point is for the purposes of  
3 that proceeding, correct?

4 A. That is correct.

5 Q. But customers are not indifferent between  
6 energy purchased under older avoided cost rates and  
7 that may no longer be representative market conditions  
8 and current avoided cost rates necessarily, are they?

9 A. They are not.

10 Q. And you've described some of the costs that  
11 customers are currently paying for under some of those  
12 older contracts currently.

13 In addition, would you say that customers are  
14 indifferent between a megawatt hour that they purchased  
15 that increases intra-hour volatility and a megawatt  
16 that provides a smooth megawatt hour profile?

17 A. The only way they're made indifferent is if  
18 the QF is charged and that dollar is no longer being  
19 subsidized from the customer but is moved over to the  
20 cost causer, which is the QF, then they would be  
21 indifferent. Absent discharge, they are not  
22 indifferent.

23 Q. So the solar integration charge would seek to  
24 address that -- ensure that indifference point is still

126

1 maintained for Sub 158 proceedings?

2 A. For incremental. We've talked at length  
3 about the exclusion for prior, yes.

4 Q. Okay. But again, for a facility that the  
5 solar integration charge does not apply to, is the  
6 customer indifferent between a megawatt hour that has  
7 volatility -- that increases intra-hour volatility and  
8 a megawatt hour that is being procured that would not  
9 be subject to the application of the solar integration  
10 services charge and does provide a smooth profile?

11 A. I'm sorry, I lost you there. Could you  
12 restate your question?

13 Q. Sure. So to the extent a facility is not  
14 subject -- so an existing facility that's been  
15 grandfathered and would not be subject to this whole  
16 integration services charge at this time, is the  
17 utility indifferent between a megawatt hour that that  
18 utility -- or that facility produces that further  
19 increases intra-hour volatility and an -- or -- and an  
20 hour that that facility produces that provides a smooth  
21 profile and does not increase intra-hour volatility?

22 A. I'm trying to see if I understand your  
23 question. So if that legacy facility had certain hours  
24 where there was intra-hour and some where there were

127

1 not, the one where there was not intra-hour volatility,  
2 all other things being equal, would be preferred.

3 Q. And the only way that they could reasonably  
4 do that would be to modify the facility to add storage  
5 or subject to an energy storage protocol that would  
6 provide some of those -- a protocol that was designed  
7 to provide for smoothing, that's the only way they  
8 could provide that kind of smooth profile?

9 A. Right. I think we've had the extensive --  
10 the mere existence of the battery will not do that for  
11 an existing facility. In certain instances could  
12 actually exacerbate the intra-hour volatility.

13 Q. Okay. Thank you. Earlier today you -- just  
14 a few moments ago you were discussing with Ms. Kemera it  
15 whether the utility would be indifferent between an  
16 energy storage facility, and I believe you described a  
17 peaker facility that was following an AGC signal; do  
18 you recall that discussion?

19 A. Yes.

20 Q. And is Duke -- you're familiar with Duke's --  
21 Duke Energy Progress' Hot Springs microgrid project?

22 A. Yes.

23 Q. And is that facility proposed to operate  
24 following an AGC signal as well?

128

1           A.     I believe it was. I did not participate in  
2     that proceeding, but my general understanding is yes.

3           Q.     Okay. All right. Thank you. So -- I  
4     covered some of this already. So let's go ahead and  
5     shift gears a little bit. This is still primarily  
6     directed at Mr. Snider, but, Mr. Wheeler, you may be  
7     able to answer some of these questions.

8                     Mr. Snider, did you read Public Staff Witness  
9     Jeff Thomas' June 21, 2019, testimony in this  
10    proceeding?

11          A.     I did review it.

12          Q.     On page 23 of his testimony, he discussed the  
13    solar integration services charge that Duke is seeking  
14    to apply and possible overlap with Dominion's  
15    redispatch charge; do you recall that discussion?

16          A.     Yes, I do.

17          Q.     The utilities didn't respond to that  
18    statement in rebuttal.

19                    Do you believe -- does Duke believe that  
20    there may be some overlap between the cost that each of  
21    those studies identified?

22          A.     We didn't respond because I did not do the  
23    Dominion study, but in my review of it, as I understand  
24    it, and subject to the Dominion witnesses coming up



129

1 after me, their model is at an hourly level, and it  
2 looks at the some of the impacts of commit and dispatch  
3 at the hourly granularity.

4 The Duke approach that Astrape took focused  
5 solely on the sub-hourly operating reserves that happen  
6 at intra-hour. So there are differences that Duke has  
7 not addressed that happen at the hourly level. Again,  
8 when we file an avoided cost rate, we use a generic  
9 base load resource, so 8760 hours a year, that resource  
10 is available. We look at the difference between the  
11 availability -- or the cost with and without that  
12 resource, and then we apportion it into these time  
13 buckets.

14 There are some hourly differences that occur  
15 with an intermittent resource that we've responded to  
16 in data requests subsequent to our filing that show a  
17 difference between had you done that same analysis  
18 looking at an hourly level, you get a little bit  
19 different result then you would if you assumed a base  
20 load resource. We did not address that in our solar  
21 integration charge. We focused on the sub-hourly.

22 It's my understanding that Dominion's look  
23 more at the hourly. So I'm not saying there isn't an  
24 overlap, because, again, I haven't reviewed their study

130

1 in any detail, but I would say they focused on two  
2 different aspects at different time steps, which, you  
3 know, Dominion, to my knowledge, did not look at the  
4 sub-hourly, you know, five-minute deviations that  
5 require, and ours did. And conversely, they looked at  
6 some hourly impacts that we did not.

7 So I -- again, there is certainly a potential  
8 that, to take the collective impact, we could have both  
9 come up with something lower -- or higher integration  
10 charge that would have resulted in a lower net revenue  
11 for the QF community. I think this is another example  
12 of where we're being a bit conservative in our approach  
13 and really stepping into this in a thoughtful manner.

14 Q. Thank you. And this may be more a question  
15 for Mr. Wheeler. Just to clarify -- and this has come  
16 up in discussion as well with you, Mr. Snider.

17 But on page 4 of your testimony, Mr. Wheeler,  
18 you describe that there is an existing subsidization  
19 resulting from the exclusion of existing solar QFs from  
20 the application of that solar integration services  
21 charge; do you recall that discussion?

22 MS. FENTRESS: Can counsel identify what  
23 testimony?

24 MR. DODGE: I'm sorry. And I did not

131

1 note that in my testimony -- or my notes here.

2 THE WITNESS: (Steven B. Wheeler.) I  
3 believe that's my direct.

4 MS. FENTRESS: Direct?

5 THE WITNESS yes.

6 MR. DODGE: I believe it is direct.

7 A. (Steven B. Wheeler.) Yes, I made that  
8 statement.

9 Q. Okay. And by this statement, just to  
10 clarify, you mean that there is a continuing subsidy --  
11 ongoing subsidy that results from those costs not  
12 having been included in the calculation of avoided  
13 costs in prior avoided cost proceedings, correct?

14 A. Not really in the avoided cost, themselves,  
15 but because the solar intermittent generation is  
16 located on the system, it has been causing us to incur  
17 a cost. We're not going back do those customers who  
18 had previously contracted with us and trying to recover  
19 those costs directly from them, even though they are  
20 the cost causers of those costs.

21 And so because of their approach of phasing  
22 this in over time, they will eventually be charged if  
23 they decide to renew or accept new contracts when this  
24 current ones expire, but until then, those costs will

132

1 be absorbed by the general body of customers through  
2 cost of service of retail rates.

3 Q. Okay. Thank you. And one last question  
4 regarding the stipulation that I wanted to clarify a  
5 point.

6 Yesterday Mr. Smith asked Mr. Snider about  
7 the amount of solar that was included in the change  
8 case for -- calculation of the solar integration charge  
9 for the purposes of this proceeding and how Tranche 1  
10 projects that were selected that included energy  
11 storage would be modeled.

12 Do you recall that discussion?

13 A. (Glen A. Snider.) I do.

14 Q. Okay. And to be -- just to be clear, for the  
15 purposes of establishing the Sub 158, the solar  
16 integration service charge for this proceeding, that's  
17 based on existing plus transition solar -- the existing  
18 plus transition solar scenario and does not yet include  
19 the CPRE Tranche 1 generation; is that correct?

20 A. Yeah. Just to be clear -- and I may have  
21 misinterpreted or misspoke on that point -- the  
22 integration charge was calculated, in this proceeding,  
23 just on existing plus transition. So we did not  
24 include CPRE future tranches as -- you know, again,

133

1 that are yet to be contracted for in the calculation of  
2 the integration charge.

3 Recognizing that our approach is to update it  
4 every couple of years, to the extent those come into  
5 service, they would affect the next charge. But the  
6 solar integration service charge was strictly  
7 calculated based on existing and transition which  
8 resulted in a lower charge than you would have used had  
9 you used a higher amount of solar.

10 Q. Okay. Thank you for that. And one last  
11 question for Mr. Snider.

12 Yesterday you mentioned there was finite need  
13 for energy storage resources in the utility service  
14 area and that the utility's preference was to procure  
15 those resources through a competitive procurement  
16 process; do you recall that discussion?

17 A. I do.

18 Q. And as noted by Mr. Quinn today, the  
19 utility's IRPs do include placeholders for significant  
20 energy storage resources over the planning period; is  
21 that correct?

22 A. Yes.

23 Q. Has Duke done any analysis or estimates of  
24 what that finite level of energy storage resources

134

1 would be for its system?

2 A. No. We have not done analysis to say -- when  
3 I say finite need, I was speaking more generally that  
4 any resource has a limit to how much value it creates.  
5 So you have so much peaking resources, so much  
6 intermediate, so much base load. And it's just a  
7 general principal within planning that, if you try and  
8 put too much of any of those peaking, intermediate,  
9 base load resources on, that next increment does not  
10 have value or it's detrimental. So it's more of a  
11 general statement.

12 With that said, certainly it's a topic of  
13 additional study that will, I'm sure, take place in not  
14 only these proceedings and IRP and CPRE, but we will  
15 continue to study as battery storage technology  
16 evolves, the role that storage plays and the appetite  
17 that each of the systems has for four-hour battery  
18 storage, or any hour battery storage, for that matter.

19 Q. Thank you. And I believe the remainder of my  
20 questions are for Mr. Johnson.

21 Mr. Johnson, just one point of clarification.  
22 Do you have your summary with you?

23 A. (David B. Johnson.) I do, yes.

24 Q. And on the summary, on page 3 of your

135

1 summary, line 4, you describe the energy storage  
2 protocol and indicated that the Public Staff agreed  
3 with the energy storage protocol for purposes of the  
4 standard offer facilities.

5 And I just want to clarify, subject to check,  
6 would you agree that Public Staff Witness Thomas'  
7 testimony states that the Public Staff does not have --  
8 and this is on page 30 to 31 of his testimony, that,  
9 "We do not have the expertise to determine the  
10 appropriateness of the energy storage protocol, but we  
11 do recognize that some operation guidelines for  
12 facilities incorporating energy storage devices is  
13 appropriate"?

14 A. Yes, I agree, subject to check.

15 Q. Okay. Thank you. Also wanted to discuss  
16 briefly with you the term "estimated annual energy  
17 production" that's included in your testimony and is  
18 also incorporated in Duke's definition -- proposed  
19 definition of material alteration.

20 Now, as you discussed with Ms. Bowen  
21 yesterday, the term is an existing term in Duke's PPA  
22 in terms and conditions; is that correct?

23 A. Yes.

24 Q. All right. And how does Duke monitor and

136

1 track whether the facility is operating in compliance  
2 with that estimate?

3 A. I would say we don't continuously monitor  
4 that, but if we do see some irregularities, you know,  
5 it will come to our attention. But we don't have a  
6 process in place to, you know, continuously monitor  
7 that.

8 Q. And I believe, Mr. Wheeler, in those same  
9 discussions yesterday, you indicated that it's Duke's  
10 perspective that the energy output from year one, which  
11 should be reflective of that estimated energy -- annual  
12 energy production, should generally be the same at year  
13 15; did you not?

14 A. (Steven B. Wheeler.) Yes, I did make that  
15 statement yesterday.

16 Q. Okay. And when Duke's seeking to enter into  
17 or execute a PPA with a QF, does the utility make any  
18 kind of preliminary reasonableness assessment as to  
19 that estimated annual energy production value that's  
20 indicated in the PPA?

21 A. (David B. Johnson.) I would say yes.

22 Q. And is that information compared with --  
23 evaluated for consistency with the interconnection  
24 request that that facility may have submitted?



137

1           A.     I think it is, subject to check, yes.

2           Q.     And as a result of the added emphasis on this  
3 provision, the new material alteration definition  
4 proposed by the utility, does -- would there be changes  
5 going forward on how that estimate is tracked or  
6 evaluated by the utility?

7           A.     We -- I would say we are evaluating what ways  
8 to track that. It is just -- trying to get our hands  
9 around all the data is the critical piece.

10          Q.     Now, in your rebuttal testimony, page 11, I  
11 had a quick question about a statement you made there  
12 as well. This is Johnson rebuttal page 11. On line 7  
13 you indicate that, "The Companies anticipate developing  
14 specific requirements in the coming months and will  
15 make them available to QF developers seeking the  
16 negotiated PPA that proposes to integrate battery  
17 storage."

18                   Can you comment on how the development of  
19 those specific requirements will be -- will they be  
20 incorporated or included in the stakeholder meetings as  
21 part of the CPRE, or included also in discussions  
22 taking place in the North Carolina interconnection  
23 process related to the incorporation of existing --  
24 energy storage to existing facilities?

138

1           A.     I don't think this time we have decided how  
2 we're going to go about that. We just recognize  
3 that -- through this proceeding, that that is something  
4 that we need to look at and evaluate.

5           Q.     All right. And then one last question  
6 regarding the -- on page 12 of your rebuttal, this is  
7 dealing with the Company's process for allowing an  
8 existing QF to seek to enter into a new PPA. And you  
9 state that, "To ensure that the QF will be paid  
10 reasonably accurate avoided cost rates at the time of  
11 the delivery, the Companies do not accept requests to  
12 enter into a new PPA earlier than 12 months or one year  
13 prior to the end of the QF's existing PPA term."

14                     How does this compare with the time frame  
15 that a new QF seeking to enter into a -- establish a  
16 LEO and execute a PPA would be subject to?

17           A.     Well, traditionally a new QF, especially if  
18 you're talking about a -- I mean, there's a difference  
19 between standard and noneligible standard QFs, because  
20 of mainly the interconnection process. For a standard,  
21 let's say the interconnection process, even for that  
22 is -- you know, there is some amount of time that that  
23 QF will have to wait until they're interconnected and  
24 the facilities are constructed versus an existing QF.

139

1 For a negotiated, as I mentioned --  
2 negotiated QF or PPA -- the new -- the new  
3 interconnection process is quite lengthy, or it has  
4 been. And so, I mean, it can be two to three years or  
5 even more. For an existing, you know, you don't have  
6 that lengthy process. They've already developed their  
7 facilities, the interconnection has, you know, been  
8 approved, and it's in operation.

9 Q. So a -- potentially an existing facility that  
10 is operating and is already interconnected doesn't have  
11 to go through those, may have to wait until much closer  
12 to its operation or renewal date before it could commit  
13 compared to a new facility that's still subject to the  
14 uncertainties of the interconnection process?

15 A. Correct.

16 Q. Okay. All right. Thank you. No further  
17 questions.

18 CHAIR MITCHELL: Redirect?

19 MR. BREITSCHWERDT: No redirect for  
20 Mr. Snider.

21 MS. FENTRESS: No redirect for  
22 Mr. Wheeler and Mr. Johnson.

23 CHAIR MITCHELL: Questions from the  
24 Commission?

140

1 EXAMINATION BY COMMISSIONER CLODFELTER:

2 Q. Gentlemen, I'm just going to ask my questions  
3 to the air, and whichever one of you wants to field it  
4 can field it.

5 In your initial submission, you did submit  
6 proposed initially the rate design, and you had assumed  
7 certain inputs into that rate design that you modeled  
8 and spit out as one of the exhibits a set of proposed  
9 rates for the standard offer. We're at a point now  
10 where you've got a stipulation on a different rate  
11 design with the Public Staff, and I understand -- fully  
12 understand from your testimony, of course, that you  
13 still don't know what decisions the Commission might  
14 make about some of the model inputs, principally the  
15 fuel costs. So I'm going to ask you to make a couple  
16 of assumptions and see if you can do something for me.

17 If you take the proposed rate design that's  
18 in the stipulation and then you use the same model  
19 inputs that you used in your initial submission, how  
20 difficult could it be, how quickly could you rerun  
21 proposed rates for the standard offer now as a  
22 late-filed exhibit?

23 A. (Glen A. Snider.) Commissioner Clodfelter, I  
24 apologize, I may not have fully caught that.

141

1 Q. Make the same assumptions that you used in  
2 your initial filing as to fuel costs and any other  
3 assumptions. Make the same assumptions, use the rate  
4 design that you stipulated to with the Public Staff,  
5 and rerun.

6 A. That is what we filed in the stipulation, so.

7 Q. I missed it. Is it there? Our staff may  
8 have missed it too.

9 A. In the stipulated design, we filed a new set.  
10 I'm looking for a page reference here.

11 (Pause.)

12 MR. BREITSCHWERDT: Commissioner  
13 Clodfelter, can I --

14 COMMISSIONER CLODFELTER: If you've got  
15 it, that's fine.

16 MR. BREITSCHWERDT: I don't believe it's  
17 in the stipulation. I could present the  
18 stipulation to the witness and allow him to refresh  
19 his recollection.

20 THE WITNESS: We could do it quickly.

21 COMMISSIONER CLODFELTER: I don't want  
22 to waste time on it. If it's there, you can just  
23 tell me during the break where it is, and I can  
24 find it and feel like an idiot for not seeing it.

142

1 But if you haven't run it, rerun it. That's what  
2 I'm asking for.

3 THE WITNESS: We can have that -- if  
4 it's not in there, we will have it as a late-filed  
5 exhibit very quickly.

6 Q. There you go. Thank you. And let's pick up  
7 on another question that was asked of you yesterday.  
8 And with apologies to your counsel, I'm going to  
9 preface the question with an opening statement. I have  
10 to do it to be sure counsel understands why I'm doing  
11 it.

12 You know, one thing that's really changed  
13 since 2016 proceeding is that the General Assembly of  
14 North Carolina has now taken this concept of avoided  
15 cost and imported it into some completely non-PURPA  
16 programs. And so I have to deal with the fact, in this  
17 proceeding, that the rate we set in this proceeding is  
18 going to have operative effect in some non-PURPA  
19 programs of the State of North Carolina. I have to  
20 deal with that. I cannot be in a silo and not deal  
21 with it. Apologies to your counsel. I have to.

22 So how difficult would it be for you to run  
23 the 20-year avoided cost rates using the rate design in  
24 the stipulation and the same model inputs? The rates

143

1 that would be used for the CPRE Tranche 2.

2 A. So we could do that fairly expeditiously. I  
3 would say our standard practice, though, has been to  
4 update -- even the -- you know, the gas prices have  
5 changed since, you know, back last summer.

6 Q. I'll give you that. I'll give you that.

7 A. Okay.

8 Q. I'll give you that.

9 A. Okay.

10 Q. Update the current gas prices -- update the  
11 current gas prices, but use --

12 A. With this design, 20 years forward, we could  
13 do that.

14 Q. That's late-filed Exhibit Number 2.

15 A. Okay.

16 Q. Got it. Thank you. There has been a lot of  
17 testimony about contract terms. And whenever I hear  
18 people asking questions about contract terms and  
19 talking about contract terms, I want to pull the  
20 contract. And so I'm going to ask you some questions  
21 about the contract terms. Who is best to answer those?  
22 Okay. What I've done is just -- and because of time, I  
23 pulled the Sub 148 documents, the PPA and the terms and  
24 conditions.

144

1 Now, I don't know to what extent those  
2 changed in 148, I wasn't here, and I just haven't had  
3 time in preparation for the questions to go back and  
4 pull the prior one, so I may have some questions, you  
5 will say, well, that really doesn't apply because that  
6 was a new term in 148, so we'll deal with that when we  
7 get to it. I want to ask you about paragraph 7 of the  
8 terms and conditions in Sub 148.

9 A. (David B. Johnson.) Excuse me, you said  
10 Sub 148?

11 Q. Yeah. Yes, sir. I'm sorry for the yeah.  
12 Yes, sir.

13 A. And this is the contract renewal?

14 Q. Yes.

15 A. Okay.

16 Q. Yes. There's been a lot of back and forth  
17 about what happens and who has what options and what  
18 choices at the point of expiration of the contract  
19 term. As I read this, the Company is the one that has  
20 the option to renew. It's the Company's elections to  
21 whether or not to renew the agreement for an additional  
22 term. It's not the QF's option. I mean, the QF can  
23 surely use -- you know, use its option under PURPA and  
24 establish a new LE0, but under the contract, the



145

1 company can elect to renew the existing contract. Why  
2 am I reading that wrong?

3 A. (Steven B. Wheeler.) I think the Company has  
4 an obligation to purchase from the QF.

5 Q. That's the PURPA obligation, but you have a  
6 contractual right to renew this contract if you want  
7 to. Am I wrong? Isn't that what it says?

8 A. Well, it says to be subject to renewal for  
9 subsequent terms at the option of the Company on  
10 substantially the same terms and provisions at a rate  
11 either mutually agreed upon by the parties negotiating  
12 good faith and take into consideration the Company's  
13 then avoided cost rates.

14 Q. Right. Right.

15 A. And other relevant factors are set for  
16 arbitration.

17 Q. So if you want to renew these -- all of your  
18 existing QF contracts at the expiration of their term  
19 at your then point of renewal --

20 A. Right.

21 Q. -- avoided cost rates, you have the option to  
22 do that.

23 Is that the way your contracts have read  
24 since prior to 148 -- Sub 148?

146

1           A.     I don't believe this provision was changed  
2 with Sub 148, so I think that's a longstanding  
3 provision in the terms and conditions.

4           Q.     Have you exercised that option?

5           A.     We renew customers who want to sell to us.  
6 We execute a new PPA with them at the current  
7 prevailing rates that applied at that point in time.  
8 We don't really view it as their option, we view it as  
9 their obligation because they are a QF. They qualify  
10 to sell to us, and we're required to purchase from  
11 them. So we kind of overlook the provision that says  
12 "at their option," because we think it's at our  
13 obligation because of PURPA requirements.

14          Q.     But when you do the renewals, as you have  
15 done them, you do it at the then current avoided cost  
16 rate?

17          A.     Right. Or if they don't renew, then we  
18 automatically extend the term of the contract under the  
19 as available rate, which is a variable energy rate.

20          Q.     You do that, your option?

21          A.     Because they haven't told us anything  
22 different. That's the default rate if they don't take  
23 any action at all at the expiration of the contract  
24 term.

147

1 Q. Thank you. I just needed to get a baseline.  
2 I mean, there's been so much back and forth about who  
3 has what rights at what points, I want to go to the  
4 actual agreement between the parties and see what it  
5 says about their rights. Stay with me on that  
6 agreement, because I want to ask some other questions  
7 about it.

8 So the only two things I see that are sort of  
9 stipulated and fixed in the PPA and the terms and  
10 conditions -- again Sub 148 is the only one I've  
11 pulled, it's the only one I'm looking at -- are  
12 nameplate capacity and something that's called the  
13 contract energy, which is the estimated total annual  
14 kilowatt hours registered or computed by or from the  
15 Company's metering facilities for each time period  
16 during a continuous 12-month period.

17 Those are the only two things I see that are  
18 spelled out. The nameplate capacity -- well, excuse  
19 me, there's a third one, but it's really not material  
20 for my question, the location. The nameplate capacity,  
21 the location, I don't care about location, and the  
22 contract energy, the estimated 12-month production.

23 A. Yes. Those are both spelled out and  
24 scheduled PPA --

148

1 Q. Right.

2 A. -- as well as -- and the purchase power  
3 agreement leaves a blank for both of those --

4 Q. Exactly. And then it's also defined in the  
5 terms and conditions consistent with PPA?

6 A. Yes.

7 Q. Right. So if I don't change those -- if I  
8 make a change in my equipment of my existing facility  
9 that doesn't change either the nameplate capacity or  
10 doesn't change the estimated total annual kilowatt  
11 hours registered or computed over a 12-month interval,  
12 why is that a material modification? Point me to the  
13 provision in the existing contract that says a change  
14 of the type I just described is a material  
15 modification. I haven't changed either of those  
16 things.

17 A. I think the Company's interpretation goes  
18 back to the fundamentals that we use to set the rates,  
19 and a fundamentals we use to set a levelized rate is an  
20 expectation over the term of the contract, generation  
21 profile being unchanged. Recognizing that  
22 run-of-the-river hydro, for instance, can't produce the  
23 same amount of electricity every year because of water  
24 flow, and solar has some degradation over time on their

149

1 output, but the expectation from a ratemaking  
2 perspective is the generation profile be unchanged over  
3 the term.

4 Q. Mr. Wheeler, you provided for those kind of  
5 variations in paragraph 4C where you take into account  
6 changes of water flow, steam supply, or fuel supply,  
7 but it doesn't say anything about solar facility  
8 variations in the operation of a solar facility in  
9 terms of a production profile. It just stipulates that  
10 there has to be the total annual kilowatt hours  
11 computed for a continuous 12-month period. That's the  
12 contract energy capacity.

13 So where in the contract is a change that  
14 doesn't affect that total a material modification?

15 A. Well, in 4B it does talk about the contracted  
16 capacity or contract estimate annual energy production  
17 without adequate notice to us and prior consent. So it  
18 talks about if you want to change it. I think our view  
19 is, when you fill out the purchase power agreement, you  
20 identify what the facility is. If you're making a  
21 change to those facilities, that constitutes a material  
22 change, regardless of how it affects your output.  
23 That qualifies as material change, especially if it's  
24 going to change your generation profile.

150

1           That is material change. That is a harm to  
2   ratepayers and customers who have an expectation of  
3   levelized continuous load profile over the term of the  
4   contract.

5           Q.     What I'm struggling with, as I read the  
6   contract, the production profile --

7           A.     Is not specified.

8           Q.     -- is not called out. What's called out is  
9   the total estimated annual kilowatt hours delivered to  
10  the grid. But the actual production profile is not  
11  called out anywhere in the contract, and that's what  
12  I'm really trying to get a handle on.

13           Now, in fact, it even -- and I understood  
14  Mr. Snider -- you I'll wait. May want to chime in on  
15  this one. Mr. Snider was explaining earlier this  
16  morning that, well, if you've got a battery added to an  
17  existing facility under contract, that you've got to  
18  charge the battery, and that's going to reduce the  
19  total kilowatt hours delivered to the grid. Right, so  
20  that does change maybe the annual. But the contract  
21  provides specifically for that. It provides that, if  
22  the average energy generated in the 12-month period  
23  falls significantly below the contract energy, the  
24  Company can petition for a reduction in charge and

151

1       reducti on credi t.

2                       So haven't you already covered that case  
3       where the battery is added and it reduces the total  
4       energy production? Haven't you already covered that  
5       case in the terms of the contract?

6           A.       I think there are provisions in here if the  
7       profile does change, go in and try to adjust or charge  
8       the customer for the harm done to the retail customers.  
9       So I think it is covered in here already.

10          Q.       The harm is -- that's covered is loss or  
11       damage to the Company's facilities, not to the  
12       customers. I'm working very hard to sort of figure out  
13       why this contract, as I read it in Sub 148, makes the  
14       addition of battery storage a material modification.

15          A.       Well, I would say that the terms and  
16       conditions are living documents. As conditions change  
17       over time, I think most provisions in here were created  
18       in an era where you didn't have solar generation at  
19       all; all you had was cogeneration, primarily. And I  
20       think, over time, we recognize some of the deficiencies  
21       in the terms of conditions. And that's the reason  
22       we're seeking changes this time, to clarify things like  
23       material alterations, to make certain it is more clear  
24       to sellers in the future exactly what is met and how

152

1 it's interpreted by the Company.

2 Q. It's great thing to make it more clear to the  
3 sellers in the future to go forward. I'm really  
4 grappling with a case that I think Mr. Dodge was  
5 addressing in some of his recent questions of where  
6 you're trying to get the system value to the customers  
7 of an existing facility that's not going to be subject  
8 to the system impact charge but may want to smooth out  
9 by adding battery storage or may want to take advantage  
10 of some other operating improvements by adding battery  
11 storage to that existing facility. I'm trying to  
12 figure out why we can't do that under the existing  
13 contract terms.

14 All right. I'm going to leave that one  
15 alone, unless you've got something else you want to  
16 tell me about it. But I think you know what my concern  
17 is. I think the Company knows what I'm interested in  
18 on that point.

19 A. Let me see if Mr. Johnson would like to add  
20 anything.

21 Q. Okay.

22 A. (David B. Johnson.) As I said earlier in  
23 answering a question, I think that fundamental premise  
24 of the agreement between QF and Duke in this case is



153

1 that the PPA is supposed to represent the facility that  
2 the QF is building, and simply put, if during that PPA  
3 term a QF modifies that facility, we think that's a  
4 change that wasn't -- you know, that wasn't intended  
5 for that PPA.

6 Q. I understand. Again, as I say, where I read  
7 the contract, there are certain modifications that are  
8 very clearly identified as things that are material  
9 changes, but then there are others that are not. And  
10 I'm trying to understand how everything becomes a  
11 material modification when only certain things are  
12 called out in the contract. I'll leave it alone. I'll  
13 leave it alone. I think that's the issue.

14 Coming back to Tranche 2, again with the  
15 apologies to your counsel. So I like the idea that  
16 you're going to be offering an exit ramp from the  
17 system integration charge under certain circumstances  
18 and certain conditions. So we're coming up within a  
19 matter of weeks, literally within a matter of weeks of  
20 opening the document review process in Tranche 2. And  
21 so if I'm going to be a market participant who is going  
22 to consider bidding in Tranche 2, I really want to  
23 know, probably by the beginning of the contract review  
24 period, what is your fully dispatchable PPA option

154

1 going to look like.

2 I understand, Mr. Snider, from your  
3 testimony, that's one option for avoiding the charge is  
4 offering up a fully dispatchable PPA.

5 A. (Glen A. Snider.) As one tool that --

6 Q. As one tool. When am I going to be able to  
7 see an example of what Duke proposes for a fully  
8 dispatchable PPA contract? We're literally weeks away  
9 from the document review process. When am I going to  
10 see what exactly the final storage protocols are going  
11 to look like so I can know whether or not to include  
12 those as a component in my project that I'm going to  
13 bid in?

14 We're literally on the doorstep of those  
15 things. I appreciate the attention. I appreciate the  
16 openness to negotiation and the willingness to do that.  
17 I buy it. I take you at your word. I'm worried about  
18 the timetable. And I really need some more comfort  
19 about where we are on the timetable of making those  
20 things explicit and getting them out there in the  
21 public, having people touch them and feel them and know  
22 where they're going with them, because they're going to  
23 start bidding here in just a couple of months or so.

24 A. Agreed. They would need to be part of those

155

1 protocol, and I think that's what we're testifying to,  
2 is when those protocol are developed, you will have to  
3 have an allowance. I agree with you that, within those  
4 protocol, you would have to have some allowance for  
5 smoothing that addressed -- and it would have to be  
6 done in time before people started bidding.

7 Q. I get it.

8 A. So we're in agreement.

9 Q. So I heard earlier this morning someone say  
10 it may be a matter of some months before all of this  
11 gets ironed out. That's when the red flags went up for  
12 me. We don't have a matter of months for these things.  
13 They need to be done in a compliance filing in this  
14 docket relatively contemporaneous with the document  
15 review process in Tranche 2.

16 Can the Company do that, is really -- what  
17 I'm really driving at is I'm looking to you guys to say  
18 can you do it? Can you get it done?

19 A. (David B. Johnson.) Commissioner Clodfelter,  
20 so we are -- we have been updating and evaluating the  
21 Tranche 2 storage protocols. We've gotten some input  
22 from developers. This issue with regards to the  
23 integrated system -- or integrated system or the  
24 charge, integration charge, is something that we are

156

1 contemplating in the protocols. You know, the ability  
2 for the QF to either smooth their discharge, or, you  
3 know, the other way that they would do it is just to  
4 shift the energy from off peak to on peak to take  
5 advantage of the higher prices. So we're looking at  
6 that. Beyond that, we haven't developed any other PPA  
7 language for that, so that's something I think we'll  
8 have to evaluate.

9 Q. Well, First Solar had brought us in -- at the  
10 technical conference or CPRE Tranche 2 -- had brought  
11 us a proposed -- a fully dispatchable PPA.

12 Has the Company done anything to advance the  
13 review of that or analysis of that option?

14 A. (Glen A. Snider.) Yeah. And again, if it  
15 was a battery standalone, that could make some sense  
16 for a battery standalone, because it's a dispatchable  
17 asset and, you know, there's industry standards out  
18 there for dispatchable assets to sort of get a capacity  
19 payment and then a small variable energy charge or an  
20 index tolling agreement PPA.

21 What's difficult when you pair, for example,  
22 an 80-megawatt solar facility with a 10-megawatt  
23 battery, you still, by and large, do not have a  
24 dispatchable. There's still a tremendous amount of

157

1 volumetric risk and how much volume you're going to  
2 get. And so you don't have control of -- it's truly  
3 not dispatchable when you pair a large solar facility  
4 with a small battery.

5 So, you know, we don't see a way to make a  
6 dispatchable dollar per kW offering on a paired work  
7 the way First Solar has been ascribing. We think it  
8 could make more sense than just a pure battery  
9 situation where you actually would have something that  
10 gives you maybe a day ahead -- you know, if you give me  
11 one turn a day, dispatch it, you know, 365 days, each  
12 day I'm going to tell you which four hours. We could  
13 give you a fixed price, you know, for that much more  
14 readily.

15 So we've been looking at it, we just -- we  
16 don't -- we have not been able to come up with a way  
17 where that makes sense for consumers nor the Company to  
18 pay a fixed-price payment for a variable entity output  
19 that's not fully dispatchable.

20 Q. So that's probably not going to be an option  
21 in Tranche 2, an option that can be called upon to  
22 avoid the system integration charge?

23 A. Right.

24 Q. Okay.

1 CHAIR MITCHELL: All right. We're going  
2 to break now for lunch. We'll be back on the  
3 record at 2:00.


4 (The hearing was adjourned at 1:01 p.m.  
5 and set to reconvene at 2:00 p.m. on  
6 Tuesday, July 16, 2019.)  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

## CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA )  
COUNTY OF WAKE )

I, Joann Bunze, RPR, the officer before whom the foregoing hearing was taken, do hereby certify that the witnesses whose testimony appears in the foregoing hearing were duly sworn; that the testimony of said witnesses was taken by me to the best of my ability and thereafter reduced to typewriting under my direction; that I am neither counsel for, related to, nor employed by any of the parties to this; and further, that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 24th day of July, 2019.



JOANN BUNZE, RPR

Notary Public #200707300112

