

PLACE: Dobbs Building, Raleigh, North Carolina  
DATE: Tuesday, September 26, 2023  
TIME: 10:00 a.m. - 1:00 p.m.  
DOCKET: M-100, Sub 163  
BEFORE: Commissioner Kimberly W. Duffley, Presiding  
Commissioner Daniel G. Clodfelter  
Commissioner Jeffrey A. Hughes  
Commissioner Floyd B. McKissick, Jr.  
Commissioner Karen M. Kemerait

IN THE MATTER OF:  
Technical Conference  
Investigation regarding the Ability of  
North Carolina's Electricity, Natural Gas, and  
Water/Wastewater Systems to Operate Reliably During  
Extreme Cold Weather



A P P E A R A N C E S:

FOR DUKE ENERGY PROGRESS, LLC, AND

DUKE ENERGY CAROLINAS, LLC:

Jack E. Jirak, Esq., Deputy General Counsel

Duke Energy Corporation

410 South Wilmington Street, NCRH 20

Raleigh, North Carolina 27602

FOR PUBLIC STAFF:

Robert B. Josey, Esq.

Public Staff - North Carolina Utilities Commission

4326 Mail Service Center

Raleigh, North Carolina 27699-4300

## P R E S E N T E R S :

FOR DUKE ENERGY PROGRESS, LLC, AND  
DUKE ENERGY CAROLINAS, LLC:

Kendal Bowman, North Carolina State President

Nelson Peeler, SVP, Transmission and Fuels Strategy  
and Policy

Sam Holeman, VP, Transmission System Planning and  
Operations

Preston Gillespie, EVP, Chief Generation Officer and  
Enterprise Operational Excellence

Eric Grant, Carolinas Regional SVP, Customer Delivery

Taryn Sims, VP Marketing, Insight and Customer  
Engagement

## FOR PUBLIC STAFF:

Dustin R. Metz - Engineer, Public Staff, Energy  
Division

## P R O C E E D I N G S

COMMISSIONER DUFFLEY: Good morning.

Let's come to order and go on the record, please.

I am Commissioner Kimberly W. Duffley of the North Carolina Utilities Commission, and I'll be the Presiding Commissioner today. With me this morning are Commissioners Clodfelter, McKissick, Hughes, and Kemerait.

Today we are conducting a technical conference in Docket Number M-100, Sub 163, In The Matter of Investigation Regarding the Ability of North Carolina's Electricity, Natural Gas, Water, and Wastewater Systems to Operate Reliably During Extreme Cold Weather.

Pursuant to the State Ethics Act, I remind all members of the Commission of their duty to avoid conflicts of interest and inquire if any Commissioner has any known conflict of interest with regards to the matter coming before the Commission this morning.

(No response.)

Let the record reflect no conflicts were identified, so we will proceed.

On January 3rd, 2023, Duke Energy

1 Progress, LLC, hereinafter DEP, and Duke Energy  
2 Carolinas, LLC, hereinafter DEC, appeared before  
3 the Commission to present information on the load  
4 reduction event that occurred on the DEP and DEC  
5 systems on December 24th, 2022, due to Winter  
6 Storm Elliott.

7 Subsequent to that presentation, the  
8 Public Staff has conducted an investigation into  
9 the circumstances underlying the event and has  
10 engaged DEP and DEC in several rounds of  
11 discovery.

12 On August 7th, 2023, the Commission  
13 issued an Order scheduling a technical conference  
14 for today to receive updated data and information  
15 from DEC and DEP as to the December 4th, 2022  
16 [sic], load reduction event and to receive the  
17 results of the Public Staff's investigation of  
18 the event. The Order further required that the  
19 Public Staff, DEP, and DEC, appear at this  
20 technical conference to respond to questions from  
21 the Commission.

22 This -- the proceeding this morning is  
23 being transcribed. The transcript will be filed  
24 in the Docket as soon as it is available.

1                   Before we begin, I'd like for the  
2 parties to identify themselves for purposes of  
3 the record, and we will begin with DEP and DEC.

4                   MR. JIRAK: Thank you very much,  
5 Presiding Commissioner Duffley. Jack Jirak on  
6 behalf of Duke Energy Progress, Duke Energy  
7 Carolinas. I'm joined by a panel of -- of  
8 subject matter experts from Duke who will be  
9 presenting to the Commission. Ms. Kendal Bowman  
10 will be introducing them at the beginning of her  
11 remarks.

12                  COMMISSIONER DUFFLEY: Thank you.

13                  MR. JIRAK: Would you like just to go  
14 ahead and have each panelist introduce themselves  
15 at this time?

16                  COMMISSIONER KEMERAIT: Yes. If  
17 everyone will introduce themselves and the Public  
18 Staff -- we'll let the Public Staff introduce  
19 themselves and then begin with Ms. Bowman.

20                  MS. BOWMAN: Good morning. I'm Kendal  
21 Bowman, the North Carolina State President for  
22 Duke Energy.

23                  MR. PEELER: Good morning. I'm Nelson  
24 Peeler, Senior Vice President of Transmission and

Fuel Strategy and Planning.

MR. HOLEMAN: Good morning. Sam Holeman, Transmission System Planning and Operations.

MR. GILLESPIE: Good morning. I'm Preston Gillespie. I'm Executive Vice President and Chief Generation Officer.

MR. GRANT: Good morning. I'm Eric Grant, Senior Vice President of Customer Delivery Carolinas.

MS. SIMS: Good morning. I'm Taryn Sims, Vice President of Marketing, Insights, and Customer Engagement.

COMMISSIONER DUFFLEY: Good morning to all.

MR. JOSEY: Good morning, Commissioners. Robert Josey, on behalf of the Public Staff representing the Using and Consuming Public of North Carolina.

MR. METZ: Dustin Metz, Public Staff, Engineer.

COMMISSIONER DUFFLEY: Good morning to you gentlemen. Ms. Bowman?

MS. BOWMAN: All right. Good morning,

Commissioners, and thank you for your time today. We really appreciate the opportunity to provide you an update on the actions that we've taken in response to the December 24th load shed events that occurred due to Winter Storm Elliott. In addition, I would like to thank the Public Staff for their engagement this year as they independently investigated the December 24th event.

We look forward to hearing the Public Staff's remarks and appreciate the thoroughness of their investigation. As we stated during January 3rd report to this Commission, Duke Energy did not take the decision to implement the load reduction plan lightly. We deeply regret the impacts it had to our customers. We recognize the critical importance of providing reliable service to our customers.

And as you hear today, we left no stone unturned as we seek to reduce the risk of another load shed event. Across the entire Duke Energy enterprise, we have been thoroughly reviewing the causes of the event and establishing new procedures in ways to address the issues that



1           were identified.

2                       Today I am joined by five of our  
3           company leaders that will discuss the specific  
4           lessons learned and corrective actions taken by  
5           their organizations in response to this load shed  
6           event.

7                       So Nelson will describe the updates to  
8           our weather and load forecasting tools and  
9           processes. Sam will discuss the ways in which we  
10          have augmented our internal mobilization  
11          notification and winter preparedness procedures.  
12          Preston will describe enhancements to our  
13          generation fleet. Eric will describe the testing  
14          and validation of the rotational load shed tool.  
15          And Taryn will address improvements to our  
16          customer communications during emergency events.

17                      Again, thank you for the opportunity to  
18          be before you today. We look forward to a  
19          productive and engaging discussion. And with  
20          that, I will turn it over to Nelson.

21                      MR. PEELER: Thank you, Kendal. Good  
22          morning again. As Kendal said, I'm going to talk  
23          about the review and actions that we've taken  
24          since December. Specifically, in the areas of

1 load forecasting and day-ahead planning for --  
2 planning reserves for short-term planning.

3 Since December, we have reviewed  
4 processes, models, tools. All the things  
5 associated with forecasting to look for  
6 opportunities for improvement. Specifically,  
7 there are 12 actions identified in these  
8 categories. And those actions are really focused  
9 around the process and organizational awareness,  
10 forecast model enhancements, metrics, and  
11 assessments, as well as understanding of customer  
12 load profiles.

13 Ten of these identified twelve actions  
14 have been completed. The two that still are  
15 outstanding -- one is really an ongoing action.  
16 It's a -- it's a continuous process. And then  
17 the twelfth item is a software upgrade that we're  
18 waiting for in the fourth quarter of this year  
19 from the vendor.

20 While continuous improvement and  
21 forecasting is very important, identifying and  
22 planning for uncertainty in the forecast is even  
23 more critical. So I'll spend some time talking  
24 about that as well. So I'd like to share, you

1 know, specifically today, of these twelve areas,  
2 I'd like to talk about forecasting enhancements,  
3 benchmarking with our neighbors, the -- the grid  
4 risk assessment team process that we formalized,  
5 and then some dynamic adjustments to our  
6 day-ahead forecast. Jack, can you go to the next  
7 one, please?

8 So I'll start with forecasting  
9 enhancements. Immediately following the December  
10 event, we -- we updated our forecast models with  
11 the loads that we observed in that event. If  
12 you'll recall from our previous discussion, the  
13 forecast tool we use is a regression model. So  
14 it learns from experience.

15 So the immediate introduction of those  
16 new loads into the tool gave it knowledge, made  
17 it learn, made it smarter, and gave it the  
18 ability to better predict cold weather in the  
19 future. Additionally, we immediately had the  
20 vendors validate those additional loads.

21 And the vendors also gathered  
22 information from other customers who experienced  
23 similar load situations during the December event  
24 across really much of the southeast United States

1 during that cold weather event. That definitely  
2 improved the ability for the tool to forecast  
3 colder temperatures.

4 Additionally, analysis was performed on  
5 how back-up heat, or heat strips associated with  
6 heat pumps, performed during this event.  
7 Learning about the -- the way these resistant  
8 loads performed during different temperature  
9 events was important to incorporate into our  
10 model. And what we've been able to do is  
11 incorporate some different inflection points in  
12 this regression curve. So that, at certain  
13 temperatures, essentially, it changes the slope  
14 of the regression curve.

15 So at certain temperatures, multiple  
16 heat strips come into affect, and they change the  
17 load profile that's produced by our customers.  
18 So learning about the customer load behavior is  
19 very important here. So we've introduced some  
20 additional inflection points into our model so  
21 that it knows that different temperatures, say  
22 35 degrees -- it changes the slope of that  
23 regression curve to help us better predict what  
24 happens when it gets really cold.

1                   Additionally, while doing that same  
2                   research, we were able to also add some  
3                   breakpoints for -- for cooling degree days. So  
4                   similar for summer improvement of load  
5                   forecasting as well. Also, we're in the process  
6                   of determining a separate linear regression tool  
7                   that would run as a supporting forecast.

8                   It does not -- it actually doesn't take  
9                   into account history quite as much. It allows  
10                  the tool to forecast some extreme days. So it  
11                  doesn't -- doesn't say, "Oh, that's a tail  
12                  event," and just not weight it as much. It  
13                  allows the tool to produce an extreme forecast.  
14                  So we're using that in parallel with the current  
15                  regression tool.

16                 And then the other thing I'll talk  
17                 about a bit is we're investigating some bottom-up  
18                 forecasting that can use customer load data and  
19                 other data to feed into this tool to give us a  
20                 better forecast for customer load behavior. I'll  
21                 talk about that on the next slide a bit.

22                 Bottom-up forecasting would be a  
23                 compliment to our current regression tool. By  
24                 using bottom-up forecasting, we can actually get

1 more granularity into the model and introduce  
2 load behaviors that are not uniform across the  
3 large geography that we have. Today we take --  
4 we essentially use three balancing authority area  
5 load forecasts, roll those up and combine them.

6 Bottom-up load forecasting would allow  
7 us to segregate that into more regions and have a  
8 more granular view. So it looks like the box is  
9 a little hard to see, but there's a pyramid on  
10 the -- on the slide that -- at the top of that  
11 pyramid is the current approach where we use the  
12 three input load forecasts. What we're talking  
13 about is expanding that. It can be expanded down  
14 to a geographic region.

15 So think, maybe 30, 40 different  
16 regional geographies in the Carolinas. It can be  
17 expanded down to a substation or a feeder level.  
18 That would be thousands of inputs. And even  
19 potentially down to a meter level input, which  
20 would be millions of inputs. So we're currently  
21 working on, you know, how to do this -- how to  
22 incorporate that into the regression tool, and  
23 what the right level of granularity is.

24 We're going to start with that 50 or so

1 input. And may ultimately build down to the --  
2 the larger billions of inputs, but we've got to  
3 determine the right -- what the right value  
4 proposition is for accuracy. It may not be  
5 millions. It might be hundreds so -- but we're  
6 moving forward with -- with incorporating that  
7 into our forecasting process. Next slide,  
8 please, Jack.

9 Another specific action that -- that we  
10 embarked on after December was benchmarking with  
11 others. We benchmarked with our neighboring  
12 utilities and RTO on their experience during the  
13 December event. As well as what types of tools  
14 they used, what types of results they achieved,  
15 any improvement opportunities that they  
16 identified. How they might account for customer  
17 behavior -- all those types of things.

18 What we essentially determined from  
19 that feedback was most had very similar  
20 performance. All were using regression tools.  
21 The majority were using the same regression tools  
22 that we were using. There was some variation.  
23 The -- the range of forecast error on  
24 December 24th was some were a little less than

1       ours, and some were a little more. So we were  
2       sort of in the middle.

3               And the number of resources and the  
4       weather forecast, all very similar to the  
5       approach we were using. The one significant  
6       thing we picked up, we did find one utility that  
7       was starting to use some bottom-up forecasting.  
8       And they identified a vendor that they were  
9       using, and we'd been pursuing the bottom-up  
10      forecasting that I previously talked about. So  
11      that was the nugget that we took away from the  
12      benchmarking with our neighbors. Next slide,  
13      please, Jack.

14             I mentioned the grid risk assessment  
15      team. Following the December event, one of the  
16      things we looked at was our current approaches to  
17      how we identified risk or uncertainty in a  
18      forecast. How it was communicated internally so  
19      that we could prepare and make folks aware. What  
20      we generally found was that we had the actions in  
21      place to do that effectively, but it wasn't  
22      formalized. It wasn't proceduralized. It wasn't  
23      a hundred percent clear exactly, you know, who's  
24      communicating.



1                   And so what we've done is taken,  
2                   really, a lot of the actions that were part of  
3                   our normal planning process, but we've formalized  
4                   them in what we're calling a grid risk assessment  
5                   team process. And this grid risk assessment, it  
6                   adds rigor to our review. It adds rigor to our  
7                   discussion and the communication of the  
8                   uncertainty that exists in the forecast either  
9                   for the supply or demand-side issues.

10                  And so -- any time we, you know -- I'll  
11                  give you some examples here -- some things that  
12                  would trigger a grid risk assessment team. If we  
13                  have forecast of reserves below our target. If  
14                  we have abnormal temperatures or storms. Any  
15                  type of fuel issue that might affect our  
16                  generation output. Unplanned or emerging  
17                  generation issues and regional grid conditions.

18                  So if our neighbors are having  
19                  challenges, all of those things would be  
20                  something that would trigger a grid risk  
21                  assessment team. The grid risk assessment team,  
22                  like I said, is formalized. It's made up of a  
23                  cross-functional group. It -- really, for --  
24                  everybody sitting at this table is representative

1 in that grid risk assessment, and the team has a  
2 formal, you know, approach to meeting.

3 They evaluate the uncertainties and  
4 risks, and they develop mitigation plans. I  
5 would say 90 percent of the time, the grid risk  
6 assessment team is able to develop a successful  
7 mitigation plan, and we move forward with a, you  
8 know -- a normal day of operations. In the event  
9 that it can't resolve it with the mitigation  
10 plan, it escalates to what we call a grid threat  
11 need. And Mr. Holeman will talk about that a  
12 bit.

13 But it would just be the next level  
14 of -- of action, if you will, for -- kind of  
15 moving from planning into action. To take steps  
16 to ensure we have adequate reserves and a  
17 reliable operation.

18 The other key component of the grid  
19 risk assessment is a formal communication to  
20 affected internal parties and executives so that  
21 everyone is aware what risk was identified, how  
22 it was mitigated, and the system status. Next --  
23 next slide, please, Jack.

24 Another key -- I mentioned this in --

1 in my opening remarks that an important piece of  
2 being prepared to operate reliably is recognizing  
3 and planning for uncertainty. No matter how hard  
4 we work on the forecast, the forecast is still a  
5 forecast. There will be uncertainty in the  
6 forecast. And so planning for uncertainty in  
7 both the supply-side and the demand-side of our  
8 forecast is very important.

9 It's growing in importance as we  
10 forecast the supply-side with more variable  
11 resources as well. This is a challenge that's  
12 going to grow for us in the future. We've  
13 implemented two -- two additional things into our  
14 seven day-ahead plan. And we've introduced an  
15 uncertainty metric for supply-side and an  
16 uncertainty metric for demand-side.

17 And this shows up as a dynamic reserve  
18 number in our day-ahead reserves. So Mr. Holeman  
19 will talk a bit about day-ahead reserves.

20 Day-ahead reserves are essentially a component of  
21 planning for uncertainty. That's why they're  
22 there. They're -- they're, you know -- they're  
23 created to deal with uncertainty of generation  
24 performance, of load forecast error, other

1       uncertain things. So what we've -- what we now  
2       have in place is a dynamic reserve adjustment  
3       that goes into our day-ahead planning reserves.  
4       I'll describe those just briefly.

5               So from a -- from a demand-side  
6       standpoint, this is uncertainty in generation  
7       output. So that could be, you know, a unit  
8       that's -- that's challenged to perform. It could  
9       be a solar forecast that's uncertain. Anything  
10      on demand-side. So we're now calculating, in our  
11      seven-day report, an uncertainty of generation  
12      performance.

13             This is a stochastic algorithm that's  
14      based on historical generation performance and  
15      load forecast, and it predicts in megawatts what  
16      the risk of that generation performance is. But  
17      this gives us a megawatt number to consider  
18      against our reserve target. So we can say we  
19      have 1700 megawatts of reserves but there's 200  
20      of it that's risky. And so that helps us  
21      understand where we actually are positioned from  
22      a data reserve standpoint.

23             Similarly, on the -- on the forecast --  
24      the load forecast side, we're doing a very

Page 21

1 similar thing with this stochastic algorithm that  
2 uses historical weather data and historical load  
3 forecast data to train this algorithm so that it  
4 can give us some indication of how -- how much  
5 potential risk there is in the load forecast.

6 So, for example, thunderstorms coming  
7 through at different times of the day impact our  
8 ability to forecast. Fronts moving at different  
9 speeds, impact our ability to forecast. This  
10 algorithm lets us see in megawatts an indication  
11 that, you know, our -- our load forecast is a  
12 certain number, but it could vary by 300 or  
13 500 megawatts.

14 Using those two additional numbers  
15 gives us the ability for the grid risk assessment  
16 team, or others who are in the day-ahead planning  
17 process, to evaluate the risk we have in our  
18 plan. This is a very important tool for us. And  
19 I think it will be even more important as we go  
20 through our generation transition because there's  
21 more uncertainty in both supply-side and  
22 generations-side.

23 COMMISSIONER DUFFLEY: Mr. Peeler --

24 MR. PEELER: Yes.

1                   COMMISSIONER DUFFLEY: If I could  
2                   interrupt just for a second to level set for  
3                   everyone. Are all of the actions that you're  
4                   discussing in response to the December 24th,  
5                   2022, event? These are new processes that the  
6                   Company is putting into place and establishing?

7                   MR. PEELER: They are. These are --  
8                   after December, we -- we went back and reviewed  
9                   everything we do about forecasting and day-head  
10                  planning. And these are the specific actions  
11                  that we identified.

12                 COMMISSIONER DUFFLEY: Okay. Thank  
13                 you. You may continue.

14                 MR. PEELER: And -- and really, that  
15                 wraps up the component that I wanted to talk  
16                 about. But it predominantly is continuous  
17                 improvement on load forecasting, as well as  
18                 recognizing uncertainty and putting uncertainty  
19                 in front of people so it can be discussed and  
20                 planned for. That's kind of a summary of where  
21                 I'm at. And with that, I'll -- I'll pass it on  
22                 to my colleague, Mr. Holeman.

23                 MR. HOLEMAN: Thank you, Mr. Peeler.  
24                 Good morning, Commissioners. What I want to do

1 is -- is review eight of our primary post event  
2 actions from an operating perspective. I'll be  
3 building on the information that Mr. Peeler  
4 just -- just shared with you. If we could  
5 advance the slide. Thank you.

6 So -- so the first issue was with the  
7 day-ahead planning margin as Mr. Peeler just  
8 talked about. And looking at it, is it -- is it  
9 consistent in the way it's done? How does it  
10 compare with our peers? And so we continued to  
11 look at our day-ahead operating reserve margin  
12 from a calculation perspective. That's where we  
13 started.

14 Keep in mind that operating reserve is  
15 a NERC term. It means the capacity above your  
16 firm demand that can be used for load forecast  
17 error. It can be used for generation scheduled  
18 or unscheduled outages, or for local protection,  
19 or for pretty much anything else that may come up  
20 operationally. It's, basically, a toolbox for  
21 the operators to use to deal with uncertainty as  
22 Mr. Peeler referenced a minute ago. It includes  
23 both spinning synchronized resources and  
24 non-spinning resources.

1                   Typically, non-spinning resources are  
2                   resources that are offline that the operator --  
3                   system operators in our energy control centers  
4                   can call on. So as we benchmarked with our  
5                   peers, our first question was, what's your basis  
6                   for your calculation. And then we determined  
7                   that we are very consistent with our neighbors.  
8                   We did this through the VACAR group --  
9                   Virginia/Carolina's Reserve Sharing Group.

10                  We also reached out to our other  
11                  neighbors to validate their -- their approach to  
12                  calculation of day-ahead operating reserve. And  
13                  the framework for that calculation is based  
14                  around, really, three parameters.

15                  One, is your largest unit in your  
16                  balancing authority, your typical load forecast  
17                  error, and what is your typical rate of change of  
18                  your load? How does your load ramp over the  
19                  course of the day? So data that -- that you plug  
20                  into the equation, which we believe is consistent  
21                  with our neighbors, is going to be different  
22                  because different size units, different ramping  
23                  patterns, different load -- load forecast errors.  
24                  But we believe that the process that we have in



1 place is very consistent with our neighbors based  
2 on the benchmarking we did.

3 Now, adding on to that as Mr. --  
4 Mr. Peeler just referenced, we've added these  
5 risk-informed components around load forecast  
6 error and generation availability. So we report  
7 that out to the folks that deal with this -- the  
8 planning and the operating of the system, both in  
9 the Energy Control Center and the unit commitment  
10 function. Those are -- those are additive to our  
11 reserve requirements.

12 So they take into account risks that we  
13 may face with -- with low forecast errors,  
14 extreme weather or -- or generation availability  
15 questions that we need to encounter. So those  
16 are additive to our -- to our levels of -- of  
17 adequacy. We have a draft procedure in place.  
18 It's been signed off, and we hope to have it  
19 finalized. We will have it finalized by the  
20 start of the winter of '23-'24.

21 Action two had to do with our general  
22 load reduction plans -- the GLRP plans that we  
23 filed with the Commission, both from a DEP and  
24 DEC perspective. The issue was they are not very

1 consistent from look and feel and from a content.  
2 And the potential is, that can be confusing to  
3 stakeholders that are looking at these general  
4 load reduction plans.

5 I can assure you there is no confusion  
6 within the ECC. Our system operators train on  
7 their specific tools, their specific plan. And  
8 so there's no confusion in -- within the control  
9 center -- to the decision makers. But we  
10 recognize the -- the -- the differences could  
11 create distractions.

12 And so what we've -- we've started to  
13 do is convert both the DEC and the DEP general  
14 load reduction plan, GLRP, to a common format --  
15 to a common look and feel. Now, internally, they  
16 will still be different because the balancing  
17 authorities are different. But -- but they will  
18 be much more consistent in terms of the look and  
19 the feel of the documents.

20 Those will be changed. And when we  
21 file those GLRP documents in 2024, they will be  
22 updated with the new -- the new look and feel for  
23 those -- those programs. But there will be --  
24 there will be differences in -- in the inside of

Page 27

1 the plan. Mr. Jirak, if you can -- Page 4.

2 Thank you.

3 The next two items have to do with our  
4 interface with our network customers. Those are  
5 our customers that have a relationship with us  
6 through our open access transmission tariff. And  
7 I think conclusions on the review of this event  
8 show that this is an area of definite  
9 improvement. We've identified all the  
10 organizations that qualify as a network customer  
11 under the tariff, and we are building, using a  
12 existing technology, a process through which we  
13 will communicate to them any kind of change in  
14 grid status, especially as we enter the NERC  
15 energy emergency alerts.

16 And we will -- we will use a proven  
17 communication technology that does phone call,  
18 text, and -- and -- and e-mails. And they are  
19 going to responsive, operationally-focused people  
20 in these organizations so that they can take  
21 action. We -- we are -- we will be drilling this  
22 process before the start of winter of '23-'24.  
23 And this links back to the -- to the grid risk  
24 assessment process that Mr. Peeler referred to.

1           That is a -- that is a process, and it  
2 involves our wholesale customer group. That is  
3 the group within the Company that -- that works  
4 with our wholesale customers daily. And so they  
5 are a part of both the grid risk assessment  
6 process and the grid threat process. If we could  
7 page forward, please. Thank you.

8           The next one is, generally, how do we  
9 become more nimble in communicating grid risks  
10 both internal Duke and to our external  
11 stakeholders. And Mr. Peeler spoke of the grid  
12 risk assessment process and the grid threat  
13 process. So these have been formalized with --  
14 with rigor from -- from an enterprise  
15 perspective. We're going to use tools that other  
16 parts of the Company use for emergent type of --  
17 of situations.

18           But we've -- we've had -- we're  
19 building on a process that we've used in the  
20 past. The term we used was a "tailgate process."  
21 But we've changed that process into the grid  
22 risks process and the grid threat process using  
23 proven enterprise communication tools that will  
24 send e-mails, will send -- will text messages,

1 and phone calls to the members of these groups,  
2 making sure that they are attending the calls,  
3 and it requires a response.

4 Now, we monitor the grid at all times by  
5 a group of system experts that go from system  
6 operations, economic dispatch, unit commitment,  
7 reliability, coordination, generation, corporate  
8 communication. And when the triggers Mr. Peeler  
9 referenced are met, it starts a grid risk  
10 assessment review. And then coming out of that,  
11 if -- if the -- if the grid threat is -- is  
12 identified, then the grid threat process will be  
13 started, and that will roll out. Okay. Here's  
14 where we're at. Here's what we're going to do to  
15 deal with it. And -- and we have rolled that  
16 out.

17 We have used it some 17 times since we  
18 made that transition from the tailgate process to  
19 the grid threat process -- grid risk assessment  
20 process at the end of 2024 started 20 -- excuse  
21 me, '22 and started 2023. We've had 17 grid  
22 threat -- or excuse me, grid risk assessment  
23 meetings. And out of that we've had -- we've had  
24 6 grid threat calls. And the process worked

1 well. It allowed us to work through our options.  
2 We were able to communicate outwards, and we were  
3 able to work through the situations over the --  
4 over the course of the summer.

5 We are also conducting our winter of  
6 2023-2024 challenge board call on 10/10/23. We  
7 started those back in the aftermath of polar  
8 vortex in 2014 and 2015. This helps us -- as we  
9 make the turn from summer to winter, it allows us  
10 to sharpen our focus on the upcoming winter with  
11 opportunity and time to make adjustments to check  
12 and adjust, if you will.

13 As we saw in Winter Storm Elliott,  
14 communication coordination is more challenging in  
15 the winter than it is in summer. The run up to  
16 the peak, and the peak happened in the early  
17 morning hours. And the peak is usually 0700,  
18 0800 in the morning. In the summer, you have the  
19 whole day to -- in the run up and in the crossing  
20 the peak -- to communicate and coordinate. We  
21 believe that the processes we have put in place,  
22 and Mr. Peeler described, have worked well for us  
23 in 2023. And we will continue to update and  
24 expand those as we move forward. If you can move

1 to the next slide, Mr. Jirak.

2 So the final two actions -- one is GLRP  
3 training. We conducted a cold weather load shed  
4 tabletop drill that included all of the -- all of  
5 the internal GLRP stakeholders. That was  
6 conducted on 8/10. We've identified actions.  
7 They will be rolled out to the appropriate  
8 responsible parties to those actions by the end  
9 of the month. And then as I spoke earlier, we  
10 will follow up with our winter 2023-2024  
11 challenge board on 10/10. All of that pointing  
12 towards our readiness for the winter of '23-'24,  
13 and it gives us time to respond to it.

14 The final action was a Winter Storm  
15 Elliott lessons learned from load shed training.  
16 We've incorporated the lessons learned from --  
17 from the load shed experience on Winter Storm  
18 Elliott on the 24th in both our energy control  
19 center training with system operators and our  
20 distribution control center training with the --  
21 the 24-by-7 operators there. We do that in an  
22 integrated fashion.

23 We do it separate, and we also do it  
24 together. Those training sessions will be

1 completed by the start of the winter. This is an  
2 ongoing process. We do this preparation before  
3 the summer. We do it before the winter. We  
4 evaluate and train both on the automation, the  
5 load -- the load shed tool -- the rotating load  
6 shed tool, and the manual tool so that our  
7 operators and both the DCC and the ECC are  
8 prepared for whatever situation that may come --  
9 that may come up.

10 So readiness for peaking season is an  
11 on-going process. We're always in the process of  
12 preparing for the next peaking season. We're  
13 always in the process of preparing for the next  
14 day of operations. And so we continually are  
15 moving towards getting better at what we do. And  
16 part of that is taking operating experience, not  
17 only from the industry, but also from Duke  
18 Energy -- our experience with Winter Storm  
19 Elliott, for example -- and plow that into our  
20 preparation. I believe -- well, I don't believe,  
21 I know that our enhanced processes that  
22 Mr. Peeler referenced and I referenced have --  
23 have positioned us better based on our  
24 experiences this summer.



Page 33

1           Those processes worked really well, and  
2           we will adapt for the winter. And we will  
3           continue to work to make those processes work to  
4           ensure reliability and security for North  
5           Carolina customers and communities. I'll now  
6           turn the mic over to Mr. Preston Gillespie.

7           MR. GILLESPIE: Thank you, Sam. Just  
8           as a recap, on the night of the load shed, we had  
9           10 of our 11 nuclear units were in service. 11  
10          of our 15 call units were in service, and 8 of  
11          the 9 combined cycles were in service. So around  
12          32,000 of our 36,000 megawatts of generating  
13          capacity was in operation. During the night, we  
14          lost around 1300 megawatts, and it was  
15          predominantly due to two causes as we went back  
16          and did the analysis.

17          First cause was heat trace. We wrap  
18          a -- we wrap an electrical-resistant heat around  
19          key and critical instrumentation lines. And this  
20          heat trace is designed to keep any of the fluid  
21          in these lines, and liquid -- not allow them to  
22          freeze. And we found in some cases that -- that  
23          we had lines that had heat trace that was either  
24          missing or not functioning to its full capacity.

1           The second area we found were gaps in  
2           our piping insulation. So we insulate pipes.  
3           Some of these same lines would be insulated and  
4           heat traced. And when we went back and looked,  
5           we had -- in a few cases where either insulation  
6           had pulled apart or where repairs had been done  
7           and the insulation had not been installed  
8           completely.

9           Now we do walk downs. We do  
10          inspections. We went out and looked for a heat  
11          trace and heat -- I mean, for insulation  
12          integrity. And what -- what we learned was in  
13          our walk downs, we were walking down all of what  
14          I would call "accessible areas." We were not  
15          necessarily climbing up into the roof tops or  
16          going into inaccessible areas that were not --  
17          not immediately available to the operator. So  
18          these are some of the -- these are some of the  
19          actions that we will -- we will modify as we move  
20          forward.

21          All the heat trace and all the  
22          insulation issues that we found at these four  
23          operating sites either have been, or will be,  
24          repaired by the -- by cold weather season. And

1 the simple repairs are done. But we're doing  
2 some upgrades and modifications to improve our --  
3 our heat trace capacity and capabilities, and  
4 heat trace the monitoring of the operation of the  
5 heat trace capabilities. Some of that work is  
6 still in flight.

7 If we look at the -- I'll go to the  
8 next slide, Jack. If I look at the other key  
9 actions that we're taking, your -- first of all,  
10 outage optimization. So making more energy  
11 available, more of the time. So we're looking at  
12 when we take units out of service, when we start  
13 an outage season, when do we end an outage  
14 season. And those -- we call those shoulder  
15 months, by the way. When we perform our outages,  
16 we do these in shoulder months.

17 Weather doesn't always cooperate with  
18 us. So we're trying to keep outages out of  
19 December. In fact, this year, by the first week  
20 in December, we'll have all our outages complete.  
21 So we do that by backing up. Now, I will tell  
22 you, we've had a very warm September. So the  
23 first week, we took some of these plants out, and  
24 September was warm. We had to go back and

1 evaluate capacity and needs with -- with Sam and  
2 Nelson and their teams to make sure that those  
3 plans could be executed as -- as they were laid  
4 down.

5 Also, shorter outages -- just finding  
6 way to -- to better coordinate, better lead the  
7 execution of our outages such that we get into  
8 and out of the outage quicker so that the  
9 facility can have greater readiness and  
10 availability. We've assigned a seasonal  
11 readiness coordinator at each of our sites. So  
12 we're going to put -- we're going to allow one  
13 individual to be accountable for that site -- for  
14 all the seasonal readiness actions.

15 It's a big job to get ready for  
16 seasons. And it's -- and what's interesting  
17 about our seasonal readiness activities is  
18 oftentimes you're performing wintertime readiness  
19 when it's hot outside. And you're performing  
20 summertime readiness when it's warm outside. So  
21 you're -- you're almost a season ahead as you go  
22 through these. And what -- what we find is that  
23 by placing a greater focus and a greater  
24 accountability on -- with -- with a person, that

Page 37

1 we will get better outcomes on ensuring that all  
2 our readiness actions are complete.

3 And, also, just implementation of  
4 lessons learned. There were a ton of things that  
5 happened across the operation during that night  
6 and other times during the winter, that never had  
7 impact on our ability to serve the customer. And  
8 never had impact on our ability to deliver energy  
9 to the -- the energy to Sam's folks that they  
10 need to serve the customer.

11 However, there were real issues that  
12 needed to be -- to be done. So, for instance,  
13 how we work on pieces of equipment. Air dryers  
14 is a great example. Air compressors. We use  
15 copious amounts of air in the operating -- in the  
16 operating power plant. That air, if it's not  
17 dry, could freeze up and cause instrumentation  
18 reliability issues. So we've gone back and  
19 improved our preventative maintenance  
20 activities -- improved training.

21 And then, also, the things that we need  
22 to keep the power plants running -- reagents,  
23 chemicals and the like. We've improved methods  
24 for ensuring availability of those. So although

1       there were no consequences in this case, we did  
2       capture each one of those and have implemented  
3       them into our operating protocols to improve the  
4       operation for greater reliability.

5               And then, finally -- on the next slide,  
6       Jack. We performed benchmarking. We benchmark  
7       our peers. Specifically, with Southern Company,  
8       the Tennessee Valley Authority, American  
9       Electrical Power, Dominion. And we -- shortly  
10      after the -- after the 22nd, we met with all of  
11      those teams and -- and shared both lessons  
12      learned, and also what -- what went right for  
13      each other. So we grabbed the good things that  
14      we did as well in those -- in those interactions.

15             And so out of that benchmarking, we  
16      have a number of actions that we're following up  
17      on that will improve the reliability of the -- of  
18      the operation.

19             And then, finally, nuclear. Nuclear  
20      operated extremely well through the -- through  
21      this cold weather period. But there were lessons  
22      learned with the -- at the nuclear sciences also.  
23      And we've captured those operating -- those  
24      operating experience items and have incorporated

1       those into our operating protocols.

2               As we look forward, I would tell you  
3       that we're also using new climate projections  
4       into -- that we have and integrating those into  
5       our operational readiness procedures.

6               And then, finally, just -- at the  
7       senior level -- senior level oversight, we  
8       have -- we have put in place what we call a bulk  
9       electric system oversight board. We'll -- we  
10      give it a name that's an acronym, but that's what  
11      it means. So we look -- this board looks at all  
12      things grid. From top to bottom, from left to  
13      right -- so reliability, security, resource. And  
14      this board -- it has -- I have peers on this  
15      board. My peers on the board, senior VPs, are on  
16      the board -- we report the outcomes of these  
17      board meetings to our CEO.

18              So you heard some of the work that's  
19      going on in the organization with how we explore  
20      grid readiness, how we make sure that the grid is  
21      ready to operate at a -- at a higher level. We  
22      provided oversight to the outcomes that -- that  
23      these teams do and looked forward into the future  
24      to ensure that the -- that the grid is -- remains

Page 40

1 safe, remains reliable, and remains available for  
2 all of our customers. So I'll turn it over to  
3 Eric.

4 MR. GRANT: Good deal. Thank you,  
5 Preston. Good morning, Commissioners. This  
6 morning I'm going to speak specifically to the  
7 issues as well as the improvement opportunities  
8 regarding our rotational load shed tool. It is  
9 referred to as RLS tool for short. Next slide,  
10 Jack.

11 Yeah. So just to recap, the RLS tool  
12 is used by distribution control centers and  
13 allows the DCC operators to shed a user-defined  
14 amount of megawatts. The RLS tool will  
15 automatically shed those megawatts using a  
16 prioritized list of circuits. The tool will then  
17 maintain that amount of load shed by  
18 automatically energizing -- de-energizing  
19 additional circuits and then restoring those that  
20 had been previously been de-energized. For those  
21 circuits that are de-energized, we target those  
22 circuits to be off no more than 15 to 30 minutes  
23 at any one time.

24 Unfortunately, on December 24th,



1        though, both the RLS tool and DEP and DEC did not  
2        perform as expected. And moreover, the tool --  
3        the issues that we experienced were not similar  
4        in both DEP and DEC. In DEC, the RLS tool did  
5        successfully de-energize 350 circuits, and that  
6        equated to about 1000 megawatts of load shed.  
7        However, it incurred latency issues with respect  
8        to restoring circuits.

9                So what do I mean by latency issues?  
10       Well, instead of a circuit being restored every  
11       15 minutes, when it was a time for a circuit to  
12       be restored, an additional minute was added to  
13       the targeted restoration time. So for the first  
14       circuit to be restored, it would have targeted  
15       16 minutes versus 15. For the second circuit to  
16       be restored, it targeted 17 minutes instead of  
17       15. So by the time you got to the 90th circuit,  
18       the tool -- it actually added an additional  
19       90 minutes on to that 15 minute targeted  
20       restoration time.

21               So, of course, that delay -- that  
22       resulted in circuits being off longer than  
23       expected. It introduced cold load pickup issues,  
24       and that drove us to have to do manual

1 restoration with respect to some of the circuits.  
2 And, of course, that kept customers out longer  
3 than you would expect.

4 In DEP, the tool did successfully  
5 de-energize 110 circuits, which resulted in about  
6 600 megawatts of load shed. It did stop working,  
7 though, however, to issues associated with the  
8 tagging function. So with respect to rotational  
9 load shed, the tool does automatically put an  
10 info tag on every breaker that it opens as part  
11 of de-energizing that circuit. When it's time to  
12 restore that circuit, that info tag is removed  
13 from the breaker prior to it automatically being  
14 reclosed. On the morning of the 24th, the volume  
15 of the tags, basically, overwhelmed the tagging  
16 system, which in turn caused the RLS tool to  
17 cease functioning.

18 So in light of these issues, we've  
19 taken a number of steps to ensure the RLS tool  
20 will inform -- will perform as expected if it's  
21 called upon in the future. Next slide, Jack.

22 So what are those steps? Based on  
23 discussions with the vendor, both the latency  
24 issue that we experienced in DEC, as well as the

1 tagging issue in DEP, were caused by software  
2 deficiencies. Both -- both the DEP and DEC RLS  
3 tools have been updated with the proper software,  
4 and it has addressed both of those issues. On  
5 top of that, we -- we now hold weekly meetings  
6 with the vendor of the RLS tool to make sure  
7 we're aware and stay abreast of any industry  
8 issues, as well as any software updates or  
9 patches that are needed to be deployed.

10 Also, as part of our enhancement  
11 effort, we've introduced more rigorous testing  
12 protocols to identify any issues that might have  
13 previously went undetected. Prior to the 24th,  
14 we test -- the testing of the RLS tool,  
15 basically, it -- we did so with 24 scenarios.  
16 Those scenarios would last anywhere from one to  
17 two hours in duration, with a maximum load shed  
18 of 200 to 300 megawatts.

19 After the 24th, those tests now consist  
20 of 84 scenarios compared to the 24. Some of  
21 those last in duration of up to 12 hours. And  
22 now we actually do a load shed test using a  
23 maximum load shed of 2000 megawatts. Some of the  
24 scenarios that -- some of the examples of the

1 scenarios that we actually test now, that  
2 includes failing other systems while the RLS is  
3 running, such as the alarming system and the  
4 tagging system.

5 We actually run the test now with them  
6 without voltage reduction. We'll go in and  
7 actually change the times that a customer is  
8 expected to be out, say, from 15 minutes to  
9 60 minutes. And we'll also pause the SCADA  
10 system to make sure that when it's restored, the  
11 RLS tool will actually come back and operate as  
12 expected as well.

13 We've also enhanced the testing  
14 environment. We now have a full scale  
15 environment that mirrors our production  
16 environment. That allows us to increase the  
17 volumes and durations of our scenarios. It also  
18 includes the same data integrations and  
19 complexities as our operational environment.

20 And then lastly, we've enhanced  
21 training with respect to our RLS tool. We've  
22 increased the population of those that are  
23 trained and now includes DCC supervisors, our  
24 operators, as well as back-office personnel,

Page 45

1 which would be folks like grid management, grid  
2 engineers, our DCC operators. Their training now  
3 includes classroom training, as well as simulator  
4 training. And I will say, we are better prepared  
5 and equipped if we're to resort to manual load  
6 shed now. That's part of our annual GLRP drill.

7 So, in summary, we do acknowledge that  
8 load shed is a serious decision. And as my  
9 colleagues have alluded to, we've taken a lot of  
10 steps to make sure the likelihood of that is low  
11 in the future. But if faced with having to shed  
12 load in the future, we do feel like we've taken  
13 the right steps in order to make sure the RLS  
14 tool will perform as expected going forward.

15 And with that, I will turn it over to  
16 Taryn Sims who's going to speak to our  
17 enhancements with respect to customer  
18 communications.

19 MS. SIMS: Okay. I will wrap us up  
20 today with that overview that Eric just  
21 mentioned -- of improvements that we've made in  
22 our customer communication space.

23 So immediately following Winter Storm  
24 Elliott, we pulled together a dedicated team to

1 focus and -- and do a look back at what we  
2 communicated, and how we could do that better  
3 given the circumstances. So if we did find  
4 ourself in this position again, that we could get  
5 our conservation messaging out very quickly, and  
6 make sure that it's appropriate for the type of  
7 event that we're experiencing, whether in the  
8 winter or the summer.

9 Also, if we found ourself with this  
10 unique set of circumstances, and we needed to get  
11 messages out quickly, as -- as we were shedding  
12 load, we have updated our automated messaging  
13 platform to reflect messages that are specific to  
14 the type of event that we're experiencing. So  
15 that would replace our typical outage alerts that  
16 go out to customers that the customers are used  
17 to seeing -- that go out via text, e-mail or  
18 outbound calls. So those would very much be  
19 useful to customers because today we see that we  
20 have quite a few customers who receive those  
21 messages.

22 I believe earlier this year when we  
23 came, we talked about how many folks are  
24 auto-enrolled in -- in that program. We've now

Page 47

1 increased the -- those customers who receive the  
2 messages up to close to 90 percent of our  
3 customers who we have either a phone number or  
4 e-mail address for so that we can reach out to  
5 them very quickly in the event of an outage.

6 We also developed a comprehensive plan  
7 to educate customers more on what to expect, in  
8 general. So videos were created. We also -- we  
9 also deployed newsletters to our customers in  
10 addition to promoting our demand response  
11 programs and focusing on grid resiliency work.  
12 So all of that has been done over the course  
13 of -- up to now, and we'll continue to do that as  
14 we go into the winter months.

15 And with that, I will wrap this up  
16 today, and we can take any questions.

17 COMMISSIONER DUFFLEY: Thank you. I'm  
18 sure that we have several questions. I'll go  
19 ahead and get started with Mr. Holeman. And do  
20 you -- do you have a copy of the South Carolina  
21 report --

22 MR. HOLEMAN: I do.

23 COMMISSIONER DUFFLEY: -- at the table?  
24 Okay. I'd like to move to the -- the causes of

Page 48

1 the customer outages that begins on Page 17. But  
2 I'm going to jump around a little bit. I'd like  
3 to go to Page 36 of that report regarding network  
4 customers.

5 MR. HOLEMAN: Page 36?

6 COMMISSIONER DUFFLEY: Yes, sir.

7 MR. HOLEMAN: I'm there.

8 COMMISSIONER DUFFLEY: Okay. So you  
9 explain, in cause number four, the network  
10 customers. And I just want to drill down a  
11 little bit and understand the current rules and  
12 regulations with respect to network customers.  
13 And, specifically, what changes are being made.

14 I heard you state today in your  
15 presentation that you're working with the network  
16 customers, and you're working on communication  
17 technology. And I'd like to know what that looks  
18 like. But more importantly, how does that  
19 communication actually resolve the issue here?

20 And so as I -- and first, let me level  
21 set and make sure I understand what the report  
22 states. So, as I understand it, a network  
23 customer who had contracted with an independent  
24 power producer, lost the independent power



Page 49

1 producers generation tripped, and they -- they  
2 lost that service.

3 And so DEC provided that power to the  
4 network customer pursuant to the procedures and  
5 pursuant to the OATT. Am I correct in that  
6 assessment? Which -- which affected production  
7 that could have gone to other DEC customers?

8 MR. HOLEMAN: Subject to check, I  
9 believe that is correct.

10 COMMISSIONER DUFFLEY: Okay. So had  
11 that independent power producer not tripped,  
12 could DEC have avoided this load shed event?

13 MR. HOLEMAN: It would not have been  
14 enough generation to avoid the load shed event.

15 COMMISSIONER DUFFLEY: Okay. Thank you  
16 for that. And then, with respect to -- if we  
17 ever get into this situation again within North  
18 Carolina, is the Company looking at, or does it  
19 even have the ability, to change the terms of the  
20 OATT with respect to curtailing that network  
21 customer?

22 MR. HOLEMAN: So -- so I'm not an  
23 expert in the -- in the Open Access Transmission  
24 Tariff, but what we're trying to do is, one,

Page 50

1       become more nimble and agile in communication  
2       with those customers. All of them. And work  
3       with them to let them know, okay, we're in this  
4       grid status. We're approaching an EEA-1, EEA-2,  
5       EEA-3. If you recall, EEA-3 is we're on the  
6       verge of load shed. And in the -- in the -- the  
7       direction to them -- the operating instruction to  
8       a network customer will be stay in balance  
9       because they've got their own obligations.

10               It's a balancing authority. We're  
11       looking at the balancing authority load. We  
12       really -- as a balancing authority, we don't  
13       recognize the different customers. We're looking  
14       at the overall balance of the footprint. And so  
15       our instruction to them would be balance your  
16       load with generation resources.

17               And we are working through the process  
18       through which that would actually be executed.  
19       And that's part of -- part of the -- the --  
20       that's part of the relationship we've got to  
21       establish with network customers -- a clear  
22       understanding of how that would work.

23               COMMISSIONER DUFFLEY: And you were  
24       talking about this communication. I assume

1        within that communication, that the network  
2        customer had demand response programs, load --  
3        their own load reduction programs that you would  
4        have visibility. You're trying to increase that  
5        visibility as well.

6                MR. HOLEMAN: What we'd like to happen,  
7        if we could, you know -- this is -- this is kind  
8        of the vision. As we progress through our  
9        programs, demand-side management, customer  
10       response, they're doing the same thing. We're  
11       doing this together. In sync with each other as  
12       we go through it. And the Commission knows the  
13       challenges with the timing of all this on  
14       December the 24th. A holiday early in the  
15       morning.

16               That's where I think the grid risk  
17       assessment process and the grid threat process  
18       and some of the things we're doing in terms of  
19       adding those -- those operating reserve triggers  
20       that increase the operating reserves -- we can do  
21       this more proactively. So we're not sitting  
22       there at two in the morning, four hours away from  
23       the peak, trying to get people to operationally  
24       respond.

Page 52

1                   And so that's part of the work we're  
2                   doing with our network customers. We need  
3                   contact information that are operationally  
4                   responsive. Some of our customers -- network  
5                   customers -- are very sophisticated in that  
6                   space. Some of them aren't. So we've got to  
7                   work with them to identify those operationally  
8                   responsive contact numbers and -- and e-mails so  
9                   that -- so that when we give them an instruction  
10                  or give them an update on status, they can take  
11                  that and make adjustments and help the situation.  
12                  I hope -- hopefully, I'm answering your question.

13                   COMMISSIONER DUFFLEY: You are.

14                   MR. HOLEMAN: Okay.

15                   COMMISSIONER DUFFLEY: And thank you  
16                   for that answer. And then if you could turn to  
17                   Page 38 of the report.

18                   MR. HOLEMAN: I'm there.

19                   COMMISSIONER DUFFLEY: On the second  
20                   sentence of the first paragraph it says,  
21                   "However, Duke Energy also stated there was no  
22                   viable or practical mechanism in place to curtail  
23                   the network customer load in the needed  
24                   timeframe."

Page 53

1                    Could you explain this statement a bit  
2                    further?

3                    MR. HOLEMAN: In our current situation,  
4                    we do not have the tactical ability to shed the  
5                    load of our network customers.

6                    COMMISSIONER DUFFLEY: And what do you  
7                    mean tactical ability?

8                    MR. HOLEMAN: For us to be able to  
9                    select a breaker in their area of responsibility  
10                   and open it up to reduce load. We don't have the  
11                   information to do that. They do. But we don't.

12                   COMMISSIONER DUFFLEY: Okay. Thank  
13                   you. And in this communication protocols that  
14                   you're instituting, is that something that you  
15                   will be discussing with the network customers?

16                   MR. HOLEMAN: We will be discussing it  
17                   with them, but I think our general message will  
18                   be if we get to that point -- where we're at that  
19                   point -- we're in EEA-3 -- energy emergency alert  
20                   three -- we are preparing to shed load, it is our  
21                   next step. They will be walking that -- that  
22                   path with us. And they will know how much we're  
23                   going to shed, and that they would identify their  
24                   proportional amount, and we'd do it together.

Page 54

1                   COMMISSIONER DUFFLEY: Okay. Thank  
2                   you. So moving to Mr. Peeler. You stated  
3                   today -- and I'll direct you to Page 20 of the  
4                   South Carolina report. However, you stated today  
5                   that you've been -- that the Company benchmarked  
6                   with other Companies. I was struck by -- on  
7                   Page 20 of the South Carolina report -- the  
8                   percentage of the forecasting error. But I heard  
9                   today that when you benchmarked, that you were in  
10                  the middle with respect to the forecasting  
11                  error -- errors; is that correct?

12                 MR. PEELER: Yes. So just, I guess, to  
13                 maybe talk to the chart that's on here. The  
14                 forecast error -- the forecast error we  
15                 benchmarked was predominantly day-ahead. And  
16                 some of this is week-ahead. And so we know that  
17                 if you go a week ahead in this cold weather, man,  
18                 they are big numbers.

19                 The day-ahead numbers that -- that we  
20                 benchmark, which is, you know, when you have time  
21                 to plan. Our forecast error was in the six to  
22                 ten percent range. And we saw anywhere from five  
23                 to twelve when we benchmarked with others. So  
24                 pretty -- pretty much in alignment.

Page 55

1                   COMMISSIONER DUFFLEY: Okay. Thank you  
2                   for that. And then could you talk a bit more  
3                   about the one -- I'm on Page 7 of your -- today's  
4                   presentation. You talked about how when you were  
5                   benchmarking there -- there was a utility that  
6                   was using the bottom-up forecasting, which you've  
7                   added as well. When you reviewed that bottom-up  
8                   forecasting, was that utilities forecast more  
9                   accurate than the -- than the others?

10                  MR. PEELER: So it was -- it was a  
11                  little bit lower, but close -- closer to ours.  
12                  It wasn't one of the higher ones. And to be, I  
13                  guess, to be clear, they don't have a full  
14                  implementation of bottoms-up forecasting. They  
15                  have a tool and a vendor where they're  
16                  incorporating some bottom-up forecasting. And in  
17                  the areas where they had it, they saw some  
18                  benefit. So they saw closer to five percent in  
19                  the areas where they were using that.

20                  COMMISSIONER DUFFLEY: Okay. Thank you  
21                  for that. So moving to the unit preparation and  
22                  generation. So it could be Mr. Gillespie. I  
23                  have some Staff questions as well. And I'd like  
24                  to talk about the -- the report with respect to

Page 56

1 the specific outages, and you mentioned that that  
2 Staff did the pre-walk-through to look for lack  
3 of insulation and look at your heat tracing.

4 And could you just speak a little bit  
5 more as to how you're going to try to catch every  
6 single issue? Because the 1000, as I understand  
7 it, with just three units, 1000 megawatts  
8 dropped. And could you just walk through again  
9 how the Company is going to try to catch every  
10 single one of these potential defects in -- in  
11 the installation of heat trace and -- and cracks  
12 within the insulation?

13 MR. GILLESPIE: Sure. So for the  
14 existing heat trace in the existing installation,  
15 we're going to start off first by installation  
16 quality. So we'll go into our work management  
17 systems and make sure that when we're doing work  
18 on insulated lines -- when we're doing work that  
19 involves lines with heat trace, we get that -- we  
20 get those -- we get those repairs done. And when  
21 we walk away from the repair, the installation  
22 and the heat trace is fully functional. That's  
23 the first thing.

24 We've also installed -- we're



1 installing temporary monitoring in some of the  
2 critical instrumentation boxes that will monitor  
3 the temperature and monitor the performance of  
4 the heat trace. So we would know that a heat  
5 trace circuit is not functioning as expected.  
6 That would be the second way that we're -- that  
7 we're going to do that.

8 And then the third way would be through  
9 training. We're going to train our operators to  
10 do a better job. To be better able to recognize  
11 the -- any -- any anomalies that they would see  
12 as they were walking down the plant that would  
13 impact insulation. The key is to be able to  
14 focus the operator on those critical pieces of --  
15 of instrumentations. Those critical lines that  
16 are necessary.

17 Because you walk in the power plant and  
18 you just see a maze of piping, you know. Most of  
19 that piping is -- is going to be fine because  
20 it's got hot fluids going through it. We need to  
21 make sure that we have -- we have specified the  
22 particular pieces that we're going -- that we're  
23 going to look at.

24 We've also -- in addition to the heat

1 trace monitoring, there's other things that we  
2 can do to make sure that the heat trace is fully  
3 functional, and go out and test to make sure that  
4 the heat trace configuration is exactly as we  
5 expect it to be. Many of the issues we saw were  
6 on items of original construction.

7 COMMISSIONER DUFFLEY: Okay.

8 MR. GILLESPIE: And so -- it's no  
9 excuse. We should have configuration control  
10 down pat when we accept turnover from the  
11 facility. But there were some lessons learned in  
12 making sure that, you know, once a -- once a new  
13 facility is constructed, that as the facility  
14 gets turned over to my team, that those  
15 configuration control practices are rock solid.

16 COMMISSIONER DUFFLEY: Okay. Thank you  
17 for that. And then on Page 32 of the South  
18 Carolina report, you had a temporary fix for an  
19 outdoor piece of equipment. Has this piece of  
20 equipment received a permanent weatherization  
21 so --

22 MR. GILLESPIE: It's in progress. This  
23 is some of the work that we're doing at all the  
24 sites -- finishing up. This was an insulation

Page 59

1 piece of work. It should be done by now. We've  
2 got the -- we've got a -- I think it was an  
3 October -- some mid-October due date to go back  
4 and put checkmarks and get endorsements on all of  
5 these repairs.

6 And I apologize for how this repair  
7 looks. It was done in real time, and we just  
8 wanted to get the -- to get the -- the system  
9 back in service. But all the repairs -- so at  
10 the four facilities, all the heat trace repairs,  
11 all the installation repairs will be complete by  
12 cold weather. And most of the repairs are  
13 complete now. The only thing outstanding is  
14 where we were doing upgrades and putting those  
15 systems back together. So we will not go into  
16 the -- we will not go into the winter season  
17 with -- with open repair items.

18 COMMISSIONER DUFFLEY: And you've  
19 anticipated -- my next question is, do you have a  
20 specific date? I heard a mid-October date, but  
21 do you have, like, all of the repairs on these --

22 MR. GILLESPIE: We do. I just can't  
23 spit it out at you right now. And I could get it  
24 for you but -- or I can make one and just go tell

Page 60

1 the organization that we've done it. But just in  
2 fairness to Paul and his team, I'd ask that I  
3 maybe follow back around with you. No -- it's  
4 prior to -- it'll be prior to -- to the  
5 December 1 operational period.

6 COMMISSIONER DUFFLEY: Okay. Thank  
7 you.

8 MR. GILLESPIE: If that helps you.

9 COMMISSIONER DUFFLEY: Yes. That does  
10 help.

11 MR. GILLESPIE: I should have that date  
12 for you.

13 COMMISSIONER DUFFLEY: And you  
14 mentioned on Page 18 of your report today -- you  
15 talked about benchmarking with other Companies.  
16 And you mentioned, "We grabbed the good things as  
17 well." Could you just elaborate a little bit on  
18 what were the good things as well?

19 MR. GILLESPIE: You know -- training.  
20 How we train our operators. All of us train  
21 operators. But, you know, there may be something  
22 that we train our operator on that perhaps one of  
23 our neighboring utilities didn't.

24 And so we kind of -- we bundled up all

1 the good things out of training, out of  
2 monitoring, configuration control. So it's those  
3 things that when you talk around a table, and you  
4 say, you know, I do this, and then -- and it  
5 works for me, but then I find out that, you know,  
6 my counterpart in another facility is -- he's  
7 doing it too, but he's perhaps got something  
8 that's just a little bit better.

9 Those are the list of things that --  
10 that we -- that we capture. The -- out of the  
11 three things that immediately out of the -- out  
12 of the meeting we had right after the event, we  
13 mentioned air dryers. So we were able -- we were  
14 able from that -- from that -- that work to go  
15 and improve our -- our ability to dry air coming  
16 up on our instrument air systems. This -- this  
17 idea about monitoring enclosures is another -- is  
18 another good one.

19 Water availability. Water availability  
20 and flow dividers for dual fuel operation gas  
21 turbine. I mean, it's a mouthful. But in the  
22 end, making sure that -- so dual fuel of oil --  
23 we'll fire CT off oil or we'll fire it off of  
24 natural gas. Well, when you fire it off of oil,

1       you get oil in all those lines to the fuel. If  
2       you just leave it there, it'll just -- it gums up  
3       the works. And when it's time to fire it off  
4       natural gas, it won't work. So you have -- we  
5       come back and we flush all the fuel lines with --  
6       with water to get all the fuel -- fuel oil out so  
7       it trade for natural gas. We found out some --  
8       some ways to go about that in a better way from  
9       the benchmarking.

10               And then a really big one -- a really  
11       big one is this notion of -- of how to combine  
12       cycle plants. How we can keep a combustion  
13       turbine. So combined cycle, combustion turbine,  
14       steam turbine. If we don't have the steam  
15       turbine available to us, how can we keep the  
16       combustion turbine in service without the steam  
17       turbine? By taking the steam that would  
18       ultimately -- ultimately be delivered to the  
19       turbine for power generation and just delivering  
20       that to the condenser -- straight to the  
21       condenser instead. So there's time limits,  
22       temperature limits, there's some operating  
23       procedures that we'll change. But we see a way  
24       that we can keep our combustion turbines in

Page 63

1 service if the steam turbine became unavailable  
2 to us.

3 So all of these -- you take all of  
4 these ideas. You go back, you get them through  
5 your engineering. You get them into your  
6 operational procedures. And what it results in  
7 is, in the end, improved reliability and more  
8 energy that we can give to Sam and his team.

9 COMMISSIONER DUFFLEY: Okay. Thank  
10 you. Then if we could move to Page 35 of the  
11 South Carolina report. You're talking about  
12 cause number three being the curtailed purchases.  
13 And in the second full paragraph, you indicate  
14 that Duke Energy made a series of power purchases  
15 scheduled for December 23rd and 24th on a  
16 day-ahead and intraday basis. I just want to  
17 make sure I understand when these power purchases  
18 were made by Duke. Were they made in the  
19 day-ahead market? Is -- am I reading that  
20 sentence correctly? Or when were the purchases  
21 made? I'll --

22 MR. PEELER: Yeah.

23 COMMISSIONER DUFFLEY: -- make it a --

24 MR. PEELER: They were made --

1 COMMISSIONER DUFFLEY: -- more broad  
2 question.

3 MR. PEELER: -- starting the afternoon  
4 before.

5 COMMISSIONER DUFFLEY: So the 22nd?

6 MR. PEELER: Yeah. And up into later  
7 in the evening so they were progressive.

8 COMMISSIONER DUFFLEY: Okay. Thank  
9 you. And with respect to the units -- I'm going  
10 to go back to Mr. Gillespie. I'm sorry. I'm  
11 jumping around a bit. How are you balancing the  
12 investments in units, like peaker units, that are  
13 nearing retirement, but also making sure that the  
14 units can perform when necessary? Could you  
15 speak a little bit to that balance?

16 MR. GILLESPIE: This is a great  
17 question. And we work this, I feel like, almost  
18 every day. We're asking ourselves about  
19 investment, lifetime of the unit, when the unit  
20 retires. Because as this event shows, when you  
21 get down to the -- when you get down to loads as  
22 big as what we had on Christmas Eve day, these  
23 units become very important.

24 So -- so what I would tell you is this.



1 That we work -- in terms of balancing, we work  
2 harder to repair equipment than we do to replace  
3 equipment. So a large capital investment in an  
4 asset that's going to retire in three years  
5 likely doesn't make sense when you do economic  
6 analysis and payback.

7 In some cases it will. So we  
8 balance -- we've done a -- we've done more about  
9 balancing, how we invest into repair and  
10 maintenance, the operating and maintenance  
11 expenses, as opposed to a complete change out of  
12 the system. So it would not make sense to go  
13 install a brand new widget, if I can repair the  
14 widget -- if the asset's going to be retired in  
15 the next year.

16 So there's -- we just -- we do an  
17 economic analysis. We determine payback. We  
18 operate -- we maintain the units such that they  
19 deliver. All our units that are in service now,  
20 we expect when -- when Sam calls and says I need  
21 whatever unit started up, we expect that unit to  
22 start up. We expect it to run, and we expect it  
23 to run for the duration that it's running.

24 When there is something that occurs on

Page 66

1 a unit that perhaps derates its output, and we --  
2 we step back, and we work with Sam and his team  
3 to find out -- well, the duration is this long.  
4 We got to do this much work. You see the load.  
5 Would you rather us operate? Or would you rather  
6 shut down now and fix it?

7 So we work with Sam. We work with Sam  
8 to determine the timing of repairs. So it's --  
9 it's a -- it's a constant dance. Day in and day  
10 out, with -- and we balance -- we balance the  
11 needs of the grid, we balance the -- with the --  
12 with the work that's required. And then -- but  
13 predominantly, the biggest thing -- the biggest  
14 and toughest decisions we make are between ONM  
15 expenses and capital expenses.

16 And ultimately, you know, we're just  
17 trying to -- we work to make sure that the value  
18 we deliver to the customer is maximized. And so  
19 that means that -- that generally means that  
20 we -- on these older units headed for retirement,  
21 get more repair activities than they do new  
22 widgets installed.

23 COMMISSIONER DUFFLEY: Okay. Thank you  
24 for that explanation. So I'm sure everyone on

Page 67

1       this side of the room listened to FERC's open  
2       meeting last Thursday. And I had a question  
3       about the -- one of the new standards. We  
4       discussed it the last time that the Companies  
5       were in front of this Commission in January. We  
6       talked about the current reliability standards --  
7       the NERC reliability standards.

8               And I just was interested in some more  
9       explanation about EOP-012-1, which -- the last  
10      time the Company was before us, I think it had  
11      just been filed at FERC. And it's my  
12      understanding that standard FERC issued an Order  
13      to work on that standard a bit more. And so --  
14      several questions. The first is, when do you  
15      expect an implementation date of that new  
16      standard?

17             And then the second question is,  
18      have -- have the Companies already actively  
19      started to meet those standards prior to its  
20      implementation? If you could speak to those two  
21      questions, please.

22             MR. GILLESPIE: This is the cold  
23      weather standard?

24             COMMISSIONER DUFFLEY: This is -- this

1 is the -- not the cold weather standard in  
2 response to winter -- Winter Storm Uri, but it's  
3 the additional standard the -- the newer  
4 standard. And it's called, I believe, EOP-012-1.  
5 When we discussed it in the prior briefing, it  
6 was entitled -- I think it was referred to as  
7 Project 2021.

8 MR. GILLESPIE: So I don't have in my  
9 notes -- this specific standard. I apologize.  
10 If this was the standard that came out on the  
11 cold weather -- the cold weather actions that  
12 were needed to be taken -- that was going into  
13 effect, that standard -- that standard was -- was  
14 written to have an effective date. We were --  
15 you had to be in compliance, though, earlier than  
16 the effective date. And we were in compliance  
17 with that standard.

18 COMMISSIONER DUFFLEY: Okay. So I'm  
19 going to refer back to the previous briefing. I  
20 think Danny Damon spoke -- Bennett spoke to this.  
21 So there was the initial standard. It was  
22 EOP-011-2, which had an implementation date of, I  
23 believe, March of 2023. And the Company  
24 indicated that it was compliant with that

1 standard in December of 2022.

2 But then there was a second additional  
3 standard. And that's the standard that I'm  
4 asking about. And so Mr. Bennett stated that  
5 this standard that was filed builds on EOP-011-2.  
6 So the standard that has been filed for approval  
7 requires you specifically understand the  
8 operational limits of your equipment. That you  
9 specifically identify your critical components.

10 And that there is two different  
11 requirements depending on whether you have a new  
12 generation station or an existing generation  
13 station. And that is the standard that I'm  
14 asking about.

15 Are you proactively implementing this  
16 new standard at this point?

17 MR. PEELER: Yeah. Let me try. So  
18 first of all, that standard is still in the  
19 process of being approved. We're familiar -- we  
20 have folks who are less -- or more familiar than  
21 we are, but who are in the details of that. And,  
22 in general, it fits with a lot of what Preston  
23 has described. It is -- but it gives you some  
24 more direction on how to do those things. It

Page 70

1       also has some reporting requirements.

2               But I don't think there's an  
3       implementation date set, and -- because it hasn't  
4       been approved -- but I think it would be best for  
5       us to follow up on your question with -- to make  
6       sure we get it right.

7               COMMISSIONER DUFFLEY:   Okay.   That -- I  
8       would request that you file something in the  
9       docket just stating how compliant you are.  
10      Understanding that there's no current  
11      implementation date within that --of that  
12      standard.

13              MR. PEELER:   We can -- we can certainly  
14      do that.

15              COMMISSIONER DUFFLEY:   Okay.   Thank you  
16      for that.   So now, I have a few Staff questions,  
17      and then I'll open it up to the other  
18      Commissioners.   So, Ms. Bowman, with respect to  
19      the findings from this South Carolina report, do  
20      you -- do you generally agree with all of the  
21      findings that have been presented?

22              MR. GILLESPIE:   I read the report.

23              COMMISSIONER DUFFLEY:   Okay.   Mr.  
24      Gillespie, you're welcome to answer the question.

Page 71

1 MR. GILLESPIE: I feel like it belongs  
2 to me. So I've read it three times, in fact.  
3 And will probably read it three more before it's  
4 all said and done. When you read the report, I  
5 would say this. It's, I think -- factually, it's  
6 correct. The timelines are good. The  
7 information that's presented is good. You know,  
8 if -- if I delve in the report and started  
9 picking at it, it would come across as  
10 nitpicking. Probably defensive, and I won't do  
11 that.

12 Because, I think, factually, the report  
13 is -- is accurate. In a few cases -- in parts of  
14 the report, I think some context would -- would  
15 be helpful in the report. So, for instance, you  
16 know, this condition existed. What was its real  
17 impact to the -- to the ability to serve the  
18 customer? So you know, all in all, it's -- it's  
19 a report that is factual.

20 I would like some more context in some  
21 areas, but there's -- there's nothing about it  
22 that just kept me up at night. Many of their  
23 recommended actions were actions that we're -- we  
24 were already performing or planning on doing. So

Page 72

1       it's not like the recommendations weren't good.  
2       So when I read the report, I think that, by and  
3       large, it's -- it's a -- it's a quality report.

4               It was another view of -- of the  
5       situation that we faced, and we'll keep going  
6       through it -- make sure that, you know, if  
7       there's anything at all that we missed in our own  
8       evaluation that the report pulled out, we'll --  
9       we'll grab it and implement that into operation.

10              COMMISSIONER DUFFLEY: Okay. Thank  
11       you.

12              MS. BOWMAN: And can I just add that I  
13       believe we have completed a lot more of the  
14       corrective actions identified in the report than  
15       the report mentions. So a lot more has already  
16       been completed.

17              MR. GILLESPIE: This is some of the  
18       context.

19              COMMISSIONER DUFFLEY: Okay. Thank you  
20       both for that answer. Now moving to Mr. Grant.  
21       I haven't asked -- have I asked you a question  
22       yet? I don't think so.

23              With respect to the rotational load  
24       shed tool, in reading the reports, it looked



Page 73

1       like, potentially -- just testing this tool in a  
2       simulated environment versus an operational  
3       environment was part of the problem. The Company  
4       didn't realize the issues because the testing was  
5       done in simulation. But I also understand  
6       that -- that -- that the Company did not want to  
7       incur customer outages to actually test it in a  
8       kind of real time operational setting.

9               Can you talk with us about the  
10       cost-benefit analysis currently? About testing  
11       this tool in real time so that everyone is  
12       assured that the tool, hopefully, will never need  
13       to be used again. But that if it is ever needed  
14       to be used again, that it will actually do what  
15       it's intended to do?

16              MR. GRANT: Yeah. So, again, we take  
17       load shed very seriously. And, quite honestly,  
18       to turn off load is a safety -- or a risk to  
19       the -- to our customers and to the public. So we  
20       would not bring that into the equation. That's  
21       why we have really spent a lot of time enhancing  
22       the environment that we test the tool under now.

23              COMMISSIONER DUFFLEY: Okay.

24              MR. GRANT: I spoke to some of those

1 things pretty much. You're right. The testing  
2 before lacked volume as well as the magnitude of  
3 megawatts that were tested. And that, in and of  
4 itself, allowed some of these issues to go under  
5 the radar and were not picked up on.

6 But we feel pretty confident now that  
7 we've enhanced that environment both from a  
8 duration -- amount of megawatts load shed, plus  
9 we've added all the interconnections -- I  
10 shouldn't say all -- a lot of the  
11 interconnections that the tool would have in  
12 play, if it was to actually run in production --  
13 to make sure that we understand -- is there any  
14 other impacts to the tool from other applications  
15 that are being run at the same time.

16 For instance, if, you know -- if the  
17 tagging -- tagging tool is running, it's not  
18 negatively impacting the RLS tool. Or the RLS  
19 tool is not negatively impacting our outage  
20 management system. Those kind of things. We  
21 have that interconnectivity at play now. So I  
22 think we're definitely better postured to see if  
23 there's any issues if we did have to run it in a  
24 production environment.

Page 75

1 COMMISSIONER DUFFLEY: Okay. Thank you  
2 for that. And then, how does the RLS tool take  
3 into account the cold load pickup?

4 MR. GRANT: Well, so as I mentioned  
5 before, we target customers to be out about  
6 15 minutes in duration. That could go a little  
7 longer maybe up to 30 minutes, depending on how  
8 many megawatts you're wanting to shed. But we  
9 feel pretty comfortable that if you keep a  
10 customer out no more than 15 to 30 minutes, you  
11 wouldn't run into those cold load pickup issues.

12 When we had customers out two hours,  
13 three hours, now you definitely introduced that  
14 dynamic into the equation. Of course, that  
15 required us to go out and do sectionalizing, et  
16 cetera, to bring those customers back.

17 COMMISSIONER DUFFLEY: Okay. Thank you  
18 for that. And then, I'm not sure who this next  
19 question goes to. Could you speak more about the  
20 role of energy efficiency and demand-side  
21 management in future extreme cold weather  
22 situations like this? What -- what proactive  
23 metric or tool or procedure that -- has the  
24 Company created to squeeze more benefit from EE

1 and DSM?

2 MR. HOLEMAN: I can address kind of  
3 the -- ensuring that we're utilizing --  
4 maximizing our demand response capability.  
5 That's a part of the grid risk assessment team.  
6 Individuals who own those programs are on those  
7 calls. And we can -- we can, one, know what's  
8 available to us in that particular window of  
9 challenging operating space.

10 And then we can make sure that we're  
11 leveraging the maximum amount of demand response,  
12 DSM, that's available to us at that time. So  
13 those folks are involved in the grid risk  
14 assessment meetings, and they're also involved in  
15 the grid threat discussions as -- as events  
16 evolve to that level.

17 COMMISSIONER DUFFLEY: Okay. Thank  
18 you.

19 MS. SIMS: I can also add that we are  
20 working very diligently right now to enroll more  
21 customers in our programs, and to make sure that  
22 we're doing our very best to educate them on the  
23 benefits for them -- for our customers in  
24 general -- the benefits of energy efficiency and

Page 77

1       our demand response programs, but also for the  
2       grid itself.

3               COMMISSIONER DUFFLEY: Thank you for  
4       that additional information. In a presentation  
5       to the Georgia Public Service Commission,  
6       Southern Company testified that the Carolinas  
7       region is dependent on them to get power from  
8       regions like Florida and MISO. In the same  
9       hearing, they testified that it was a big  
10      purchase from Florida that saved them from having  
11      to curtail -- or load shed. So I guess the  
12      question is, do you agree with this assertion by  
13      Southern Company?

14             MR. PEELER: So I guess, just --

15             COMMISSIONER DUFFLEY: The -- the  
16      tendency --

17             MR. PEELER: -- just to clarify.

18             COMMISSIONER DUFFLEY: -- that --

19             MR. PEELER: The dependence on getting  
20      power from Florida to the Carolinas?

21             COMMISSIONER DUFFLEY: And MISO.  
22      Mm-hmm.

23             MR. PEELER: And MISO. In general,  
24      that would be true. However, rarely is there any

Page 78

1 power from Florida or MISO coming to the  
2 Carolinas.

3 COMMISSIONER DUFFLEY: Okay.

4 MR. PEELER: That's a -- that's a  
5 really -- that's a long putt. Right. So to --  
6 to make that happen. That would not be a primary  
7 place we will be looking for -- for support.

8 COMMISSIONER DUFFLEY: Okay. Thank you  
9 for that.

10 MR. HOLEMAN: And just one more point  
11 on that. So in our discussions with Southern  
12 Company, our peers at Southern Company, they have  
13 long-standing relationships -- contractual  
14 relationships into Florida. And so that -- that  
15 is what helped them to avoid getting to that  
16 point of -- of having to load shed. So -- so  
17 they were taking all the available resources out  
18 of Florida because they had the contractual  
19 relationships. They're directly connected  
20 through Georgia Power. And so that -- there  
21 wasn't anything for us to get from Florida on  
22 that particular day.

23 COMMISSIONER DUFFLEY: Okay. Well,  
24 thank you for answering the questions. I'm going

Page 79

1 to open it up to other Commissioners.

2 Commissioner Clodfelter?

3 COMMISSIONER CLODFELTER: Just a couple  
4 of things. Mr. Jirak, the copy of the ORS report  
5 that we have is the public copy, which contains  
6 all the redactions and particularly some of those  
7 redactions that would be of interest. Is the  
8 Company -- are the Companies willing to provide  
9 this Commission with an unredacted copy filed, of  
10 course, with appropriate confidentiality  
11 designations for public purposes, so that the  
12 Commission can see the full -- full report?

13 MR. JIRAK: Yes, of course. We'd be  
14 glad to do that.

15 COMMISSIONER CLODFELTER: Thank you.  
16 Thanks very much. There was -- in the ORS  
17 report, there's a -- there's a reference to the  
18 fact that the Companies made a decision not to  
19 activate 40 megawatts of demand-side management  
20 capacity that could have been called upon, and I  
21 just want to hear discussion about the reasons  
22 for that.

23 The reference is that these were  
24 residential DSM programs, and that they were not

Page 80

1       activated. So I just -- can someone talk to me  
2       about the decision-making of why that was not  
3       called on? I think the -- I think the ORS  
4       report -- I'm sorry. I don't have the page  
5       reference in front of me. It says that the  
6       Companies made a decision not to call upon that  
7       on the 24th but hold it in reserve for a later  
8       date. Is that accurate? Is that your -- I see a  
9       lot of puzzled looks there.

10               MR. JIRAK: Give us one minute. See if  
11       we can put our --

12               COMMISSIONER CLODFELTER: Sure.

13               MR. JIRAK: -- fingers on the right  
14       page.

15               COMMISSIONER CLODFELTER: My apologies.  
16       I made a note of it, but I don't have the actual  
17       report in front of me.

18               MR. JOSEY: I believe the reference is  
19       on Page 55 of the report.

20               COMMISSIONER DUFFLEY: Thank you,  
21       Mr. Josey. Page 55.

22               MR. GILLESPIE: On page 55 I see  
23       customer communication. So I must have a  
24       different --



Page 81

1 MR. JOSEY: I'm looking at the PDF.

2 COMMISSIONER CLODFELTER: Actually,  
3 it's on Page 44.

4 MR. JOSEY: 44. Sorry about that.

5 COMMISSIONER CLODFELTER: Under Section  
6 4.3. Carries over to Page 45. On December 24th,  
7 Duke Energy chose not to utilize certain load  
8 reduction programs with total capacities of 40  
9 megawatts.

10 MR. PEELER: We can follow back up. I  
11 think -- there's a comment in here, I think,  
12 that's part of it, is that it was a -- one of the  
13 programs was a commercial program, and it was a  
14 holiday. So not an expectation to get anything  
15 out of it because the businesses were closed.  
16 But we can follow up with more detail.

17 COMMISSIONER CLODFELTER: It's not like  
18 it would have changed the events of the day.  
19 That 40 megawatts would not have -- I really am  
20 just curious about the decision-making rationale.  
21 That's all.

22 MR. HOLEMAN: We were -- we were  
23 looking to execute anything that would have an  
24 effect that morning. But we'll follow up. Yes,

1           sir.

2                       COMMISSIONER CLODFELTER: Thank you.

3           Mr. Gillespie, there's also -- again, I made  
4           notes, but I didn't bring the report actually  
5           with me. I brought my notes. The -- there's a  
6           reference in the ORS report to a couple of remote  
7           CT starting problems. Can you just sort of say a  
8           little bit more about what happened there, and  
9           what corrective actions the Company has taken to  
10          avoid that problem in the future?

11                   MR. GILLESPIE: So I think the report  
12          specifically mentioned a few of our older CTs  
13          had -- had fluid.

14                   COMMISSIONER CLODFELTER: Right.

15                   MR. GILLESPIE: I think there were four  
16          of them. We got -- we got two of them started  
17          quickly. One, we trouble-shot, and the other  
18          one, we ended up having to do some repairs on.  
19          Determined -- determined there was a bad card --  
20          bad controls on that. But these are -- these are  
21          reports -- these are -- these are machines that  
22          don't run very often.

23                   COMMISSIONER CLODFELTER: So these were  
24          not weather-related issues. They were just --

1 MR. GILLESPIE: They were not weather  
2 related. They were -- I think they had not been  
3 run perhaps since -- since that summer. Which is  
4 a lesson learned for us, you know --

5 COMMISSIONER CLODFELTER: Again, to  
6 your point -- in your dialogue earlier with  
7 Commissioner Duffley about your decision-making  
8 about when to replace and when to repair.

9 MR. GILLESPIE: So these are oil fired  
10 CTs. They sit down near the hydro-plant just --  
11 just off the Pee Dee River as you're coming in.  
12 As you're going over --

13 COMMISSIONER CLODFELTER: That's why  
14 it's -- the question is since they were oil  
15 fired, I didn't know whether the cold weather  
16 event had any causal connection to your  
17 difficulty starting those units.

18 MR. GILLESPIE: Not really. I think --

19 COMMISSIONER CLODFELTER: Okay.

20 MR. GILLESPIE: We had some cold  
21 weather. You know. We had -- we had a CT at  
22 Mill Creek that didn't immediately fire up on  
23 oil. We transferred it to natural gas. Got it  
24 up and running in 30 to 40 minutes. We had -- we

Page 84

1 had these units. I think it was two, but anyway,  
2 we had some of these units running quickly.  
3 Within a matter of hours.

4 There was one that we ended up having  
5 to do some more repairs on. And so what we're  
6 doing about that is in the future, we'll --  
7 we'll -- we'll pick where we stage some of our  
8 technicians to be there on site at these remote  
9 units. Have them pay more attention to the ones  
10 that don't run quite as often. And, again, we'll  
11 look at the frequency of starts.

12 COMMISSIONER CLODFELTER: Thank you.  
13 That's all I have.

14 COMMISSIONER DUFFLEY: Commissioner  
15 McKissick?

16 COMMISSIONER MCKISSICK: Just a couple  
17 of questions. Not many. So I think Commissioner  
18 Duffley did an excellent job of covering the  
19 landscape. I gather that in the past, you had  
20 not experienced this type of extreme weather in  
21 December. And your regression analysis and  
22 forecasting tools did not project that you would  
23 need to have the capacity that was actually  
24 needed during this Winter Storm Elliott.

Page 85

1                   And I gather some of the -- some of the  
2                   systems you had out there were down due to just  
3                   routine maintenance that was being performed.  
4                   Now, in light of the fact that you now have that  
5                   history of this type of weather event, moving  
6                   into the month of December, do you reasonably  
7                   anticipate that whatever normal maintenance that  
8                   might be required that would cause you to not  
9                   have available certain capacity that you would  
10                  continue with that practice?

11                  Or would you, in the future, try to get  
12                  that work done before December rolls around? I  
13                  mean, it's just a basic question as to what your  
14                  practices will be moving forward in light of this  
15                  history that you've observed and experienced.

16                  MR. GILLESPIE: That's right. So, you  
17                  know, we talked about outage optimization. And a  
18                  key piece to that would be to get in and out of  
19                  our outages by December. This year we, you  
20                  know -- we worked on that. We scheduled our  
21                  outages such that they are -- they'll be complete  
22                  by the first week in December. Its -- I go back  
23                  to these shoulder months.

24                  So if you look at when, like, our hydro

1 units can do their outages. Well, they get --  
2 there's -- there's all different types of  
3 competing effects as when you schedule. They can  
4 or can't be out during the summer. What the  
5 water flows have to be in order to allow the  
6 units to be out of service and the like. And so  
7 we take all of that into account.

8 But for -- but -- but in the end, we're  
9 optimizing our outages to minimize any outages in  
10 December. And certainly our big thermal  
11 generating sites to be out of outages prior to  
12 the -- prior to the December month. Another  
13 interesting thing we're doing too is just like  
14 the, you know, where you sequence your outage and  
15 when we -- we're informing outage start dates by  
16 the risk of some of the work activities that  
17 we're doing.

18 So if you're doing inspections, say at  
19 nuclear, and if you find the condition you're  
20 expected for, and it's going to push your outage  
21 out further into the cold weather months. And we  
22 should inform our start date by that information.  
23 So we're really -- we're adding a level of  
24 sophistication to our outage scheduling process

Page 87

1 to ensure that, you know, we maximize the energy  
2 available to Sam and his team to deliver to the  
3 customer.

4 COMMISSIONER MCKISSICK: Okay. And --  
5 and I guess another question that came to my mind  
6 in reading this South Carolina report, it looks  
7 like you have this internal meteorological team  
8 that was out there really doing his job. And  
9 suggesting, you know, apparently, as early as  
10 December 12, what you might expect.

11 And certainly by December 21st, you  
12 know, making projections about what that  
13 temperature range was going to be, you know, 15  
14 to 20 degrees colder than what would have been  
15 typically forecasted and -- and then actually  
16 going there and saying windchill factor will be  
17 five -- negative five degrees up to a positive  
18 five degrees. They were factoring in the  
19 windshield.

20 I mean, it seems like they had insights  
21 that clearly suggested that you were not going to  
22 have enough generating capacity available to meet  
23 the demands that were forthcoming. Now, that was  
24 my read of what was in that report. So -- yeah.

Page 88

1 MR. PEELER: Yeah. I'll respond, sure.  
2 So two -- two things, there's forecasting  
3 weather, and then there's translating weather  
4 into load.

5 COMMISSIONER MCKISSICK: Yes.

6 MR. PEELER: And so the -- the  
7 challenge here was the weather forecast was  
8 fairly close, particularly as we got closer to  
9 the day. It was fairly close. The challenge was  
10 translating that weather into the customer  
11 behavior and the load performance. That's where  
12 our model struggled.

13 The meteorologists did a pretty good  
14 job of getting the weather right, but translating  
15 it into the actual load that we would anticipate  
16 is where this -- the regression model and all  
17 things we've been talking about, didn't perform  
18 like -- like it needed to. That's the -- that's  
19 the gap, which is -- we're taking on -- you know,  
20 we spoke about a number of actions we're taking  
21 to try to close that gap.

22 MR. GILLESPIE: And if I could add?

23 COMMISSIONER MCKISSICK: Sure.

24 MR. GILLESPIE: We were taking action



1 based on -- on the weather and how it translated  
2 into load. We brought six of our units into  
3 service between the 12th and toward the 18th as a  
4 result of the changing forecasts. So we were  
5 looking at -- at what energy was available out on  
6 the market as a result of these changing  
7 forecasts.

8 So we're proud of the weather -- the  
9 weather team. They give us good information.  
10 They were giving us good information. We were --  
11 we were actively working that information.

12 COMMISSIONER MCKISSICK: So back during  
13 Winter Storm Elliott when you were getting that  
14 good information, I mean, was there any degree of  
15 effort to reevaluate in that ongoing period? I  
16 mean, having seen what was forthcoming and trying  
17 to, you know, reevaluate, in a real time basis,  
18 what you needed to do to take those factors into  
19 consideration.

20 And looking at what that increased  
21 demand would work into in terms of customer  
22 behavior. I mean, I'm just wondering, in that  
23 real-time period. I mean, understanding those  
24 efforts that seem to have been taken to mitigate

1 things.

2 MR. PEELER: Yeah. So the -- the  
3 forecast was -- was updated multiple times per  
4 day, throughout the week, as we, you know, begin  
5 getting, you know -- fine-tuning in on the  
6 weather itself. And we planned to that forecast.  
7 And so actions were taken all week long, even the  
8 night before, to either bring additional units  
9 online, or make purchases to make sure we had  
10 adequate reserve margin.

11 And then for a number of the reasons  
12 we've talked about, that did not work out.  
13 Right? Either purchases didn't show up, or we  
14 had some generation challenges, and the forecast  
15 was different. But, absolutely, all the way  
16 through, I think you can see steps taken to plan  
17 for what we believed was the forecast.

18 And, again, it was -- it was not  
19 completely accurate. But the forecasts were  
20 updated multiple times per day to take that into  
21 account.

22 COMMISSIONER MCKISSICK: It seemed like  
23 the South Carolina report suggested that you  
24 didn't do much between the 23rd and the 24th to

Page 91

1 go back and reevaluate what --

2 MR. PEELER: Those are some of the  
3 nuances that we don't completely agree with in  
4 the report of their characterization of not  
5 updating forecasts. The forecasts were updated.

6 COMMISSIONER MCKISSICK: So you would  
7 take issue with that characterization in the  
8 report?

9 MR. PEELER: We would.

10 COMMISSIONER MCKISSICK: And, of  
11 course, you went out and made purchases. And I  
12 want to really understand. When there is a firm  
13 commitment. When you know that it's going to be  
14 delivered rather than curtailed. Because I used  
15 to, prior to this incident involving Winter Storm  
16 Elliott, think that the word firm and firm -- not  
17 firm with an asterisk that stated, you know, "If  
18 available, we will deliver, and it may be that  
19 when you need it the most, we will deliver  
20 nothing."

21 Because that's what happened.

22 MR. PEELER: Yeah. So -- so my  
23 experience, that's the first time I'm aware of --  
24 we had a firm purchase curtailed.

1 COMMISSIONER MCKISSICK: This is the  
2 first time.

3 MR. PEELER: Yeah. So we thought firm  
4 meant firm as well. And, certainly, I  
5 understand, and I'm sure you've seen, PJM's  
6 reports and so forth on their situation. The  
7 amount of generation loss so -- but again, firm  
8 to us was firm. We were anticipating that being  
9 delivered like it has been many times.

10 COMMISSIONER MCKISSICK: Historically.

11 MR. PEELER: Yeah.

12 COMMISSIONER MCKISSICK: Moving  
13 forward. In light of that, I mean, are you  
14 reevaluating, you know, what to do in terms of  
15 firm commitments? I mean --

16 MR. PEELER: Yes. I think that you're  
17 going to a really great point. So, one, we  
18 certainly evaluate, you know, the -- where the --  
19 where the energy is coming from. In this  
20 particular case, there really wasn't another  
21 option. There wasn't, you know -- you talked  
22 about Southern Company's situation. So we didn't  
23 have a lot of option. But we're -- we're  
24 certainly evaluating, you know, how much we can

1 depend on outside purchases to serve our peak  
2 loads.

3 And, you know, not to bring it up here,  
4 but certainly we'll be talking about that in the  
5 CPRP discussions that are coming soon. But  
6 we're -- risk evaluating is the risk of -- of the  
7 imports during peak times. What -- what can we  
8 rely on? And what do we need to be able to  
9 generate ourselves so that our customers are --  
10 you know, have -- have an adequate supply? So,  
11 absolutely.

12 COMMISSIONER MCKISSICK: And I am glad  
13 to hear that's the way you're approaching it  
14 because I would -- with that experience, and  
15 knowing that extreme weather events are probably  
16 more likely moving forward, that, you know --  
17 that to deliver a degree of certainty or to -- to  
18 have actual reserves that are your spinning  
19 reserves, would likely be a better --

20 MR. PEELER: Yeah. We certainly have  
21 to evaluate that with the way, you know, the  
22 resource mixes are changing for everybody, the  
23 types of resources that are available. So we're  
24 definitely considering that.

Page 94

1 MR. HOLEMAN: Commissioner McKissick.

2 COMMISSIONER MCKISSICK: Sure.

3 MR. HOLEMAN: I'd like to add  
4 something. So in my 38 years in the industry,  
5 firm purchases have served a lot of purposes, and  
6 they've been highly dependable, as Mr. Peeler's  
7 referenced, but it's always been the  
8 understanding that the seller's customers are  
9 more important than the buyer's customers.

10 If they're at the place of where  
11 they're fixing to shed firm load, they will cut  
12 you. That's the nature of the market. And PJM  
13 was on the verge of shedding their own customers,  
14 and so they could have gone two ways. They could  
15 have gone to transmission loading relief process  
16 and cut the schedule, or they could have cut the  
17 schedule based on the inadequacy of their  
18 generation. But that is the nature of depending  
19 on firm purchases.

20 COMMISSIONER MCKISSICK: Got it.

21 MR. GILLESPIE: This is partly what is  
22 motivating us in terms of our reserves margin,  
23 and the need for additional reserve margins.  
24 Because when you look at what can you count on

1 the markets deliver -- to deliver, when can you  
2 count on the market to deliver. And when you --  
3 when you put all that in the mix, it clearly  
4 points to the need for increased reserve margins.

5 COMMISSIONER MCKISSICK: And based upon  
6 the South Carolina report, it seems like I also  
7 recall where Duke Energy was still actually  
8 serve -- selling power to other entities as early  
9 as, I guess, around the 23rd or so; is that  
10 correct?

11 MR. PEELER: It is. So when we had  
12 available energy, we were providing energy to  
13 TVA. Again, while we had -- it was available --  
14 to prevent them from shedding more load. They  
15 would have, you know, again, that would be a --  
16 utilities would do that. They would do the same  
17 thing if they --

18 COMMISSIONER MCKISSICK: Right.

19 MR. PEELER: -- had the available  
20 energy. And then, you know -- also we had some  
21 sales to South Carolina Utilities over this event  
22 as well.

23 COMMISSIONER MCKISSICK: Okay.

24 MR. PEELER: That did not --

1 COMMISSIONER MCKISSICK: It didn't  
2 impact it because --

3 MR. PEELER: That was when --

4 COMMISSIONER MCKISSICK: -- was being  
5 sold.

6 MR. PEELER: We were not in a situation  
7 where we were shedding a load at those points in  
8 time.

9 COMMISSIONER MCKISSICK: It was just  
10 before that event, I gather.

11 MR. PEELER: And after.

12 COMMISSIONER MCKISSICK: And after.  
13 Right. And in terms of this rotational load  
14 share tool, I gather there were problems because  
15 of software updates that had occurred. Do you  
16 know when those software updates had occurred as  
17 it related to this particular storm event?  
18 How -- how far in advance had they occurred?

19 MR. GRANT: Now, the actual software  
20 patches that we installed were known issues known  
21 to the vendor. Unbeknownst to us, those software  
22 patches existed or that that issue existed. So,  
23 of course, once we engaged with -- with our RLS  
24 vendor, they did let us know those patches



Page 97

1           existed, and we then installed them.

2                       But that's why we have since -- we got  
3           a very proactive approach with that vendor.  
4           We're having weekly meetings with that vendor to  
5           make sure we're aware of anything that's popping  
6           up from an industry perspective around RLS tool.  
7           And, again, any software patches that would be  
8           applicable to the versions of RLS that we're  
9           running as well.

10                    COMMISSIONER MCKISSICK: And in terms  
11           of interoperability -- in terms of your ability  
12           to use -- once those software patches occur, I  
13           take it it interfered with your ability to  
14           actually use the tool effectively. Is that a  
15           correct assessment? Or is that an incorrect  
16           statement?

17                    MR. GRANT: I mean, again, the latency  
18           issue, as well as the issue with the tagging  
19           function -- again, both of those were known.  
20           They were known to our vendor, they were not --  
21           they were not known to us at the time.

22                    COMMISSIONER MCKISSICK: And I know, in  
23           response to Commissioner Duffley's question, she  
24           asked about this rotational load share tool and,

1       you know, how you went about testing it, things  
2       of that sort. And I know your response is you  
3       don't really want to do it in real time to  
4       negatively impact customers.

5               But do you think that if customers were  
6       aware that they might be subject to a potential  
7       test, that it might be worthy of periodically, in  
8       real time, conducting a test and just providing  
9       notifications in advance that we want to be  
10      prepared in the future. So this particular day,  
11      a weekend, or whatever it may be, we intend to try  
12      to test it so we can make sure everything is  
13      working and will work effectively in the future.

14             And, you know, in using the  
15      notification systems that you have as well as  
16      other tools to forewarn people so that they can  
17      perhaps even feel a sense of confidence even  
18      though they might be inconvenienced.

19             MR. GRANT: We have not considered  
20      actually running the system in production to  
21      basically test it. That's why we've enhanced  
22      that testing environment to include about  
23      anything we can think of, as far as  
24      interconnection, the data that's being

1 transferred, etc.

2 So I think we feel like that we've  
3 vetted out the issue with the tool and addressed  
4 both the volume issues, as well as the duration  
5 issues that we weren't testing earlier on. That  
6 allowed some of these things to go under the  
7 radar screen and not be -- not be detected. So,  
8 you know, I don't think -- well, one thing that  
9 did come out of the 24th event -- we did prove  
10 that the load shed tool would trip breakers, and  
11 it would restore breakers. So we know that's  
12 taking place as well.

13 It's something we can consider. But I  
14 think we feel pretty comfortable with the  
15 environment that we've set up for going forward.  
16 And also the regular meetings with the vendor  
17 should keep us on top of any software patches or  
18 any industry issues that come up.

19 COMMISSIONER MCKISSICK: And I'm just  
20 curious. Do you know of any other utilities  
21 elsewhere that might have actually tried it? I  
22 mean -- and I have confidence that, you know,  
23 what you have -- measures you have taken  
24 proactively will, hopefully, resolve the

1 potential issues or problems that could occur in  
2 the future. But I'm just curious if anybody  
3 actually had done it in real time?

4 MR. GRANT: I'm not aware of anyone  
5 that's actually ran their RLS tool in order to  
6 prove it out from a testing perspective in  
7 production.

8 COMMISSIONER MCKISSICK: I got you.  
9 And then lastly, I know right now you say that  
10 there's like 90 percent of the customers you have  
11 either e-mail addresses for or ability to text  
12 message them or -- or to communicate with them.  
13 What percentage would it have been at the time  
14 Winter Storm Elliott occurred?

15 MS. SIMS: We went back and looked and  
16 we believe it was between 60 to 75 percent,  
17 depending on the state and the area. But in  
18 North Carolina, we have quite a few mobile  
19 numbers for our customers, at least over  
20 60 percent, and even more e-mail addresses.

21 COMMISSIONER MCKISSICK: And what  
22 measures were taken to actually get it from 70 to  
23 90, because I commend you on doing that. Because,  
24 I mean, that's -- that will help a lot if these

1 events have to take place in the future.

2 MS. SIMS: Great question. So what we  
3 did was a series of measures. So we went through  
4 and auto-enrolled customers that had started  
5 service since the beginning of this year, which  
6 is something that we typically do on an annual  
7 basis. We just hadn't done it yet. This was the  
8 end of the year. We had done -- needed to start  
9 and do some of that this year.

10 So we needed to refresh it. So we  
11 refreshed those. But secondarily, what we did is  
12 that in the past we've had a feature within our  
13 outage alerts that customers, while they're  
14 experiencing an outage, if they're getting  
15 updates quickly, they can -- they can type  
16 "stop," and they'll stop getting outage alerts.

17 Well, that was unenrolling customers in  
18 the program. So then they were no longer  
19 enrolled. And we didn't have a process at that  
20 point to go back and reenroll them. So they had  
21 to take a step to do that. Since then, we have  
22 gone back and added a pause feature to outage  
23 alerts. So that customers can now type pause  
24 instead of stop.

1                   And we've gone back and done an active  
2                   campaign to reenroll those customers who, in the  
3                   past ever since we've launched outage alerts,  
4                   have typed "stop." So that was really what got  
5                   us back to the 90 percent.

6                   COMMISSIONER MCKISSICK: Well, that's  
7                   good to know, and I commend you for taking those  
8                   efforts. Because I think communication is  
9                   critical if you're facing this type of potential  
10                  down shedding event. And, unfortunately, I don't  
11                  think communication was optimal. And, obviously,  
12                  this was an unprecedented event. I hope that the  
13                  lessons that you learned, that we all learned,  
14                  have been an excellent tool to serve as kind of a  
15                  roadmap for what can be done better.

16                 And I feel pretty good with what I've  
17                 seen here. I know the Public Staff continues to  
18                 have some concerns, and I went through some of  
19                 their data requests. And I guess they will speak  
20                 to some of those issues at the appropriate time.  
21                 But I'm cautiously optimistic that we're a lot  
22                 further along in terms of mitigating the need for  
23                 a down -- a downloading -- down shedding event --  
24                 load shedding event, I should say, in the event

1 we were facing similar circumstances of extreme  
2 weather in the future.

3 COMMISSIONER DUFFLEY: So I have a  
4 follow up question with respect to PJM imports.  
5 And I think I remember when you came in January,  
6 you had talked about you're going to reassess, I  
7 think it was 2000 megawatts maybe of those  
8 imports. But it reminded me of a question that  
9 in PJM's report they stated, "If PJM had not  
10 provided this assistance, it is likely that Duke  
11 Carolinas and Duke Energy Progress would also  
12 have had to engage in more load shedding."

13 So could you please speak to that? And  
14 do you agree with that statement?

15 MR. PEELER: Yeah. So, like, the --  
16 the energy that we had purchased out of PJM -- we  
17 had firm and nonfirm purchases. They were cut  
18 across our peak. All of them. Which is when we  
19 were short. So I don't agree with that  
20 statement. We did get energy prior to the peak  
21 and after the peak. But again, that's not when  
22 we were short. So I don't -- I don't know the  
23 specific reference in the report. But we  
24 didn't -- we did not really benefit significantly

1 from the -- from them during this event.

2 We were -- We were surprised by the  
3 very short nature of the -- the cutting of those  
4 schedules.

5 COMMISSIONER DUFFLEY: Okay. Thank  
6 you. I did want you to speak to that statement.  
7 Thank you very much for that. And -- and  
8 Mr. Holeman, I appreciate your response to  
9 Commissioner McKissick. And I understand the  
10 difference between a firm purchase and network  
11 customer. But it seems like if -- if the  
12 scenario is, you take care of your own customers  
13 first, should seem to work with network customers  
14 as well. And that's -- that was the purpose of  
15 my questioning earlier to you today is looking at  
16 that concept in transmission service as well.

17 MR. HOLEMAN: And we are working on  
18 that relationship, and how we would handle that in  
19 the future.

20 COMMISSIONER DUFFLEY: Thank you. So  
21 with that, Commissioner Hughes, you had a  
22 question?

23 COMMISSIONER HUGHES: Yes. I know a  
24 lot of what we've been discussing this morning,



Page 105

1 and the focus of the investigation has been on  
2 equipment and software and communication. And  
3 you've talked a lot about all the impressive  
4 measures that you're -- you're doing to address  
5 those.

6 I'm just curious. In our situation,  
7 and I know we're structured completely different  
8 than -- than some of the other states where we've  
9 been reading about how they cope with similar  
10 situations, but given -- given in our situation,  
11 I haven't heard anything really about economic  
12 tools, which are the principal tool in some of  
13 the other states. Granted, they're -- they're  
14 set up much differently.

15 Has this experience kind of made anyone  
16 think about how the economic tools we do have,  
17 which, when I say economic tools, pricing,  
18 penalties, that sort of thing. Just curious, has  
19 there been any discussion about those? I mean,  
20 particularly following up on some of the  
21 questions we've had about, like, when firm gets  
22 curtailed?

23 You know, I don't know if we had -- if  
24 PJM has a penalty that they have to pay. But for

1       your relationship with some of your wholesale  
2       customers -- and I know in this particular  
3       incident it's very specific and it might not  
4       work. I'm just curious where economic tools kind  
5       of fit into the general discussion moving  
6       forward?

7               MR. HOLEMAN: I think in terms of the  
8       tariff, there is a mechanism within the tariffs.  
9       It's energy and balance, and it's kind of done  
10      over a monthly period. If a particular network  
11      customer is long or short, they pay -- they're  
12      compensated at a less than incremental cost or  
13      they pay higher than an incremental cost there  
14      is -- there is an economic driver there.

15             My observation is that that works well  
16      in more steady state scenarios. It doesn't work  
17      as well in these emergent type of events like we  
18      experienced on the 24th.

19             COMMISSIONER HUGHES: So that -- Okay.  
20      That's -- that's the extent.

21             MR. PEELER: Well, I mean, all of our  
22      demand-side programs are economic. Right.  
23      They're incentive in some manner. They incent  
24      customers in some manner to participate. I guess

Page 107

1 the discussion can be are they -- there are not  
2 penalties, they're -- there are incentives for  
3 participation.

4 So that's something, you know, we're  
5 certainly looking for ways to expand. Right.  
6 But we have -- I'm not aware of if we want the  
7 penalties for the majority of those programs.  
8 But as Sam mentioned, there is a penalty for the  
9 network customers. But it's -- it's probably  
10 meaningful in normal operations. Not so much in  
11 an extreme event.

12 COMMISSIONER HUGHES: Okay. Well,  
13 turning around on the incentives for -- even for  
14 the DSM programs. I mean, any research that  
15 shows that tweaking the incentives could create a  
16 lot more participation? I mean, is the -- is the  
17 level of incentive something that is being looked  
18 at?

19 MS. SIMS: Yes. Absolutely. So there  
20 are a number of pilots right now that we're  
21 running across our areas with different types of  
22 customers to see not just behavioral demand  
23 response, to see what types of messaging could  
24 work. But also, what could those incentives look

1       like. We could follow up with a more -- with  
2       more specific details around those programs,  
3       though.

4               COMMISSIONER HUGHES: Okay. That's  
5       all. Thank you.

6               (Speaker overlap.)

7               MR. HOLEMAN: So a lot of the -- lot of  
8       the programs that I've read about, like, in  
9       California, for example, they -- I think there's  
10      some evidence that it worked when they appealed  
11      for some customer reduction during a high demand  
12      period. But the problem is, there's no  
13      certainty.

14              COMMISSIONER DUFFLEY: Right.

15              MR. HOLEMAN: And there's no -- there's  
16      no analytics that tell you how much you're going  
17      to get. You're making a plea for help. If it  
18      works, great. But it's -- Taryn would know more  
19      about it than I do, but the certainty of what  
20      you're asking for is not there. And are you  
21      going to get it the next time you ask if you have  
22      two straight days of that kind of situation?

23              And I think that's where -- that's  
24      where we've got to get in terms of clarity of

1        what we're asking for, and what we're going to  
2        get. Because if you don't, it just adds to the  
3        uncertainty. And when you add uncertainty in a  
4        real time situation, you got to add margin to  
5        deal with the uncertainty. So there is a certain  
6        degree of a balancing act as we -- as we move  
7        forward in that space.

8                    COMMISSIONER DUFFLEY: Commissioner  
9        Kemerait?

10                   COMMISSIONER KEMERAIT: Following up  
11        about -- with the DSM discussion. Can you  
12        elaborate a little bit more on how the  
13        improvements that have been made so that DSM can  
14        be called upon or used to the maximum extent  
15        possible during holidays and weekends? Because I  
16        think that was a problem during Winter Storm  
17        Elliott.

18                   MR. HOLEMAN: So what we're doing is --  
19        there are -- DSM owners within the Company have  
20        always been a part of what was historically  
21        called the tailgate process. But now we  
22        formalized that with this grid risk assessment  
23        process. They're involved.

24                   And so when -- when we get to the point

Page 110

1       where, in a grid threat, we will know exactly how  
2       much DSN exactly -- it's probably -- we will know  
3       how much DSM is available to us during that  
4       period of time. Is it a holiday? Is it a  
5       weekend? That kind of thing. We'd have -- we  
6       will have more certainty as to -- as to the  
7       effect of DSM as we execute it.

8               So that's -- that's a part of what  
9       Mr. Peeler talked about. The formalization of  
10      this process. We get all the right people in --  
11      in the room. We make sure we're not leaving  
12      something out. And then we develop the plan in a  
13      grid threat scenario to execute that in a timely  
14      manner, which would include the timing of the  
15      need.

16              COMMISSIONER KEMERAIT: Okay.

17              MR. HOLEMAN: Taryn, is that fair?

18              MS. SIMS: Absolutely.

19              COMMISSIONER KEMERAIT: And then, I  
20      think this is for Mr. Gillespie. So the -- my --  
21      I've got a couple of questions about this. But  
22      what I'm trying to better understand is  
23      improvements to processes for being able to get  
24      generation resources that are not online.

Page 111

1           Getting them available during emergency  
2           situations like Winter Storm Elliott.

3                       So I'm going to -- the -- I'm going to  
4           be asking about the planned outages that you've  
5           talked about, and then also about the generation  
6           units that are in the extended planning reserve.  
7           And so -- so I'll start with the -- the planned  
8           outages.

9                       And I think that you -- you testified  
10          that the outage schedule had been -- had been  
11          improved or updated. So that the thermal  
12          generation would be concluded by the -- the first  
13          week of December. What was the outage schedule  
14          for thermal generation last year in 2022?

15                      MR. GILLESPIE: Well, we had -- we had  
16          one of our nuclear units that was out of service.  
17          We had -- I think it was four of our coal units  
18          out of service, but two were in EPR. Two were  
19          down for forced outages and not in planned  
20          outages. So we're due down -- we were out  
21          service due to equipment repair.

22                      And then we had one combined cycle that  
23          was out of service. It was a maintenance outage.  
24          A forced outage for equipment repair, as well.

1        So, you know, out of all of that, we had small  
2        amounts of hydro. If you look at the hydro, we  
3        had -- I summed it up. It was some -- maybe 5 or  
4        600 megawatts of hydro out. I can get that  
5        number.

6                But the predominant -- predominantly,  
7        it was made up of one bad creek unit. 340  
8        megawatts that was out of service. These are  
9        long duration -- planned out just to upgrade and  
10       upgrade the units. And had that outage been  
11       finished, we would have taken unit four out of  
12       service and moved right into -- into that  
13       upgrade.

14               So -- so for the large thermal  
15       generating units -- Robinson -- Robinson's outage  
16       had extended. That was the planned outage. The  
17       rest of the thermal generating sites were in  
18       maintenance outages, with the exception of the  
19       EPR units Allen 1 and 5.

20               COMMISSIONER KEMERAIT: So for the  
21       Robinson nuclear outage, was the -- did you have  
22       an outage schedule in place in 2022? Where the  
23       intent was to have all planned outages completed  
24       by the first week of December. Was that --



Page 113

1 MR. GILLESPIE: The first week in  
2 December is something that we have done since  
3 December of 2022.

4 COMMISSIONER KEMERAIT: Okay.

5 MR. GILLESPIE: So that was an outcome  
6 of some of the work that -- that we were doing  
7 was to -- to really squeeze in the shoulder  
8 months.

9 COMMISSIONER KEMERAIT: And then for  
10 the -- for the planned outages, my understanding  
11 is is that it is either impossible or very  
12 difficult to terminate planned outages so that  
13 generation can be brought online during emergency  
14 situations. At least that was my understanding  
15 at the time of Winter Storm Elliott.

16 Are there any changes or improvements  
17 to that? Where a planned outage could be? Is  
18 there a change or an ability to terminate planned  
19 outages so that generation can -- can assist  
20 during emergency events like Winter Storm  
21 Elliott?

22 MR. GILLESPIE: Yes. A very fair  
23 question. So -- well, first of all, it's  
24 possible to terminate a planned outage. So it is

1 possible. It is difficult, but we do difficult  
2 things all the time. So what you would have to  
3 do with a planned outage? The answer -- so the  
4 answer then becomes -- to your question becomes:  
5 It depends.

6 So it depends on the nature of the  
7 outage. So if the planned outage was a generator  
8 rewind, you're not going to turn that around on,  
9 you know, when Sam says, "Preston, I need  
10 energy." You're not going to be able just to  
11 stop that, because it's such a long duration  
12 activity.

13 If the planned outage is -- if there's  
14 a certain set of conditions such that the main --  
15 the main -- the critical path of the -- say the  
16 purpose of the outage is coming to completion.  
17 We have opportunities then to perhaps -- to bring  
18 those forward.

19 Or if we had an outage that we were  
20 coordinating resources between units, and the  
21 like, we would have the ability to maneuver our  
22 resources to get a unit -- the unit in service  
23 the fastest. Put the most resources on that. So  
24 we have a -- we have tools at our disposal to

Page 115

1 allow us to do that. So the answer your question  
2 is, it is possible to turn a planned outage  
3 around and do it early. How quick you could  
4 react to that would depend on the nature of the  
5 work that's being performed.

6 COMMISSIONER KEMERAIT: And is that  
7 something that -- that Duke is going to be  
8 looking into and taking into account in any next  
9 emergency situation so that you can have a  
10 generation online if possible?

11 MR. GILLESPIE: So the answer to your  
12 question is yes, and we do that now. So if -- if  
13 we have an outage -- if we have an outage in  
14 flight -- let's say I had an outage in flight,  
15 and it's the middle, you know -- it's some  
16 weather event or some other event happens,  
17 another unit goes out of service that begins to  
18 impact our ability to serve the customer.

19 We would immediately begin looking at  
20 the work that's in flight with the other outages  
21 and -- and see how we could wrap those up  
22 earlier. We would also look if we had an outage  
23 that was scheduled to be coming out of service in  
24 that amount of time. Looking -- how we could

1 defer and keep that unit in service as well.

2 So -- so we do -- we do look at that  
3 and -- and would exercise the option when it's  
4 available to us.

5 COMMISSIONER KEMERAIT: And then,  
6 similar questions for the units. It would be an  
7 extended planning reserve and the -- what I read  
8 in the South Carolina report is that Allen units  
9 had about 426 megawatts that were not available  
10 during the load shed event, because they were in  
11 EPR.

12 And the -- my understanding is is that  
13 the -- the time or the process for bringing, for  
14 example, the Allen units back online, so that the  
15 generation would be available was approximately  
16 five days in December of 2022.

17 Has there been any improvements in  
18 the -- the time that it would take to bring a  
19 thermal unit that is offline for EPR during an  
20 emergency event? Can it be done now more quickly  
21 than, say, five days?

22 MR. GILLESPIE: Yeah. So the five --  
23 what the five days is -- is the five days is a  
24 notification window that -- that's provided to --

Page 117

1 say in five days, we will need the unit. And  
2 then that allows -- that would allow our -- our  
3 operating teams to -- to mobilize and do the  
4 things needed to start the unit up.

5 Physically, we could start a unit up in  
6 less than five days. What happens with -- with  
7 Allen -- and Allen's out of the EPR. When units  
8 go into EPR, Allen's a bit of a unique case  
9 because its capacity factor is so low, it's down  
10 in the single digits, that it's got a small  
11 contingent of resources. And it also relies on  
12 resources from another unit.

13 Early on when it was projected that  
14 Allen would not be needed, some of the resources  
15 at the site -- they -- basically, they traveled.  
16 It was Christmas, and they had traveled. So we  
17 had to work to get resources back. By the  
18 time -- by the time -- as the weather changed,  
19 the forecast change, and the need changed.

20 We were faced with a decision between  
21 Allen and Marshall. What was the units that we  
22 could get back the soonest? Which -- which of  
23 those units. We were doing a repair on -- we  
24 were doing a repair to a pump on a Marshall unit,

1 and we were doing a repair to tubes -- a tube  
2 leak repair on a Marshall unit.

3 And what we decided at the time was  
4 that it would be quicker to get the Marshall  
5 units back in service and get that energy back  
6 available to -- to Sam's team, than it would be  
7 to pull those resources off and send them to  
8 Allen.

9 There were some other issues that  
10 emerged during the Marshall startup that would  
11 say, well, that decision may not have been  
12 completely correct. We'll never know -- I may  
13 have had an issue starting up Allen. But, you  
14 know, if we'd had it to go over again -- if I had  
15 a crystal ball, I'd say I'll lock everybody down  
16 in place. And say, you know, you can't leave.  
17 You can't -- you can't go. We'll have those  
18 resources available.

19 So there's -- there's lessons learned.  
20 But there were things happening in real time as  
21 we were adjusting between the units out of  
22 service to get the -- to get the most energy back  
23 in service the fastest. And -- and in this case  
24 with Allen -- the Allen units not being

Page 119

1       available, we -- we probably could have gotten  
2       Allen back had we sent the folks from Marshall.

3               But it would have delayed the Marshall  
4       return to service. It would have just been a  
5       race as to which one would be right. But we made  
6       the best decision with the information we had at  
7       the time.

8               COMMISSIONER KEMERAIT: Okay. And then  
9       last question. I think this is for Mr. Peeler.  
10      This is about the -- the updated models or  
11      forecasting method. And -- and you talked about  
12      investigating the bottom-up, short-term load  
13      forecasting methods. Was the bottom-up -- excuse  
14      me -- bottom-up forecasting method, was that  
15      utilized with less granularity than is being  
16      proposed now during Winter Storm Elliott? Or is  
17      this an entirely new forecast?

18              MR. PEELER: Yeah. We currently aren't  
19      doing a bottom-up forecast. We're currently  
20      doing a top-down but, you know, historical --  
21      historical loads, historical temperatures with  
22      regression. So this would be a new process --  
23      new inputs.

24              COMMISSIONER KEMERAIT: Okay. And when

Page 120

1 will this new process be operational? In time  
2 for this winter season?

3 MR. PEELER: So -- no, it won't. We're  
4 working on now how to do it. It requires another  
5 vendor to collect that data. Another tool, I  
6 should say, to collect that data such that it can  
7 be fed into that regression model. So we're --  
8 we're in the early stages of evaluating how to do  
9 that. So it won't be ready this year.

10 COMMISSIONER KEMERAIT: It's not being  
11 ready this year. So you're thinking 20 -- can  
12 you give me an idea of when you think it might be  
13 ready, if you know?

14 MR. PEELER: I honestly don't know  
15 exactly when we'll be able to get it in  
16 production. And it'll be in phases, of course.  
17 So we'll start out with, like I said, a smaller,  
18 you know, dozens of inputs into it. But we've  
19 got to get a -- we've got to get an interface  
20 tool that can take that more granular data and  
21 put it into our larger model. So I just don't  
22 have a firm date on it. I'm sorry.

23 COMMISSIONER KEMERAIT: Okay. Thank  
24 you.



Page 121

1                   COMMISSIONER DUFFLEY: So,  
2                   Mr. Gillespie, I just wanted to thank you for  
3                   your candid answer regarding the Allen plant and  
4                   if you had a crystal ball, but this was the  
5                   Company's first ever load shed event. But it  
6                   does provide comfort that in future scenarios  
7                   where we have extreme winter weather headed to  
8                   North Carolina, the decision-making process will  
9                   be a bit different. So I appreciate that answer.

10                  MR. GILLESPIE: You're welcome.

11                  COMMISSIONER DUFFLEY: So with that, if  
12                  there no more questions, we'll move to Public  
13                  Staff.

14                  (No response.)

15                  MR. METZ: Good afternoon. Dustin Metz  
16                  Public Staff. Prior to the event, Duke Energy  
17                  had discrete plants that were in extended  
18                  outages. Notably, Robinson nuclear power plant  
19                  and W.S. Lee combined cycle plant. As I filed  
20                  testimony in the DEP fuel rider case, Robinson  
21                  nuclear power plant had an extended outage. And  
22                  as Mr. Lawrence had filed testimony in the DEC  
23                  fuel case, the W.S. Lee unit outage took place.

24                  The W.S. Lee unit outage is still under

1 investigation, but it's not clear what caused the  
2 failure given the type of damage. Typically,  
3 those complete full-unit outages prior to the end  
4 of the year, and unit outages of those of two  
5 plants in this case, were uncommon.

6 As of December 22nd, even with the  
7 existing plant outages in question, Duke was  
8 still projecting to have adequate reserves. That  
9 shows the dynamics of how quickly things  
10 transpired between the 22nd through the 25th.  
11 Allen units 1 and 5 were in extended plant  
12 reserve condition throughout 2022. I'll discuss  
13 the importance of this item later.

14 A high-wind event occurred as a storm  
15 moved across the state -- states, causing power  
16 outages and system restoration. As system  
17 reserves became narrower, storm restoration  
18 activities may have contributed to larger than  
19 expected load increases, given the phenomenon of  
20 cold weather pickup. However, tradition --  
21 traditional reserve margins should have accounted  
22 for this level of very -- variation and system  
23 load estimates.

24 Transitioning to the load shed event.

1 Traditionally, overall electric load is less on  
2 the weekend compared to the workweek. This is  
3 also true of holidays, as there's less people,  
4 generally, working in large industries and  
5 commercial locations. As the cold weather moved  
6 across the nation, Duke did evaluate the daily  
7 changes in load given colder than expected  
8 temperatures.

9 Duke did take actions to look for  
10 imported -- imported power from neighbor  
11 utilities. A large lesson learned, for at least  
12 myself from this event, was the assumption of  
13 firm power from our neighboring utilities. Firm  
14 is not dependable during a system emergency as we  
15 entered EEA-3 and other utilities and RTOs also  
16 entered EEA-3.

17 During the peak of the load shed event,  
18 multiple utilities entered EEA-3 and needed  
19 self-preserve before aiding other utilities.  
20 However, even if the firm and nonfirm -- firm  
21 purchases were able to be delivered, we would  
22 still have needed to have the controlled load  
23 shed event. This was contributed by the loss of  
24 merchant power generation, which I'll also discuss

1 later.

2 It's important to note, Duke's  
3 transmission system was not constrained during  
4 the event. There were no TLRs issued. The  
5 transmission system was available to use. There  
6 was just no energy or capacity to be found or  
7 imported. The Carolinas did have merchant power  
8 generation plants go offline during critical  
9 periods of need. As I noted recently in my DEP  
10 field testimony, network customers that purchase  
11 power from a merchant power plants essentially  
12 became Duke load.

13 Duke Energy -- Duke Energy generation  
14 plants, like merchant generation, also  
15 experienced issues that need to be derated. Duke  
16 placed Allen steam generation station in EPR for  
17 2022. The EPR status, simplified, means that  
18 generation plant would take a few additional days  
19 to start comparative that the plant was not in  
20 the EPR status.

21 Given the generation plant was in EPR  
22 and when Duke started to identify the load  
23 increases with updated weather conditions, Allen  
24 could not have been started in time to mitigate

1 the Christmas Eve load shed event.

2 Duke's automated load shed tool did not  
3 work as planned. The failure of the tool  
4 exacerbated outage time for customers. There was  
5 unclear communications to customers. But it's  
6 important to note that this was a complex period  
7 with storm restoration activities, curtailing  
8 load, the load shed tool failing, and addressing  
9 plant -- generation plant issues.

10 Transitioning to the Public Staff  
11 concerns and observations. In whole, the overall  
12 timing of multiple events overlaid a set of  
13 conditions that compounded upon one another,  
14 causing the need to have a controlled load shed  
15 event. As the Commission is cognizant of, we  
16 have multiple layers of defense. We have  
17 reserved margin. We have imported power. We  
18 have DSM. There's multiple layers of defense.  
19 It's just unfortunate in this circumstance that  
20 different layers of the defense failed.

21 I've highlighted in both DEC and DEP's  
22 most general rate cases on a degrading plant  
23 performance of Duke's generation plants. I've  
24 noted the concerns about staffing and significant

1 decreases in ONM from the amounts approved and  
2 already in base rates at the time of the event.

3 To the extent that these events  
4 continue to take place, degrading plant  
5 performance and reduction of staffing, cutting  
6 ONM, following a prior rate case, the Commission  
7 may need to provide more oversight to Duke's  
8 annual operations and system maintenance.

9 However, it is noteworthy that the system is in a  
10 state of transition as the generation fleet --  
11 certain aspects of generation fleet are reaching  
12 near end of life. And these older plants were  
13 not designed to be operated in the current state  
14 they are today.

15 The response time to bring a plant back  
16 on online and staffing for an EPR plants should  
17 be reevaluated and potentially fully dissolved  
18 during December through March.

19 PJN's curtailment of firm and nonfirm  
20 energy did contribute to the need to curtail load  
21 in the Carolinas.

22 Solar generation resources did perform  
23 as designed, but this event adds the need to  
24 emphasize the difference of winter planning

1       versus summer planning. Their curtailment event  
2       took place at approximately in the early morning  
3       hours before solar could fully contribute its  
4       full nameplate rating.

5               Given pressure drops on Transco  
6       Pipeline, the addition of new natural gas  
7       generation and retiring coal coupled with winter  
8       morning peaks, there is a minor concern of longer  
9       term resource diversification and single-point  
10      failures. Load response to cold weather shall be  
11      implemented and load forecasting go forward.

12             While I do not have an exact solution  
13      to this challenge, there needs to be better  
14      communication with customers and utility  
15      neighbors. There needs to be more distinction in  
16      the difference in storm restoration versus  
17      conservation and energy usage to their  
18      notification that load shed is imminent. To the  
19      extent possible, future evaluation of other media  
20      platforms and requests for conservation need to  
21      be made. Local news, radio, social media.

22             To the extent that new combined cycle  
23      plants are proposed to be built, they should  
24      include a bypass stack after the combustion

1 turbine. This will enable at least partial  
2 generation of the assets and remove a single  
3 point of failure, make further enhancements to  
4 Duke's existing winter preparedness checks,  
5 and -- the lessons learned from the winter storm.

6 Lessons learned from 2014 and '15 were  
7 in place and most likely prevented similar issues  
8 from 2014 and '15, which would have potentially  
9 exacerbated the need for a larger load shed  
10 event.

11 Utility configuration control and  
12 turnover construction to ensure that they have it  
13 documented on what aspects of the plant need more  
14 routine checks during the winter, and the RLS  
15 updates and testing were not robust.

16 That concludes a general summary of my  
17 investigation.

18 COMMISSIONER DUFFLEY: Okay. Let me  
19 check in with the court reporter. How are you  
20 doing? Do you need a break? Okay. Let's take a  
21 10-minute break. And we'll be back at 12:33 to  
22 finish the hearing.

23 (At this time, a recess was taken from  
24 12:25 p.m. to 12:36 p.m.)



1 COMMISSIONER DUFFLEY: Let's go back on  
2 the record. As I understand, Mr. Metz, you're  
3 done with your comments at this point?

4 MR. METZ: That is correct.

5 COMMISSIONER DUFFLEY: Okay. So I just  
6 have a couple of generic questions about -- is  
7 there anything that you heard here today that you  
8 would like to speak to?

9 MR. METZ: Thinking. It was a long  
10 conversation. I believe the Duke panel's  
11 presentation of the lessons learned are  
12 consistent with the Public Staff's overall  
13 investigation.

14 COMMISSIONER DUFFLEY: Okay. And  
15 you're satisfied with the information that the  
16 Company has provided you in your investigation?

17 MR. METZ: Yes. We've had multiple  
18 meetings, even after those discovery requests,  
19 and the Company has been very forthcoming and had  
20 an open conversation with the Public Staff  
21 throughout the overall investigation.

22 COMMISSIONER DUFFLEY: And you've  
23 reviewed the South Carolina reports?

24 MR. METZ: I have.

Page 130

1 COMMISSIONER DUFFLEY: Are you in  
2 general agreement with findings of that report?  
3 Or are there any discrepancies that you would  
4 like to identify for the Commission?

5 MR. METZ: Some work to do, I believe.  
6 It's factually accurate. I think there are  
7 certain contexts that maybe could be provided on  
8 certain elements. For example, the cold weather  
9 event that came before the storm -- the cold  
10 weather pickup. There are factors that may have  
11 contributed to the need to do load shed event  
12 that maybe could have gone into more detail. But  
13 the overall report is factually accurate.

14 COMMISSIONER DUFFLEY: And you're  
15 satisfied and comfortable with the additional  
16 processes and the -- that -- that Duke and --  
17 Duke Energy Carolinas and Duke Energy Progress  
18 are going to be implementing for future extreme  
19 winter weather?

20 MR. METZ: I believe their -- their  
21 winter -- winter weather program is a tool that  
22 has been in place and will always be -- continue  
23 to refine. To go further down into that detail.  
24 To give you an idea of one of the events that

1           took place.

2                       There was a recent modification at one  
3           of the power plants, and they put in a new  
4           control box. Let's just say, it's a four foot by  
5           four foot control box. And it had a pipe coming  
6           into the bottom of it, and that pipe had sensory  
7           cable or a communications cable. And as you're  
8           taking a step back, and you're looking at this  
9           panel, the bottom of the panel was probably  
10          about -- about your waist. So the top of the  
11          panel was a little bit taller, and it's outdoors.

12                     And one of the events that took place,  
13          there was approximately about an inch gap between  
14          where the insulation came up to it where it went  
15          into the bottom of the box. And sure enough that  
16          inch gap, which you really wouldn't see from a  
17          natural observation point because given where  
18          it's proximity to the ground, you wouldn't have  
19          picked up on it all.

20                     But sure enough, that was one of the  
21          lessons -- one of the items that contributed a  
22          need to derate. But a lesson learned coming out  
23          in 2014 or 2015, those plants actually -- the  
24          full plant would have went offline, were able to

1 mitigate the need to go fully offline and just  
2 derate the overall plant. That's probably a very  
3 long answer to what you're asking, but --

4 COMMISSIONER DUFFLEY: Thank you for  
5 that answer. So Commissioner questions?  
6 Commissioner McKissick.

7 COMMISSIONER KEMERAIT: So I take it,  
8 based upon your response to Commissioner  
9 Duffley's questions, there are no additional  
10 measures that you would suggest or recommend that  
11 Duke take at this time to address the problems  
12 that were faced as a result of Winter Storm  
13 Elliott beyond what they have already proposed?

14 MR. METZ: And I have a caveat with the  
15 additional items that I outlined in the beginning  
16 because trying to break it apart in the three  
17 discrete parts -- and I look over to Mr. Holeman.  
18 So, okay, well, he had his operation teams and is  
19 responsible for maintaining system reliability.  
20 They did their job to a tee on a day that they  
21 needed to do it at every given hour. I don't  
22 mean to call out the Duke team, by no means.

23 But I look over to Mr. Gillespie.  
24 Well, okay, I'm looking over at plants. There

Page 133

1        were some lessons learned that can be implemented  
2        from plants. But that is a continual process.  
3        And I forget the name tags. Ms. Sims. Just  
4        looking over to the communications policies. I  
5        don't mean to call you out. The Public Staff  
6        would like an enhancement on the communication  
7        protocols that take place.

8                COMMISSIONER MCKISSICK: And what would  
9        that be?

10              MR. METZ: I don't have a perfect  
11        solution to those but more transparency leading  
12        up to the event. So calling for calls for  
13        conservation, even before we get there. But I  
14        agree with Mr. Holeman's comments on saying  
15        conservation is a nice thing, but how can he plan  
16        for that on that given day? He can't, but if we  
17        never call on it, then we'll never get it.

18              Trying to look at what -- how  
19        communication is presented branching further into  
20        different avenues of social media. So let's say,  
21        for example, if we want to increase  
22        communication, and we propose just to place it on  
23        the Duke Energy web page. I don't know who is  
24        looking at the Duke Energy web page on Christmas

1 Eve.

2 I mean, I say that in jest, but that's  
3 something important. How? I don't have an  
4 answer, but how can we get out this -- the norm  
5 that we live in today, and branch out to the more  
6 social media that exists today? Getting it to  
7 the right channels or avenues where we can get  
8 that information in front of everyone.

9 COMMISSIONER MCKISSICK: So the  
10 suggestion would be using social media more  
11 effectively in the event there might be a load  
12 shedding event?

13 MR. METZ: Yes, Commissioner. Maybe a  
14 standing protocol to inform local news agencies.  
15 Maybe we can get across the six o'clock news. I  
16 know that's still sometimes watched in today's  
17 world. But, yes.

18 COMMISSIONER MCKISSICK: Are there any  
19 other observations you would like to hear in  
20 terms of potential modifications or changes or  
21 enhancements that might be recommended?

22 MR. METZ: Not at this time.

23 COMMISSIONER MCKISSICK: Thank you.

24 COMMISSIONER DUFFLEY: Okay.

Page 135

1 Commissioner Kemerait?

2 COMMISSIONER KEMERAIT: And, Mr. Metz,  
3 just a follow-up on one of your comments about --  
4 you said one of the Public Staff's concerns was  
5 about staffing. Can you be more specific about  
6 what the concern about staffing is?

7 MR. METZ: So this is -- this is a very  
8 complex item as well. And I said it, so I need  
9 to own it. There is some concern to the extent  
10 if -- if we have technicians or craft who are  
11 responsible for doing these reliability checks  
12 and daily operations or even being staffed to  
13 respond in the event that -- that comes up.  
14 Those people should be there at the plants.

15 We have to be cautious of having  
16 individual employees potentially wearing too many  
17 hats. While having an individual employee --  
18 what we usually traditionally call -- would be  
19 multi-craft. That is -- it is a cost saving  
20 avenue, and I believe the Company has  
21 implemented -- I know the Company has implemented  
22 those based upon conversations.

23 However, are we -- I don't have an  
24 immediate answer, but have we gone maybe a bit

Page 136

1 too far in overburdening too many people with too  
2 many responsibilities, and we need to bring more  
3 staffing back and make them -- instead of having,  
4 as multiple hats, they can just start wearing the  
5 singular hat or at least just two hats and not  
6 four hats.

7 COMMISSIONER KEMERAIT: And as part of  
8 your concern about staffing, what I thought you  
9 were also going to be saying, but you didn't say  
10 it -- so I just want to have clarification. Did  
11 you -- does the Public Staff have concern that  
12 Duke had inadequate staffing over Winter Storm  
13 Elliott? Or is that not part of your concern?

14 MR. METZ: Part of my investigation did  
15 not evaluate the -- maybe the layered complex --  
16 complexity of being -- with this event taking  
17 place on Christmas Eve and natural employees  
18 taking the holiday break. Where we did look more  
19 and closely to it was, for example, was the EPR  
20 status with Allen. But Allen does share in those  
21 resources with Marshall steam station.

22 COMMISSIONER KEMERAIT: So that's more  
23 specific to your staffing concern? About sharing  
24 of resources between those two -- those two



Page 137

1 generation units?

2 MR. METZ: That is correct.

3 COMMISSIONER KEMERAIT: Okay. Thank  
4 you.

5 COMMISSIONER DUFFLEY: Okay. The  
6 Commission would like to thank the Public Staff  
7 for its thorough investigation of this event.  
8 And thank you for your comments today. So I'll  
9 turn it back over to the Company. We do have one  
10 more Commissioner question for you. Before we  
11 have that Commissioner ask their question, is  
12 there anything else that the Company would like  
13 to state after hearing Public Staff's comments?

14 MR. JIRAK: Yes. If we could open it  
15 again. In general, no major disagreement at all  
16 with the facts or opinions offered here. I think  
17 maybe we probably could offer just a little more  
18 color response on two topics. One would be sort  
19 of our evolving communication processes and  
20 protocols, which Ms. Sims can speak to. And then  
21 Mr. Gillespie can speak a little bit more to some  
22 of those staffing issues that we were just  
23 discussing. So as soon as you want to start.

24 MS. SIMS: Okay. Yes. Yeah. I do

1 appreciate the point of view and the  
2 recommendation. I think it makes a lot of sense.  
3 And the good news is that we have looked more  
4 at -- at our alignment with our GLRP plan. And  
5 as we move through the EEA statuses, how we would  
6 communicate with customers, and we have been able  
7 to make sure that we have the news media, as well  
8 as social media, and any other digital outreach  
9 that we can do during that time.

10 Understanding that our -- that our  
11 customers use various channels and means to get  
12 that information. So we have been able to add  
13 that in and -- and I will make sure to update  
14 that in any other information that we give to  
15 you.

16 MR. GILLESPIE: I think you heard -- I  
17 think you heard a detailed and accurate report  
18 out from the staff today. I listened to this --  
19 this discussion on layers of defense, ONM  
20 spending, and reliability. And it was mentioned,  
21 these plants are not operated in the way they  
22 were designed. These were designed as  
23 baseload -- as baseload plants.

24 We cycle them up. We cycle them down.

1 You just go stand on the top of one of our  
2 largest coal plants when it was cold, stay on top  
3 of the platform, and let it come up to operation,  
4 you'd be a foot higher than what you were when  
5 you started.

6 So that's a foot of stress. That's  
7 metal getting stretched and contracted over time,  
8 and it creates operational complexities that --  
9 that our -- that our teams are dealing with. And  
10 then with this -- with the concerns over  
11 staffing. I think it's fair to be concerned over  
12 staffing. We look at staffing on a -- on a  
13 frequent basis.

14 We're all the time asking, do we have  
15 staff in the right spot, in the right -- at the  
16 right time, with the right skills. And we work  
17 hard to maintain staffing levels. And in this  
18 particular event, other than the decision to  
19 release a few of the Allen folks well before this  
20 happened as they were going on holidays, I would  
21 tell you that we had -- our staff was available.  
22 Our craftsmen, our engineers, and our leadership  
23 was on the sites that were impacted.

24 And when you look at the outcomes --

1       you know, our plants were back in service by the  
2       25th. So the plants that had issue on Christmas  
3       Eve day were quickly put back into service.  
4       This -- this concern over multiskilled or over --  
5       overburdening the plant staff is one that we  
6       monitor, and then we watch. And we're trying to  
7       make good decisions that are good for the plant,  
8       and also good for the customer. In terms of  
9       what -- in terms of where our rates are  
10      ultimately set.

11               So I think the -- I think what I heard  
12      from the staff today are concerns that overlay  
13      our own concerns or questions that we ask  
14      ourselves daily. And they drive decisions that  
15      we make on a daily basis. And the work they do  
16      is -- is of benefit to the state.

17               MR. JIRAK: Thank you, Mr. Gillespie.  
18      And I will just note that, obviously, we have a  
19      number of action-item follow-ups that we'll be  
20      working on based on the Commission's requests.  
21      And we'll get those filed as quickly as we can.  
22      One item I'll just flag for awareness is the  
23      request for the ORS -- the confidential version  
24      the ORS report.

Page 141

1                   To give full context of that, we will  
2                   be providing that along with our response in  
3                   those Dockets. They're publicly available as  
4                   well. Just to give the fuller perspective, as  
5                   you've heard, regarding some of the nuance that  
6                   we -- that we think was left out of that report.  
7                   So you'll have the full context of both the  
8                   confidential report as well as some of our  
9                   written response to the report as well. Thank  
10                  you.

11                 COMMISSIONER DUFFLEY: Okay. Thank  
12                 you, Mr. Jirak. And we have one question by  
13                 Commissioner Clodfelter.

14                 COMMISSIONER CLODFELTER: Again, breaks  
15                 are dangerous because they let you think of  
16                 things to ask. So don't -- don't ask for breaks  
17                 if you don't want more questions.

18                 I have two questions that really  
19                 connect the dots between what we're talking about  
20                 here today and what we're going to be talking  
21                 about in CPIRP proceedings upcoming. One of the  
22                 questions, I think, is, I think I know the answer  
23                 to it. But -- and it's a fairly obvious  
24                 question. But if you don't ask the obvious

1 question, sometimes you don't know whether you  
2 know the answer to it or not.

3 Since this happened to both Companies,  
4 I think I know the answer. But let me ask it, if  
5 the two Companies had been operating as a single  
6 balancing authority, would any of this have gone  
7 down differently or not?

8 MR. PEELER: I'll start.

9 COMMISSIONER CLODFELTER: Okay.

10 MR. PEELER: Sam can jump in. So --  
11 certainly, the combination of the two Companies  
12 create some efficiencies. It creates some  
13 efficiencies in long-term planning as well as  
14 daily operations. So, for example, the  
15 reserve -- some of the errors that are captured  
16 in reserve margin are reduced because you could  
17 plan for one single large contingency, not two,  
18 for example -- for a combined system.

19 So our day-ahead planning reserve  
20 requirements would be reduced. Now, on an  
21 ongoing basis, that's economic and reliable.  
22 However, in this case, we were -- those were  
23 depleted. So it wouldn't have prevented a load  
24 shed event. It may have created some additional

1 efficiencies that could have -- could have made  
2 it less impactful, but there would have still  
3 been a load shed event.

4 COMMISSIONER CLODFELTER: That's --  
5 That's what I thought the answer was. But,  
6 again, since we're going to be talking about  
7 combining to a single balancing authority in the  
8 CIPRP proceedings, I just wanted to hear you talk  
9 about how it would have played out if you had  
10 them.

11 MR. HOLEMAN: Yeah. The only thing I'd  
12 add -- I mean, it's -- to me in my simple mind,  
13 when we combine -- when we -- if we combine,  
14 you're going from two to one. And so processes  
15 are simpler. You're doing things once. You're  
16 having one balancing authority. But I agree with  
17 Mr. Peeler, that wouldn't have prevented this.

18 COMMISSIONER CLODFELTER: You still  
19 would have had the load shed.

20 MR. PEELER: It would have created some  
21 efficiencies. It would have made some things  
22 better. And it certainly would help us as we  
23 take the next steps for long-term planning.  
24 Long-term planning for a combined system is more

1 efficient than planning for two.

2 So as we need a bigger reserve margin,  
3 it's more efficient to do it with one system than  
4 with two, for example.

5 COMMISSIONER CLODFELTER: Okay. Thank  
6 you for that. Mr. Gillespie, second question is  
7 for you. And, again, it's a -- it's a sort of a  
8 connecting the dots thing. Did this experience  
9 affect, in any way, your thoughts about future  
10 resource additions? And, specifically, the type  
11 of resource. Especially with respect to gas  
12 resources. Would you have been better off last  
13 December the 24th if you'd had more aero  
14 derivatives as opposed to F-class CTs?

15 Would you have been better off if you'd  
16 had two or three rice units in your fleet? Did  
17 anything that happened last December cause you to  
18 think differently about what kind of resources  
19 you might need to add?

20 MR. GILLESPIE: It does. And you know,  
21 those -- those thoughts are generally integrated  
22 into our IRP now. And if you look, the biggest  
23 thing is that a resource that can deliver around  
24 the clock is of great -- is of great value.



Page 145

1 I was asked a question about solar and  
2 solar performance in -- in an audience, and I  
3 think my answer was different than they expected.  
4 Because they asked did it perform as expected,  
5 and I said, well, it did. And when the sun came  
6 up, the solar delivered. But when you look at  
7 where the peak occurred in this case, it was --  
8 it was -- it was prior to where solar was  
9 designed to deliver.

10 So solar did exactly what we expected  
11 it to do. But what this highlights is -- is  
12 either the need with that solar for greater  
13 storage, either through a pump storage,  
14 batteries, new storage technologies, certainly  
15 the -- certainly gas plays in -- plays a role  
16 in -- in the future.

17 And then, you know, just, ultimately,  
18 the ability to have that energy available in  
19 whatever form 24/7 and not be -- not be reliant  
20 upon, you know, which -- which face the planet is  
21 facing, will be -- will be important to us.

22 COMMISSIONER DUFFLEY: So this  
23 technical conference has been very helpful. What  
24 we've heard here today with improving processes

1 as well as adding additional processes to deal  
2 with extreme cold weather sounds constructive.

3 So we thank you for coming in today and providing  
4 that information. And we thank, again, the Public  
5 Staff for their investigation of this event. We  
6 look forward to the filings that we'll be  
7 receiving after we end this technical conference.  
8 And with that, we are adjourned.

9 (Technical Conference concluded at 1:00  
10 p.m. on September 26, 2023.)  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

## CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA )

COUNTY OF NEW HANOVER )

I, Scarlett O'Rork, CVR, the officer before whom the foregoing technical conference was conducted, do hereby certify that the foregoing proceedings were taken by me to the best of my ability and thereafter reduced to typewritten format under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 29th day of September, 2023.



Scarlett O'Rork, CVR  
Notary Public #202314200262  
Notary Expiration: 05/18/2028