

1 PLACE: Dobbs Building, Raleigh, North Carolina
2 DATE: Tuesday, November 30, 2021
3 TIME: 2:15 p.m. - 3:43 p.m.
4 DOCKET NO.: EMP-116, Sub 0
5 BEFORE: Commissioner Kimberly W. Duffley, Presiding
6 Chair Charlotte A. Mitchell
7 Commissioner Daniel G. Clodfelter
8
9

10 IN THE MATTER OF:

11 Application of Juno Solar, LLC,
12 For Conditional Certification of Public
13 Convenience and Necessity to Construct a 275-MW
14 Solar Facility in Richmond County,
15 North Carolina

16
17 VOLUME 3
18
19
20
21
22
23
24

1 A P P E A R A N C E S:

2 FOR JUNO SOLAR, LLC:

3 Karen Kemerait, Esq.

4 Ben Snowden, Esq.

5 Fox Rothschild LLP

6 434 South Fayetteville Street, Suite 2800

7 Raleigh, North Carolina 27601

8

9 FOR THE USING AND CONSUMING PUBLIC:

10 Layla Cummings, Esq.

11 Robert G. Josey, Esq.

12 Public Staff - North Carolina Utilities Commission

13 4326 Mail Service Center

14 Raleigh, North Carolina 27699-4300

15

16

17

18

19

20

21

22

23

24

NORTH CAROLINA UTILITIES COMMISSION

T A B L E O F C O N T E N T S
E X A M I N A T I O N S

	PAGE
DUSTIN R. METZ	
Examination by Ms. Cummings	4
Prefiled Direct Testimony of Dustin Metz	6
Cross Examination by Mr. Snowden	47

E X H I B I T S

	IDENTIFIED/ADMITTED
Metz Direct Exhibits 1 and 2	5/--
Juno Metz Cross Examination Exhibit 1 ...	82/--

1 P R O C E E D I N G S

2 COMMISSIONER DUFFLEY: Okay. Let's go back
3 on the record.

4 MS. CUMMINGS: Public Staff calls Dustin
5 Metz to the stand.

6 COMMISSIONER DUFFLEY: Do you want to be
7 affirmed or sworn?

8 MR. METZ: Either or.

9 COMMISSIONER DUFFLEY: Okay. Place your
10 left hand on the bible.

11 DUSTIN METZ;
12 having been duly sworn,
13 testified as follows:

14 DIRECT EXAMINATION BY MS. CUMMINGS:

15 Q Mr. Metz, would you please state your name,
16 title, and business address, for the record?

17 A My name is Dustin Ray Metz. My title, I'm an
18 Engineer in the Electric Section of Operations
19 and Planning in the Public Staff's Energy
20 Division. My business address is 430 North
21 Salisbury Street, Raleigh, North Carolina.

22 Q Thank you. And did you cause to be prefiled in
23 this proceeding 36 pages of direct testimony,
24 also an Appendix A with your education and

NORTH CAROLINA UTILITIES COMMISSION

1 experience, and two exhibits on October 26, 2021?

2 A Yes.

3 MS. CUMMINGS: Presiding Commissioner, we
4 ask that Mr. Metz's prefiled testimony be copied into
5 the record as if delivered orally for the stand, and
6 that his prefiled exhibits be marked for
7 identification as shown in the prefiled exhibits.

8 COMMISSIONER DUFFLEY: Without -- any
9 objection?

10 (No response)

11 Without objection, that is allowed.

12 (WHEREUPON, Metz Exhibits 1 and 2
13 are marked for identification as
14 prefiled.)

15 (WHEREUPON, the prefiled direct
16 testimony and Appendix A of
17 DUSTIN R. METZ is copied into the
18 record as if given orally from
19 the stand.)

20

21

22

23

24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. EMP-116, SUB 0

In the Matter of

Application of Juno Solar, LLC, for a
Certificate of Public Convenience and
Necessity to Construct a 275-MW Solar
Facility in Richmond County, North
Carolina

) TESTIMONY OF
) DUSTIN R. METZ
) PUBLIC STAFF – NORTH
) CAROLINA UTILITIES
) COMMISSION

**BEFORE THE NORTH CAROLINA UTILITIES COMMISSION
DOCKET NO. EMP-116, SUB 0**

Testimony of Dustin R. Metz

On Behalf of the Public Staff

North Carolina Utilities Commission

October 26, 2021

1 **Q. PLEASE STATE YOUR NAME AND ADDRESS FOR THE**
2 **RECORD.**

3 A. My name is Dustin R. Metz. My business address is 430 North
4 Salisbury Street, Raleigh, North Carolina.

5 **Q. BRIEFLY STATE YOUR QUALIFICATIONS AND DUTIES.**

6 A. My qualifications and duties are included in Appendix A.

7 **Q. WHAT IS YOUR POSITION WITH THE PUBLIC STAFF?**

8 A. I am an engineer in the Electric Section – Operations and Planning
9 in the Public Staff's Energy Division.

10 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
11 **PROCEEDING?**

12 A. The purpose of my testimony is to provide the Commission a review
13 and final recommendation on the application for a certificate of public

1 convenience and necessity (CPCN) filed by Juno Solar, LLC
2 (Applicant or Juno) on July 12, 2021 supported by the direct
3 testimony and exhibits of the Applicant's witness, Piper Miller. In
4 response to Commission questions issued in its August 31, 2021
5 Order Scheduling Hearings, Filing of Testimony, Establishing
6 Procedural Guidelines, and Requiring Public Notice, witness Miller
7 also filed Supplemental Testimony on September 14, 2021.¹

8 My testimony has the following sections:

- 9 I. Summary of Testimony
- 10 II. Description of the Facility and Application Review
- 11 III. Transmission Interconnection
- 12 IV. Evaluation of the Applicant's Proposed Conditions
- 13 V. Affected Systems Concerns
- 14 VI. Need for the Facility
- 15 VII. Impact to Rates
- 16 VIII. Public Staff's Recommendations

¹ Miller Direct and Supplemental Testimony was later filed with portions previously marked confidential unredacted on October 15, 2021 and Exhibit C, Statement of Need, to direct testimony filed unredacted on October 19, 2021.

1 **I. SUMMARY OF TESTIMONY**

2 **Q. PLEASE PROVIDE A SUMMARY OF YOUR TESTIMONY.**

3 Juno proposes to construct a large solar facility (Facility) that would
4 interconnect to the Duke Energy Progress, LLC (DEP) grid in a
5 constrained area and will likely trigger substantial network upgrade
6 costs in DEP, and potentially, other affected systems in the Duke
7 Energy Carolinas, LLC (DEC) and PJM service territories. Juno
8 states that there is a need for the project in the state and region, and
9 that it is in negotiations to sell all of its output to a commercial off-
10 taker in PJM.²

11 DEP has not studied the Juno facility for interconnection, and Juno
12 plans to enter the Transitional Cluster Study (TCS), DEP's first
13 cluster study process after the approval of queue reform by the
14 Federal Energy Regulatory Commission (FERC), this Commission,
15 and the South Carolina Public Service Commission. The Applicant
16 contends that the Commission should grant its request for a
17 conditional CPCN that would terminate if the levelized cost of
18 transmission (LCOT) calculated, once the network upgrades are
19 known, is above \$4.00/MWh. Juno does not say at what specific
20 point in time this condition or the termination of the CPCN would be
21 triggered. The Applicant also does not go into any detail on the

² Miller Direct, at 13.

1 process for rehearing the application should the termination
2 provision be triggered and how that may affect other projects in its
3 study cluster.

4 Juno witness Miller states that the Applicant is caught in a "patently
5 unfair and unreasonable situation" and a "catch 22" if the
6 Commission refuses to grant it a CPCN prior to making certain
7 milestone payments as part of the TCS, which requires the Applicant
8 to make substantial financial postings, and Juno may incur significant
9 withdrawal penalties if it exits the study process.

10 I disagree that Juno, or any applicant entering Duke's TCS or
11 Definitive Interconnection System Impact Study (DISIS), is subject to
12 an unfair "catch 22". Instead, the Applicant is seeking to shift risk
13 from itself to DEP ratepayers. This is a risk that was known at the
14 time the parties, including DEP and Pine Gate Renewables,³ agreed
15 to the queue reform process after a lengthy stakeholder process.

16 In addition, the conditional CPCN as requested does not solve the
17 supposed "catch 22" described by the Applicant. Even if the
18 Commission grants the CPCN with conditions and the network
19 upgrades go above the certain defined dollar amount LCOT as

³ Pine Gate Renewables is managing the development of Juno Solar's proposed generating facility and will operate Juno in collaboration with Birch Creek. Miller Direct Testimony, at 1.

1 requested by the Applicant, the Applicant is still subject to the same
2 financial risk of withdrawal from the TCS.

3 The Commission cannot make a fully informed decision on the
4 Application until it has been studied by the interconnecting utility and
5 potential affected system costs are known. I recommend that that the
6 Commission deny the CPCN without prejudice, allowing the
7 Applicant to refile its Application once it has obtained its Facilities
8 Study report and once any applicable network upgrades assigned
9 from affected systems studies are known. Not only will the true LCOT
10 be unknown prior to these studies, but also the total magnitude of the
11 network upgrades to ratepayers coming out of the TCS will be
12 unknown, a factor the Public Staff believes the Commission should
13 consider when evaluating the need for a facility studied within a
14 cluster study.

15 **II. DESCRIPTION OF THE FACILITY AND APPLICATION REVIEW**

16 **Q. PLEASE DESCRIBE THE FACILITY.**

17 A. The Applicant proposes to construct a 275-megawatt AC (MW_{AC})
18 solar photovoltaic electric generating facility in Richmond County,
19 North Carolina. The Applicant also describes the potential to add
20 68.75MW / 275MWh of energy storage.⁴ The Facility plans to

⁴ Witness Miller states that the Energy Storage System will be subject to change during the design. Miller Direct, at 12, In. 14-15.

1 interconnect with the DEP transmission system via the DEP
2 Richmond-Laurel Hill 230kV transmission line. The footprint of the
3 Facility covers approximately 2,600 acres of land, distributed across
4 multiple parcels.

5 **Q. WHAT IS THE APPLICANT'S PROPOSED CONSTRUCTION**
6 **TIMELINE FOR THE FACILITY?**

7 Witness Miller states on page 9 of her direct testimony that
8 construction is expected to begin on the Facility in the second quarter
9 of 2023, and commercial operation is expected to occur in the third
10 quarter of 2024. Witness Miller further states that the facility will enter
11 the TCS. The TCS is the first cluster study set to commence this year
12 as part of DEP's queue reform effort to move away from an
13 interconnection serial study process to a cluster study approach that
14 allows the utility to allocate costs among multiple projects triggering
15 the need for a system network upgrade. There are multiple phases
16 to the TCS: Phase 1 is power flow and voltage study, estimated to
17 be completed by March 1, 2022; Phase 2 is a stability and short
18 circuit study, estimated to be completed by August 28, 2022; and
19 finally, a Facilities Study, estimated to be completed by late February
20 2023. According to DEP, the TCS timeline for study concludes with
21 the awarding of Interconnection Agreements in 2023, which could be
22 extended an additional 150 days or more depending on the need for
23 restudies.

1 **Q. DID YOU REVIEW THE APPLICANT’S PROPOSED, AND LATER**
2 **REVISED, SITE PLAN FOR PROPOSED CONSTRUCTION?**

3 A. Yes. The Applicant revised its proposed site plan, reducing the
4 overall footprint of the Facility, while maintaining the same nameplate
5 capacity output, and identifying lowlands or marshlands that would
6 not be suitable for construction of a solar array or heavy equipment.

7 **Q. DOES THE REVISED SITE PLAN RAISE ANY CONCERNS, OR**
8 **DO YOU HAVE ANY OBSERVATIONS THAT YOU WOULD LIKE**
9 **TO BRING TO THE COMMISSION’S ATTENTION?**

10 A. Yes, given my experience with the Public Staff reviewing CPCN
11 applications for solar facilities, it is not uncommon for sites to have
12 numerous modifications to the site layout and boundaries, and even
13 changes in nameplate capacity prior to project completion. In this
14 case, because the Applicant’s proposal to issue the CPCN with a
15 condition that is dependent on the ability of the facility to produce the
16 total estimated energy output, a more detailed site map is warranted.

17 Based on my review of the Application and other publically available
18 topography maps, there are numerous marshland areas, creek beds
19 and other unusable areas on or near the 2,600 acre site. Should the
20 proposed site prove incapable of supporting a facility that can
21 produce the total energy utilized in the initial calculation of the LCOT,

1 the true LCOT may be substantially greater than what is being relied
2 upon in determining whether to grant the CPCN.

3 The Public Staff has serious concerns that the Applicant, during the
4 construction process, may experience reasonable, but unexpected
5 circumstances that will reduce the nameplate capacity and
6 production profile, and thus cause the true LCOT to dramatically
7 exceed the LCOT on which the conditional CPCN is based. To
8 illustrate this concern, see Metz Figure 1 below that evaluated
9 changes in the LCOT with a different network upgrade costs,
10 changes in annual capacity factor (energy production), and reduction
11 in the nameplate rating. I will explain the different network upgrade
12 costs later in my testimony.

13 **Metz Figure 1**

Network Upgrade Costs (\$M)	13.0	16.8	51.7
	LCOT \$/MWh		
Applicant as filed, 275MW, 40 years @ 25.55% CF	1.01	1.3	4.00
275MW, 40 years @ 23.55% CF (reduction in CF)	1.12	1.44	4.44
250 MW, 40 years @ 25.55% (Reduction in Nameplate)	1.11	1.43	4.40
250 MW, 40 years @ 23.55% (Reduction in Nameplate and CF)	1.23	1.59	4.89

14

15 **Q. DID THE STATE CLEARINGHOUSE HAVE ANY COMMENTS?**

16 A. Yes, the State Clearinghouse filed additional comments on October
17 15, 2021. The Department of Natural and Cultural Resources
18 (DNCR) has requested additional information. DNCR noted that it
19 has sent a previous letter about this project on November 22, 2016

1 recommending a comprehensive archaeological assessment. DNCR
 2 states that it still recommends such an assessment and there are
 3 areas of high probability for archaeological sites. DNCR makes an
 4 additional recommendation to have a cemetery on-site mapped by a
 5 licensed surveyor.


6 **III. TRANSMISSION INTERCONNECTION**

7 **Q. HAS THE APPLICANT PROPOSED TO INTERCONNECT IN A**
 8 **PORTION OF DEP'S SERVICE TERRITORY THAT PREVIOUSLY**
 9 **HAS BEEN IDENTIFIED AS CONSTRAINED (CONGESTED)?**

10 A. Yes. DEP's open access transmission interface, OASIS, website
 11 provides a map as well as a list of individual transmission lines that
 12 are constrained,⁵ which I have included as Metz Exhibit 1. Richmond
 13 County, in which the Applicant has requested interconnection, is part
 14 of the red or constrained area. Metz Figure 2 is a detailed view from
 15 Metz Exhibit 1 that focuses in on Richmond County.

⁵ DEP Constrained Infrastructure, *available at*
<https://www.oasis.oati.com/cpl/index.html>, under drop down "Generator Interconnection
 Information", DEP-DEC Constrained Areas and DEP lines and Subs Constrained
 Infrastructure (last accessed Oct. 25, 2021).

1

METZ FIGURE 2

3 Because the constrained area is relatively broad, it is necessary to
 4 evaluate the constrained substation and transmission list, which I
 5 have included in Metz Exhibit 2.⁶ In its original Application and
 6 supporting testimony, Juno states that it plans to interconnect to the
 7 (DEP) Richmond-Laurel Hill 230 kV transmission line. Metz Exhibit 2
 8 shows that the Laurinburg-Richmond 230 kV line at the Laurel Hill
 9 Substation is constrained even prior to incorporating Juno's
 10 interconnection request.⁷ It is unclear which other projects will
 11 potentially impact this already constrained section of the DEP
 12 system, nor is it clear how many interdependent projects exist in the
 13 interconnection queues, how many of those projects will choose to
 14 enter the TCS, and ultimately complete all phases of the TCS, and
 15 become commercially operational. In addition, DEP has identified

⁶ Constrained Substation and Transmission List, *available at* https://www.oasis.oati.com/woa/docs/CPL/CPLdocs/DEP_Lines_and Subs_Constrained_Infrastructure_Tranche_2.pdf (last accessed Oct. 25, 2021).

⁷ DEP Constrained Infrastructure, p. 4. Note, all items listed (both red and black text) are constrained sections of the system. The item text in red are new lines and parts of the system that was updated following CPRE Tranche I. There has been no new maps or list updates to Duke's OASIS site following the completion of CPRE Tranche II.

1 multiple other transmission lines and substations in Richmond
2 County that are already constrained prior to the TCS.

3 **Q. HAS DEP COMPLETED A POWER FLOW OR OTHER**
4 **GENERATOR INTERCONNECTION STUDY OF THE FACILITY?**

5 A. No. DEP has not completed a power flow analysis for the Facility.⁸
6 The Public Staff believes that without a power flow analysis done by
7 the utility based on projects that have entered TCS, and subsequent
8 system impact study and facilities study, the review of the CPCN is
9 premature.^{9,10}

10 **Q. DID THE APPLICANT COMPLETE ITS OWN POWER FLOW**
11 **ANALYSIS?**

12 A. Yes. On page 1 of Supplemental Testimony, witness Miller states
13 that Birch Creek, which owns Juno, performed a steady-state power

⁸ For purposes of my testimony, I am referring to “power flow analysis” as the combination of power flow, voltage and short circuit analysis or other analysis required to interconnect a generation facility, inclusive of affected system studies when applicable.

⁹ The Public Staff has taken similar positions in other EMP dockets, either recommending the Commission consider the Application after the network upgrade costs are known or requesting a condition that the Applicant will be responsible for the network upgrade costs that are unknown. See EMP-102, Sub 1, Supplemental Testimony of Metz (Jul. 7, 2021), at 17; EMP-108, Sub 0, Supplemental Testimony of Lucas (Jul. 22, 2020), at 14-15; EMP-109, Sub 0, Testimony of Lucas (May 15, 2020), at 6-7; EMP-110, Sub 0, Supplemental Testimony of Lawrence (Nov. 16, 2020), at 8-10; EMP-111, Sub 0, Testimony of Lucas (Sept. 18, 2020), at 11-12, 19; EMP-114, Sub 0, Testimony of Lawrence (Mar. 22, 2021), at 7-8; EMP-115, Sub 0, Testimony of Lucas (Apr. 14, 2021), at 8-9; EMP-117, Sub 0, Testimony of Lucas (Oct. 19, 2021), at 13-15.

¹⁰ This recommendation is consistent with the Public Staff’s recent Petition for Rulemaking to Revise Commission Rule R8-63 in Docket No. E-100, Sub 176. In that docket, the Public Staff recommends a rule change that would allow the Public Staff to deem merchant generator CPCN applications incomplete without this cost information.

1 flow study. In discovery requests, the Public Staff investigated the
2 underlying assumptions that Birch Creek utilized.

3 **Q. DID YOU REVIEW THE APPLICANT'S POWER FLOW**
4 **ANALYSIS?**

5 A. Yes, I did review the Applicant's Power Flow analysis and asked
6 several questions in discovery. I reviewed their assumptions on the
7 base case and the change case. After my review, I have two
8 observations. First, I do not believe that the Applicant can provide an
9 accurate or useful analysis without knowing with certainty the other
10 projects that will enter the TCS and remain in the TCS through the
11 completion of the Phase 2 report, at a minimum. Second, the
12 Applicant only completed a summer peak power flow analysis. Given
13 that the Applicant had considered battery storage to be discharged
14 during the winter peaks, a winter study should be completed and
15 possibly a shoulder season study.

16 **Q. HAVE YOU PROVIDED TESTIMONY IN OTHER CPCN**
17 **PROCEEDINGS FOR MERCHANT GENERATION THAT**
18 **EVALUATED NETWORK UPGRADES?**

19 A. Yes. I have provided testimony in many dockets that discuss network
20 upgrades, and have worked with other members of the Public Staff
21 on this subject.

1 **Q. PLEASE SUMMARIZE YOUR TRANSMISSION ANALYSIS AND**
2 **THE COMMISSION’S DECISION IN DOCKET NO. EMP-105, SUB**
3 **0 (FRIESIAN) THAT IS RELEVANT TO THIS PROCEEDING.**

4 A. In summary, the Public Staff evaluated both the magnitude of
5 network upgrade costs and the LCOT for the utility to safely
6 interconnect the facility to a constrained area of DEP’s grid to
7 maintain reliability. The LCOT metric is a straightforward tool that
8 allowed consideration of the required upgrades and their respective
9 costs to the transmission system on a unit of energy conversion
10 basis.

11 The Commission in the Friesian case did not consider the LCOT as
12 a definitive test with pass or fail criteria; the Commission considered
13 it as a benchmark of reasonableness of the costs to interconnect
14 generation. The total magnitude of the upgrades, \$223.5 million,
15 informed the total rate impact of the facility to DEP ratepayers, which
16 was also an important consideration.

17 While the specifics of the Public Staff’s review of Friesian’s
18 application were unique to the facts and circumstances of that facility,
19 the sheer magnitude of the network upgrade costs and the relatively
20 high LCOT weighed heavily towards the Public Staff’s
21 recommendation to deny the CPCN. In the Public Staff’s view,
22 interconnection of the Friesian facility would result in costly

1 overbuilding and inefficient planning of the transmission system and
2 was, therefore, not in the public interest. The existence of a
3 completed System Impact Study and Facilities Study report was
4 crucial to the Public Staff's ability to make its final recommendation;
5 however, the Juno Facility does not currently have these studies.

6 I would further note that in the Friesian case, the estimated costs of
7 the network upgrades increased even after the Facilities Study, and
8 then decreased again.¹¹ In its June 11, 2020 Order denying the
9 certificate, the Commission stated "[r]ather than assuage the
10 Commission, the various swings in the estimated cost of the network
11 upgrades raise further concern."¹² It is possible that Juno and its
12 cluster will have similar swings in cost estimates and that, in the
13 Public Staff's view, is another reason the Commission should wait for
14 the results of interconnection studies prior to issuing a CPCN.

15 Furthermore, whatever the costs are to interconnect Friesian at this
16 point in time¹³ is potentially relevant in this proceeding if Friesian
17 enters the TCS and is in a cluster study with Juno's Facility.

¹¹ See Late Filed Exhibit, Docket No. EMP-105, Sub 0, filed by DEP on January 8, 2020, and corrected supplemental late-filed exhibit filed on April 16, 2020.

¹² Order Denying Certificate for Merchant Generating Facility (Friesian Final Order), Docket EMP-105, Sub 0 (N.C.U.C. June 11, 2020) at 24, fn. 8.

¹³ Due to the passage of time, Friesian would likely have to be studied again whether it enters Transitional Cluster or Transitional Serial Study.

1 **Q. PLEASE SUMMARIZE YOUR MOST RECENT TRANSMISSION**
2 **ANALYSIS IN DOCKET NO. EMP-102, SUB 1 (PITT SOLAR).**

3 A. While Pitt Solar is still pending before the Commission, and the
4 specifics of that application are unique to it, the crux of my evaluation
5 in that case was to inform the Commission that without a completed
6 Affected System study, I could not calculate the transmission impacts
7 and provide a recommendation to the Commission.

8 **Q. MR. METZ, HAS THE PUBLIC STAFF MADE SIMILAR**
9 **RECOMENDATIONS TO THE COMMISSION RECENTLY?**

10 A. Yes. As we learn more about the complexities of increasing amounts
11 of generation in specific constrained sections of the transmission
12 system, it is necessary to scrutinize the potential ramifications of the
13 upgrades, costs, and commensurate value to rate payers to ensure
14 long term efficient planning while providing reliable service at
15 affordable rates. I believe this Commission's review of merchant
16 generator applications and the total cost of construction of those
17 facilities, especially network upgrade costs that are ultimately passed
18 on to ratepayers, is key to ensuring the statutory goals of N.C.G.S. §
19 62-110.1 are met.

1 **IV. EVALUATION OF THE APPLICANT'S PROPOSED CONDITIONS**

2 **Q. THE APPLICANT REQUESTS A CONDITIONAL CPCN. CAN YOU**
3 **DESCRIBE THOSE CONDITIONS?**

4 A. Yes. The Applicant requests the Commission issue a conditional
5 CPCN that allows network upgrades up to a certain LCOT amount,
6 after allocation among multiple TCS projects. If that amount is
7 exceeded, witness Miller proposes that "CPCN will automatically
8 terminate and be of no further force and effect unless Juno Solar
9 requests further proceedings to consider whether the CPCN should
10 not be terminated, in which case the CPCN will not be terminated
11 unless so ordered by the Commission."¹⁴

12 **Q. UNDER THE APPLICANT'S ASSUMPTIONS OF THE**
13 **TRANSMISSION ESTIMATES, PLEASE DESCRIBE HOW THE**
14 **COMMISSION COULD EVALUATE THESE COSTS.**

15 A. Using the Applicant's assumptions, the network upgrades would cost
16 \$13 million (assumed to be the assigned cost to the Facility by the
17 Applicant's power flow analysis), and in a worst-case scenario,
18 \$16.84 million. In this scenario, 100% of the cost was assigned to
19 Juno assuming no other projects were allocated a part of the
20 estimated upgrade costs or those projects subsequently withdrew

¹⁴ Miller Direct, at 24.

1 from the study process.¹⁵ The magnitude would equate to a LCOT
 2 range of \$1.00/MWh to \$1.30/MWh (See Metz Figure 1), assuming
 3 Juno's generation output occurs at its planned levels, the final
 4 construction costs are equal to the estimates and no affected system
 5 costs are triggered. Under these assumptions, the Public Staff would
 6 agree that the costs are reasonable in both magnitude and LCOT.
 7 However, the network upgrade costs for the facility should not be
 8 reviewed in isolation, but rather, in context of other facilities likely to
 9 interconnect in the same cluster.

10 **Q. IF THE APPLICANT'S TRANSMISSION ESTIMATE ASSUMED A**
 11 **~\$1.00/MWH LCOT, WHY IS THE APPLICANT REQUESTING A**
 12 **\$4.00/MWH LCOT CONDITION?**

13 A. Witness Miller states that a \$4.00/MWh LCOT "represents the
 14 amount that Birch Creek believes to be a just and reasonable
 15 threshold which will serve to facilitate the state and Duke's renewable
 16 energy goals while not burdening ratepayers with reimbursement of
 17 unduly high network upgrade costs."¹⁶ Witness Miller does not

¹⁵ Once all the required studies are complete, inclusive of affected system impacts when applicable, projects will be assigned their respective cost responsibility for transmission upgrades. For illustrative purposes, assume that a specific transmission upgrade of \$10M was identified and there are four projects of 20MW, 10MW, 5MW, and 1MW for a total of 36MW. The \$10M would be assigned to each of the projects based on their MW rating. 20MW project would be assigned 55.55% (20MW of the single facility divided 36MW of the total aggregated facilities triggering the upgrade) of the costs or roughly \$5.55M. The 10MW project = \$2.78M, 5MW project = \$1.39M, 1MW project = \$0.28M.

¹⁶ Miller Direct, at 3.

1 provide any analysis for the total impact this would have to
2 ratepayers if applied to other merchant plant CPCN applications or
3 how merchant generators wheeling power into PJM will help Duke or
4 the State meet its renewable energy goals. Just for the Facility,
5 however, \$4.00/MWh represents an approximate total of \$51.7
6 million in upgrade costs that will be reimbursed by DEP ratepayers
7 pursuant to Duke's Open Access Transmission Tariff (OATT)
8 regardless of whether that power benefits North Carolina ratepayers
9 or not.

10 **Q. HAVE YOU EVER TESTIFIED THAT THE LCOT CRITERIA IS THE**
11 **ONLY PASS OR FAIL TEST FOR A MERCHANT POWER**
12 **GENERATION PLANT, OR ANY CPCN APPLICATION FOR THAT**
13 **MATTER?**

14 A. No, I have never testified that the LCOT is a pass/fail test and I am
15 not doing so here. I am advocating that the LCOT is a factor to be
16 considered along with the total magnitude of the costs, as I have
17 every other time LCOT has been evaluated. Furthermore, the need
18 for the power in the State and the region must also be balanced
19 against that cost and long term planning for the state.

1 **Q. DO YOU HAVE ANY CONCERNS ABOUT THE LCOT PROPOSED**
2 **BY THE APPLICANT?**

3 A. The methodology Juno has used to calculate LCOT based on its
4 steady-state power flow study is consistent with the Public Staff's
5 methodology used in other proceedings. However, I believe that the
6 proposal fails to address the total magnitude of the upgrades for all
7 the projects in the TCS. Also, the proposal does not provide a
8 justification outside of the LBNL study benchmarks for how granting
9 the CPCN based upon an LCOT of \$4.00/MWh or less allows the
10 Commission to take into account methods for providing reliable,
11 efficient, and economical electric service. ¹⁷

12 **Q. DO YOU HAVE CONCERNS WITH A CONDITIONAL CPCN WITH**
13 **CONTINUED INCREASES IN TRANSMISSION CONSTRUCTION**
14 **ESTIMATES, AND CAN YOU EXPLAIN WHY A PHASE 1 POWER**
15 **FLOW ANALYSIS TO DETERMINE A LCOT IS PROBLEMATIC?**

16 A. Yes. My concerns are reflected in witness Miller's supplemental
17 testimony, in which she acknowledges industry trends leading to
18 rising transmission costs, stating "transmission costs have generally
19 risen, due to: 1) increasing materials and labor costs, and 2) the
20 tendency of these costs to increase with increased solar penetration

¹⁷ N.C.G.S. § 62-110.1(d) states "[i]n acting upon any petition for the construction of any facility for the generation of electricity, the Commission shall take into account the applicant's arrangements with other electric utilities for interchange of power, pooling of plant, purchase of power and other methods for providing reliable, efficient, and economical electric service."

1 on the system.”¹⁸ The Public Staff conducted discovery on this topic,
2 and found the Applicant’s response to be thorough, responsive, and
3 illustrative of why a conditional CPCN based on any power flow cost
4 estimate is premature prior to receiving a Facilities Study report. In
5 response to Data Request 2-11 related to witness Miller’s statement
6 above, Juno states (emphasis added):

7 The statement that interconnection costs have risen is
8 based on industry observation and is not one that can
9 be readily demonstrated on a project-to-project basis,
10 as each project has its own unique interconnection
11 requirements. Birch Creek has, however, observed
12 systematically underestimated interconnection costs
13 from the point of System Impact Study (“SIS”) to
14 Facilities Study (“FS”), where it is not unusual of late to
15 see FS cost estimates **roughly doubling the**
16 **corresponding estimates made during the SIS**
17 **phase**, including projects studied by DEP and DEC.

18 Rising hard costs and labor costs across the nation
19 presumably impact all interconnection costs. The
20 Employment Cost Index maintained by the Bureau of
21 Labor Statistics reflected a year-over-year increase of
22 2.6% as of the last quarter, and many commodity costs
23 have risen steadily since early 2020, with steel
24 commodity costs in particular seeing an over 200%
25 price increase since March 2020 and contributing
26 substantially to rising costs of electrical infrastructure.

27 Furthermore, in the Friesian docket, DEP filed a late
28 filed exhibit on January 8, 2020 to explain the reason
29 for the increase in cost estimate for the network
30 upgrades from \$116 million (Initial Estimate) to \$224.4
31 (IA Estimate). DEP provided information that the
32 increase in costs is not applicable to just the Friesian

¹⁸ Miller Supplemental, at 3.

1 project, but applies generally to transmission projects.
2 DEP provided the following information:

- 3 • Labor costs – As was discussed extensively during
4 the hearing, there has been an increase in labor
5 costs for this type of work. This updated labor cost
6 information was then used to develop a more
7 refined estimate of the per mile labor costs that led
8 to the updated estimate.
- 9 • Environmental costs – Similarly, the Company
10 continues to experience increased costs for
11 environmental compliance and such increased
12 costs were factored into the IA Estimate. For
13 instance, the Company's experience with more
14 recent projects has demonstrated that matting
15 costs (a significant cost item) were often far greater
16 than initial estimates.

17 **Q. DO YOU AGREE WITH THE APPLICANT THAT ENTERING THE**
18 **TCS (OR DISIS) WITHOUT A CPCN CREATES A “PATENTLY**
19 **UNFAIR AND UNREASONABLE SITUATION” FOR THE**
20 **APPLICANT?**

21 **A.** No. I do not agree that it is unfair or unreasonable, and it is extremely
22 challenging to make a recommendation that relies solely on the
23 LCOT for an acceptable or unacceptable amount of reasonableness.
24 The TCS is a voluntary process for the transformation of serial
25 studies to large-scale cluster studies. The construct of the TCS and
26 the DISIS occurred through a stakeholder process, which
27 determined the phases, milestones payments, withdrawal penalties,
28 and timing requirements. This process was approved by the North
29 Carolina Utilities Commission, the Public Service Commission of

1 South Carolina, and the Federal Energy Regulatory Commission.
2 The Public Staff believes that solar developers will have a fair
3 opportunity to participate in this process. A CPCN is not required to
4 meet any readiness milestones and the Facility, and others similarly
5 situated, can apply for a CPCN once the process has concluded.

6 **V. AFFECTED SYSTEMS CONCERNS**

7 **Q. PLEASE IDENTIFY ANY CONCERNS YOU HAVE WITH**
8 **AFFECTED SYSTEMS STUDIES AND THE TCS.**

9 A. An Affected System (AS) is an adjacent utility to the interconnecting
10 utility, in this case DEP, where the output of a generation facility
11 located in DEP negatively impacts the AS (i.e., causes overloads or
12 other reliability issues). Each Balancing Area reviews its own
13 respective interconnection queues to determine whether or not it is
14 an AS. Neither TCS nor DISIS is a joint modeling exercise between
15 DEP and DEC. AS studies between DEP and DEC will be treated
16 similarly to how PJM and DEP coordinate AS studies, as has been
17 discussed extensively in other pending dockets before this
18 Commission.

19 I have multiple concerns related to the AS study process because:
20 (1) the Facility's production profile will match that of the current large
21 solar capacity and energy in DEP, (2) the Facility will interconnect in
22 a constrained area, and (3) the Facility is in close proximity to the

1 DEC system. The Facility, along with others nearby, will likely trigger
2 a need to evaluate the DEC-DEP tie lines to identify potential
3 upgrades in the DEC system.¹⁹ While other adjacent utilities are
4 further away from the Facility than DEC, those utilities could be AS's
5 as well. Thus, projects in PJM and their respective power flows will
6 have to be evaluated in conjunction with the TCS as well.²⁰

7 The Public Staff sent a data request to Duke to ask about the
8 coordination of AS studies and the TCS. Duke's Large Generator
9 Interconnection Agreement (LGIA) governs the AS Study process.²¹
10 Duke explained in response to a data request that:

11 Coming into Phase 1, Juno Solar will not have any
12 indication of affected system requirements or cost,
13 since the project will not have been studied. After the
14 release of the Phase 1 Study results but before the end
15 of Phase 2 customer engagement, Juno Solar would
16 be notified that an affected system study may be
17 required. However, the timeline does not support
18 receiving affected system requirements and cost
19 before Phase 2 milestones are due. The preferred
20 timeline would be for affected system studies to occur
21 during the Phase 2 Study so that the costs and
22 requirements would be known before posting M3
23 milestones prior to Facilities Study. In the case where
24 a potential affected system was identified during Phase
25 2 study, this may not be possible.²²

¹⁹ This is heavily dependent on what is the base case scenario and what generation is added in the change case.

²⁰ In supplemental testimony, witness Miller identifies PJM but not DEC as a potential affected system. Miller Supplemental, at 4.

²¹ Affected Systems Business Procedure for Duke Energy, *available at* https://www.oasis.oati.com/woa/docs/DUK/DUKdocs/Affected_Systems_Business_Procedure_v2_final.pdf (last accessed Oct. 25, 2021).

²² Response of DEP to Public Staff DR 1-8.

1 A project or multiple projects could be in both the TCS and the LGIA
2 AS study processes, at the same time with each process having its
3 own estimated network upgrade costs. Duke has a goal to complete
4 an AS study within 60-90 days (but the LGIA does not have definitive
5 completion timelines but has goals with a degree of flexibility). Once
6 the studies are complete, the LGIA and TCS processes are moving
7 in parallel and the project, if it triggers a network upgrade on an
8 affected system, will have to enter to an Affected System Operating
9 Agreement with the affected utility and establish milestone payments
10 and timelines.

11 **VI. NEED FOR THE FACILITY**

12 **Q. DID YOU EVALUATE THE APPLICANT'S STATEMENT OF NEED**
13 **FOR THE GENERATION FACILITY?**

14 A. Yes. The Applicant stated a need for the generation output of this
15 facility in PJM given PJM's expected load growth. The Public Staff
16 asked the Applicant to describe in more detail how North Carolina
17 consumers and the North Carolina electrical system needed this
18 facility:

19 Birch Creek anticipates that this project will "wheel" the
20 majority of its output to PJM, which will primarily
21 provide clean energy benefits to the Dominion system
22 including the portion of North Carolina included in its
23 footprint. Moreover, the volume of clean energy to be
24 produced by Juno Solar would substantially displace
25 existing CO₂-emitting resources, in turn facilitating
26 regional decarbonization consistent with North

1 Carolina's clean energy policy goals. Juno also
2 anticipates selling a portion of its generation on an "as-
3 available" basis to DEP when not economic or feasible
4 to charge its battery or deliver it to PJM, directly
5 providing the utility and state with additional clean
6 energy toward their respective targets.²³

7 Through discovery, the Applicant has stated, the "[p]roject will remain
8 incentivized to discharge energy from the battery storage system
9 during these winter morning peak hours [6am to 8am]".²⁴

10 **Q. WITNESS MILLER STATED IN HER DIRECT TESTIMONY THAT**
11 **ALL SIX SCENARIOS OF DEP'S 2020 INTEGRATED RESOURCE**
12 **PLAN (IRP) RESULT IN INCREASED SOLAR AND STORAGE**
13 **CAPACITY ON THE DEP SYSTEM. IS IT YOUR**
14 **UNDERSTANDING THAT PLAN A OF THE 2020 IRP DID NOT**
15 **ECONOMICALLY SELECT ANY NEW SOLAR OR SOLAR PLUS**
16 **BATTERY STORAGE IN THE 15-YEAR PLANNING HORIZON?**

17 **A.** Yes. Plan A did not economically select any new solar, or solar plus
18 battery storage in addition to the mandated solar or expected PURPA
19 queue materialization that is required by law at the time of the filing
20 of the 2020 IRP.

21 **Q. WILL THE FACILITY DISPLACE ANY CARBON EMITTING**
22 **GENERATION?**

²³ Response to Public Staff Data Request 1-8.

²⁴ Response to Public Staff Data Request 1-10.

1 A. There is no evidence, at this time, that the Facility will or will not
2 displace carbon emitting resources. Energy and capacity are needed
3 for continued load growth, as well as for retiring generation (carbon
4 emitting or not), so the output of any new generation facility may just
5 be incremental energy added to the system to meet load growth and
6 may or may not contribute to dependable capacity depending on
7 whether the energy storage system will be dispatched at the time of
8 need. The broad assertion that it will displace carbon-emitting
9 resources is not convincing, as there was not an evaluation provided
10 to it would displace carbon-emitting resources in DEP or PJM.

11 **Q. IS THERE ANY OTHER REASON NON-CARBON EMITTING**
12 **GENERATION WOULD BE NEEDED IN THE STATE OR**
13 **REGION?**

14 A. In the time since the Applicant filed testimony, the General Assembly
15 enacted a new law, S.L. 2021-165 or H951. This law requires the
16 Commission to develop a Carbon Plan and take all reasonable steps
17 to reduce emissions by 70% over 2005 levels by 2030. This will
18 undoubtedly lead to the retirement of fossil fuel units and require
19 procurement of new non-carbon emitting generation on the Duke
20 Energy system to serve load. At this point, however, prior to the
21 development of the Carbon Plan, it is premature to assume that the
22 Facility would be needed to assist in meeting those goals. The law is
23 technology agnostic and the Carbon Plan must comply with current

1 law and practice with regard to least cost planning for generation in
2 achieving carbon reduction goals and determining the generation
3 and resource mix.

4 **Q. WOULD YOU AGREE THAT PJM HAS IDENTIFIED THE NEED**
5 **FOR NEW GENERATION, BOTH ENERGY AND CAPACITY?**

6 A. Yes. However, PJM would need to evaluate the current
7 interconnection queues and the historic PJM capacity markets to
8 identify if there is truly a short fall of new projects to meet its needs.
9 The PJM interconnection queue, inclusive of Virginia and North
10 Carolina, has voluminous amounts of generation, particularly carbon
11 free generation, seeking to interconnect. Given the interconnection
12 queues, I find it doubtful that PJM energy and capacity needs are
13 dependent on the Facility.

14 Based on my review of the PJM interconnection queue, the Applicant
15 has not demonstrated the need for the Facility or that it has to be
16 located in the DEP service territory to serve PJM.

1

2 **Q. DID YOU REVIEW THE 2021 PJM LOAD FORECAST REPORT?**3 A. Yes, I did.²⁵ PJM is expecting peak load growth of 0.3% for the next

4 10 years and 0.2% over the next 15 years, with a summer forecasted

5 peak of 153,759 MW in 2031 and winter forecasted peak of 135,568

6 MW in 2030/2031. However, compared to the 2020 PJM Load

7 Forecast, the summer peak will decreased 1.5%, a reduction of

8 2,209 MW in study year 2026. It is noteworthy that page 33 of the

9 report (listed as page 28), shows the Dominion (DOM) Zone is

10 shifting to a winter peak and winter load growth is nearly double that

11 of summer load growth. In comments to FERC on the Advance

12 Notice of Proposed Rulemaking for transmission planning, Dominion

13 stated:

14 As of October 2021, approximately 47,640 MW of
15 renewable energy is currently in the PJM queue for the
16 DOM Zone. Of 568 projects in the PJM queue for the
17 DOM Zone, only 6 are for the development and
18 interconnection of non-renewable resources, i.e., 562
19 are for the development and interconnection of
20 intermittent renewable projects.²⁶

²⁵ PJM 2021 Load Forecast Report, available at <https://www.pjm.com/-/media/library/reports-notices/load-forecast/2021-load-report.ashx> (January 2021).

²⁶ Comments of Dominion Energy Services, Building for the Future Through Electric Regional Transmission Planning and Cost Allocation and Generator Interconnection, FERC Docket No. RM21-17-000 (Oct. 12, 2021), at 16.

VII. IMPACT TO RATES

Q. SIMILAR TO THE PUBLIC STAFF'S ANALYSES OF FRIESIAN, DID YOU EVALUATE THE RATE IMPACT OF THIS PROJECT?

A. Yes. I requested a rate impact analysis from DEP in this case. DEP provided the rate impacts to customer classes for increases in transmission costs, similar to that which a merchant power plant would trigger.

Table 1 below illustrates the calculation needed to estimate impacts to NC Retail and Wholesale Rates.

Table 1. Rate Impact Calculator Assuming No Network Upgrade Costs

Network Upgrades (\$mm)	\$0	\$mm+ FERC Interest 5yrs@3.25%
Depreciation Rate:	2.23%	60 years (NC-1001)
Property Tax Rate	0.36%	NC-1001
DEP WACC (Pre-Tax)	8.44%	DEP Settlement
Carry Cost	11.03%	
Revenue Requirement	\$0.00	
Book Revenues	\$3,921	E2 sub 1219 Compliance Exhibit #2 (col_J+col_N)
DEP Retail Transmission Allocation	59.67%	DEP-COS NC Retail Demand Allocation (NC-1001)
NC Retail Rate Impact	0.00%	
OATT Net Rev Requirement (\$mm)	\$240.5	Formula Rates pg1 line 8
Wholesale Transmission Allocation	32.36%	Formula Rates pg5 line 6
Wholesale Transmission Impact	0.00%	

1 **Q. USING THE CALCULATIONS IN TABLE 1, PLEASE LIST THE NC**
 2 **RETAIL AND WHOLESALE IMPACTS USING THE COSTS**
 3 **LISTED IN YOUR TESTIMONY.**

4 **A.** I put multiple costs into the Network Upgrades field and my results
 5 are displayed in Table 2, below. The results provide a perspective on
 6 the magnitude of the cost and the associated impact to rates for both
 7 North Carolina retail and wholesale customers if the Facility triggers
 8 upgrades and the cost of the upgrades are reimbursed to the
 9 Applicant.

10 **Table 2: Rate Impacts**

\$(M)	NC Retail Rate Impact	Wholesale Rate Impact	Notes
13	0.02%	0.59%	The Applicant's assumed assigned cost
16	0.03%	0.73%	The Applicant's assumed total cost
51	0.09%	2.29%	Equivalent \$4.00 LCOT

11

12 A 2.29% increase to wholesale rates at the assumed \$4.00/MWh
 13 LCOT scenario is noteworthy, when compared to the percent in
 14 change resulting from the Facility in isolation. When factoring in the
 15 total network upgrades that may or may not be included for all
 16 projects in the TCS, the percent increase will be much higher.

17 This analysis accounts for upgrades that may be required in the DEP
 18 service territory. There may also be additional AS costs. Any analysis
 19 of need for the Facility should also take into account the need on the

1 affected system if it is determined that network upgrades are
2 triggered on a neighboring utility's system.

3 **VIII. PUBLIC STAFF'S RECOMMENDATION ON THE CONDITIONAL**
4 **CPCN APPLICATION**

5 **Q. FOR THE PURPOSES OF THIS APPLICATION, DOES THE**
6 **PUBLIC STAFF AGREE WITH A CONDITIONAL CPCN?**

7 A. Not in this case. The Public Staff frequently recommends the
8 granting of CPCN applications with conditions. We believe, however,
9 that it is premature in the development process to consider
10 conditional CPCNs for facilities based on a predetermined LCOT cap
11 before the facility has been properly studied. We also believe that the
12 Applicant has failed to present sufficient reasons why the
13 Commission must act before system network upgrade cost estimates
14 are available.

15 In the Friesian case, the Commission found that it is appropriate to
16 consider the total cost of siting a generating facility, and that the
17 CPCN statute obligates the Commission to analyze the long-range
18 needs for expansion of facilities to achieve maximum efficiencies.²⁷
19 Consistent with that decision, the Public Staff recommends that the

²⁷ Friesian Final Order, at 17, *citing* N.C.G.S. § 62-110.1(c).

1 Commission consider the Facility once it has more certain cost
2 information.

3 Other than the unknown magnitude of costs associated with the TCS
4 and any affected systems costs, the Applicant's requested condition
5 presents other problems. The upcoming TCS will be the first of its
6 kind for generating facilities in the Duke balancing areas. The Public
7 Staff is concerned that if the costs go over the predetermined
8 conditional threshold, withdrawals and delays may occur while the
9 Commission rehears the CPCN application at the request of the
10 Applicant. Complaints regarding the process may occur at the end of
11 the multiyear study and undermine the results of the TCS.

12 Furthermore, the Public Staff believes that the Applicant is shifting
13 risk from itself, unjustly, onto captive ratepayers, based on a metric
14 that can be greatly changed if the Facility changes its design (i.e.,
15 the use of a battery) or reduces its nameplate capacity prior to
16 commercial operation or even over the life of the project. The Facility
17 is in a known transmission constrained area of the DEP system, and
18 high network upgrade costs are likely. The risk should remain with
19 the Applicant, who will profit from the development of the Facility,
20 especially if it contracts to sell output outside of DEP.

1 Q. PLEASE EXPLAIN FURTHER, WHY THE TIMING OF THE
2 CONDITION WITH EITHER AN AUTOMATIC TERMINATION OR
3 FURTHER HEARINGS AT THE COMMISSION GIVES YOU
4 CONCERN.

5 A. In discovery, the Public Staff asked Juno when the study process the
6 \$4.00/MWh LCOT condition should be evaluated, and the
7 Applicant's response stated, "Birch Creek believes it is appropriate
8 that Juno's CPCN no longer be conditioned at the point of execution
9 of an Interconnection Agreement."²⁸

10 There are specific timelines and milestones that have to be met in
11 the TCS process.²⁹ Those timelines and payments were determined
12 after a robust stakeholder process and may be impacted by any
13 Commission proceedings (or automatic CPCN terminations) that
14 cause a project to withdraw. Juno will be awaiting the results of that
15 an AS study in parallel to the TCS process, and any affected system

²⁸ Applicant Response to Public Staff DR 1-21.

²⁹ The Public Staff has determined the following timeline for the TCS based on Duke's Queue Reform presentations available on OASIS and filings in the interconnection docket:

Readiness Establishment Window (60 days): Sep. 1 to Oct. 31, 2021

Customer Engagement Window (30 days): Nov. 1 to Nov. 30, 2021

Phase 1 Power Flow/Voltage (90 days): Dec. 1 to March 1, 2022

Issuance of Phase 1 Study Report (30 days to Phase 2 deposit)- March 31, 2022

Phase 2 Stability and Short Circuit (150 days) : April 1 to Aug. 28, 2022

Issuance of Phase 2 Study Report (30 days to Facilities Study Deposit)

[Possible Phase 3 restudy-of required add 150 days]

Individual Facilities Study (150 days): September 27, 2022 through Feb. 24, 2023

Issuance of Facilities Study Report: Feb. 24, 2023

[Phase 3 restudy potentially takes the timeline out to August of 2023]

See Duke Energy Queue Reform Stakeholder Meeting Presentation, available at https://www.oasis.oati.com/woa/docs/DUK/DUKdocs/Duke_Energy_Queue_Reform_Stakeholder_Meeting_Presentation- March_16_2021.pdf (last accessed Oct. 25, 2021).

1 study costs would have to be calculated in determining the Facility's
2 LCOT. These two study processes are not aligned which will make it
3 difficult to determine the timing to enforce the proposed LCOT cap
4 and the impact that would have on other projects in the TCS.³⁰

5 **Q. WHAT IS THE PUBLIC STAFF'S FINAL RECOMMENDATION?**

6 A. The Public Staff requests that the Commission deny the application
7 at this time, without prejudice, and allow the Applicant to refile once
8 it has more certain cost information. We specifically request that the
9 Applicant refile the application no earlier than after a completed
10 Facilities Study from the TCS process, and a completed AS, if
11 applicable.

³⁰ Public Staff Comments on Queue Reform, August 31, 2020, Docket No. E-100, Sub 101, first state our concerns with the coordination of affected systems studies. On page 8, the comments state:

In addition, the Public Staff notes that due to increasing activity for large merchant generation seeking transmission interconnection into PJM in the DENC service territory, several of DEP's transmission lines near the DENC system have been identified as being impacted or "affected" by the interconnection customers participating in PJM's cluster-based transmission study process.

The Public Staff has recently raised concerns regarding the timing and allocation of these affected system costs in comments and testimony it has filed in merchant applications for certificates of public convenience and necessity. The Public Staff notes that these affected system studies must also be aligned with Duke's queue reform measures to ensure that the upgrades identified in an affected system are appropriately included in the baselines for Duke's own cluster study process, and that the cost allocation provisions applicable to affected system projects are revised to be consistent with Duke's efforts to assign costs to those projects that contribute to the need for the network upgrades.

1 It is the Public Staff's view that the schedule of the TCS process
2 allows adequate time for an uncontested CPCN review process. If
3 obtaining the CPCN causes delays in the construction timeline, the
4 Applicant also has the option of filing a motion for limited construction
5 authority.

6 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

7 **A. Yes, it does**

APPENDIX A

QUALIFICATIONS AND EXPERIENCE

DUSTIN R. METZ

Through the Commonwealth of Virginia Board of Contractors, I hold a current Tradesman License certification of Journeyman and Master within the electrical trade, awarded in 2008 and 2009 respectively. I graduated from Central Virginia Community College, receiving Associates of Applied Science degrees in Electronics and Electrical Technology (Magna Cum Laude) in 2011 and 2012 respectively, and an Associates of Arts in Science in General Studies (Cum Laude) in 2013. I graduated from Old Dominion University in 2014, earning a Bachelor of Science degree in Engineering Technology with a major in Electrical Engineering and a minor in Engineering Management.

I have over 12 years of combined experience in engineering, electromechanical system design, troubleshooting, repair, installation, commissioning of electrical and electronic control systems in industrial and commercial nuclear facilities, project planning and management, and general construction experience, including six years with direct employment with Framatome, where I provided onsite technical support, craft oversight, engineer change packages and participated in root cause analysis teams at commercial nuclear power plants, including plants owned by both Duke and Dominion.

I joined the Public Staff in the fall of 2015. Since that time, I have worked on general rate cases, fuel cases, applications for certificates of public convenience and necessity, service and power quality, customer complaints, North American Electric Reliability Corporation (NERC) Reliability Standards, nuclear decommissioning, National Electric Safety Code (NESC) Subcommittee 3 (Electric Supply Stations) member, avoided costs and PURPA, interconnection procedures and power plant performance evaluations; I have also participated in multiple technical working groups and been involved in other aspects of utility regulation.

1 BY MS. CUMMINGS:

2 Q Mr. Metz, do you have any changes to your
3 prefiled testimony or exhibits?

4 A I do not.

5 Q If I asked you the same questions today on the
6 witness stand, would your responses be the same
7 as the answers you have prefiled?

8 A Yes, they would.

9 Q Mr. Metz, would you please provide a summary of
10 your testimony.

11 A The purpose of my testimony provided the
12 Commission with the results of Public Staff's
13 investigation on Juno Solar's Application for a
14 275 MW AC Merchant Power Plant. The Public Staff
15 recommends that the Commission deny the CPCN
16 without prejudice and allow Juno to refile its
17 Application once it obtains a completed facility
18 study. A completed Facilities Study would allow
19 the Public Staff and the Commission to evaluate a
20 reasonably known impact, estimate, of potential
21 transmission upgrades to maintain the safety and
22 reliability of the bulk electric system.

23 Juno is seeking to interconnect
24 into a known constrained area of Duke Energy

1 Progress transmission system and sell the output
2 of the facility to an offtaker in PJM. Duke
3 Energy Progress has not completed a Power Flow
4 Analysis or any other interconnection study and
5 Juno's proposed condition fails to address the
6 magnitude, or total cost, of the required
7 upgrades to allow interconnection of Juno or a
8 combination of multiple projects.

9 The Public Staff disagrees with
10 the characterization of the Cluster Study process
11 as a catch-22. It is simply a business decision
12 that the Applicant has to make like other
13 generating facilities participating in the
14 Transitional Cluster Study, TCS, or Definitive
15 Interconnection Study process, DISIS. The TCS is
16 a voluntary process for the transition from
17 serial studies to large-scale cluster studies
18 through two state commissions and the FERC.
19 Under the TCS process, which Juno has entered
20 into, the Applicant does not need a CPCN to
21 progress through the TCS process. Juno will have
22 the opportunity to apply for a CPCN once the
23 upgrade costs are known. Should that be a
24 contested proceeding that impacts the timing to

1 start construction of the facility, Juno also has
2 the right to file a request of limited
3 construction authority.

4 The Levelized Cost of Transmission
5 metric, aka LCOT, is not a pass/fail test. LCOT
6 is a factor to be considered, along with other
7 factors, like the total magnitude of costs and
8 potential impacts of a transmission system, a
9 position that the Public Staff has consistently
10 taken in testimony in multiple other merchant
11 plant CPCN dockets. The need for the power in
12 the state and the region must also be balanced
13 against the cost and the long-term planning for
14 the state as the Commission considers whether a
15 facility meets the Public Convenience and
16 Necessity pursuant to North Carolina General
17 Statute § 62-110.1.

18 I listed in my testimony the
19 Applicant's proposed condition of a \$4.00/MWh
20 LCOT rate impacts to North Carolina retail and
21 wholesale. See my testimony Metz Table 2. While
22 Table 2 is illustrative to see that the rate
23 impacts of approximately 0.09 percent, North
24 Carolina retail impact and a 2.29 percent

1 wholesale impact, noting that this rate impact
2 does not factor in the total magnitude of other
3 projects that may seek interconnection in the
4 first ever Transitional Cluster Study process.
5 Fundamentally, Public Staff believes that the
6 Applicant is seeking a certificate too early in
7 the process. The Public Staff first proposed a
8 stay until the costs are known. The Commission
9 denied the request for a stay and we believe the
10 next best alternative is denial without
11 prejudice. Juno is the only merchant plant in
12 the TCS seeking a CPCN at this early stage and we
13 believe the Commission would be in a better
14 position to evaluate the application once the
15 interconnection study results are available from
16 the TCS. This completes my summary.

17 MS. CUMMINGS: Thank you, Mr. Metz. The
18 witness is available for cross examination.

19 CROSS EXAMINATION BY MR. SNOWDEN:

20 Q Good afternoon, Mr. Metz.

21 A Good afternoon.

22 Q So Mr. Metz, counsel for the Public Staff, in
23 their cross-examination of Mr. Levitas and Ms.
24 Miller, discuss some filings that were made

1 before this Commission for FERC during Queue
2 Reform. Do you recall that?

3 A Yes.

4 Q So they reference the -- this Commission's
5 approval in the E-100, Sub 101 docket of Queue
6 Reform?

7 A Yes.

8 Q And also FERC's order approving Queue -- FERC
9 jurisdictional Queue Reform process; is that
10 right?

11 A I'm generally aware of them, yes.

12 Q Okay. So would you agree that CPCN procedures
13 for FERC jurisdictional projects were not at
14 issue in the E-100, Sub 101 docket?

15 A That is correct. My general understanding of the
16 Transitional Cluster process, whether it was the
17 NCIP or the LGIA or the LGIP, the CPCNs was not a
18 consideration. The consideration was how to
19 transition the Queue.

20 Q Okay. And the changes to the procedures that this
21 Commission considered in the Sub 101 docket
22 related solely to state jurisdictional projects,
23 right?

24 A That is correct.

1 Q Okay. And wouldn't you agree that FERC would
2 have no business weighing in on issues related to
3 the issuance of CPCNs by this Commission?

4 A I can't speculate on what FERC evaluated.

5 Q Okay. Well, would you agree that it's not within
6 FERC's jurisdiction to rule on the procedures for
7 issuance of a CPCN by this Commission?

8 MS. CUMMINGS: Objection. I don't think the
9 witness should have to speculate on FERC's
10 jurisdictional limit.

11 MR. SNOWDEN: Fair enough.

12 Q I want to ask you this. It's not the Public
13 Staff's position that because the solar industry,
14 CCEBA, supported Duke's Queue Reform proposals
15 before this Commission, and before FERC, that
16 Juno Solar should be barred from raising this
17 Catch-22 issue in this docket, is it?

18 A My testimony is not preventing Juno from raising
19 the supposed Catch-22 issue.

20 Q Okay. So it's not the Public Staff's position
21 that CCEBA's support for the Queue Reform
22 proposals prevents Juno Solar from raising what
23 it believes is the Catch-22 issue in this docket;
24 is that right?

1 A Are you asking -- sorry to ask a question on a
2 question. I'm trying to seek clarification.

3 Q Sure.

4 A Are you asking what was discussed during the
5 stakeholder process or are you asking what's --

6 Q Not --

7 A -- put on the application?

8 Q Not at all. I'm just trying to understand the
9 Public Staff's position on this issue. Does the
10 Public Staff maintain that because CCEBA
11 supported and other members of the industry
12 supported Queue Reform proposals, that Juno Solar
13 shouldn't be able to raise this supposed Catch-22
14 issue in the CPCN docket?

15 A I mean, it's their application. They can raise
16 what they want.

17 Q Okay. Thank you. So, Mr. Metz, you testified
18 that you do not believe that Juno Solar has
19 demonstrated a need for the facility; is that
20 right?

21 A Could you point to exactly in my testimony?

22 Q Sure. I can point you to page 28 of your direct
23 testimony -- your testimony.

24 A Thank you. One second. So yes. On the bottom

1 of page 8, after 14 -- lines 14 through 16,
2 taking in context the entire question and answer,
3 starting on line 4 through 13. Yeah. "Based on
4 my review of the PJM Interconnection Queue, the
5 Applicant has not demonstrated a need for the
6 Facility or that it has to be located in a DEP
7 service territory to serve PJM."

8 Q Okay. Well, let's take the first part of that
9 where you say that the Applicant has not
10 demonstrated the need for the facility. What's
11 your basis for concluding that the Applicant
12 hasn't demonstrated the need for the facility?

13 A Well, an emphasis that facility is upper case, so
14 it's just saying the Juno facility specifically.
15 Is that given the amount of carbon-free
16 generation within the PJM queues that are
17 reviewed, and other EMP applications, there are
18 numerous amounts of other generation that can
19 serve what PJM has identified as energy and
20 capacity needs.

21 Q So what I'm hearing you say is that PJM's got --
22 there are plenty of carbon-free projects in PJM's
23 queue, and so this facility is not necessary?

24 A I'm not saying it's not necessary. I'm just

1 saying the amount of energy that could be
2 procured could also be procured from other
3 resources. It does not have to be solely from
4 this project, this facility within the DEP
5 service territory.

6 Q So because -- I'm trying to understand. So is it
7 your position that because the Juno facility is
8 not the sole viable source for carbon-free
9 generation in PJM, there's not a need for it in
10 PJM?

11 A I mean, I believe I stated earlier was that there
12 is a need for energy and capacity in PJM;
13 however, PJM has not identified that the only
14 place that they can get it from is this facility
15 or Juno Solar.

16 Q Well, PJM itself doesn't identify needs for
17 capacity comprehensively, does it? I mean, it's
18 a market, isn't it?

19 A It is a market. That is correct.

20 Q Okay. So would it be fair to say that it is
21 buyers within PJM who identify needs for energy
22 and capacity?

23 A I guess I'm getting hung up on a little bit on
24 the context of the word "need". To the extent

1 that if a buyer wanted the energy or capacity for
2 their carbon-reduction goals, then it would
3 facilitate a market decision.

4 Q Okay. So if there is a market decision to
5 procure energy and capacity from this facility;
6 would you agree that there is a need for the
7 facility?

8 A Based upon my understanding of the Applicant and
9 the non-binding -- being careful with this -- the
10 non-binding agreement, that there is a need for
11 carbon-free generation.

12 Q Okay. So it's your understanding that there's a
13 need for carbon-free generation. Is there a need
14 for this facility?

15 A I believe my testimony has answered this.

16 Q Okay. But you do agree that there is a
17 demonstrated need for energy and capacity in PJM;
18 is that right?

19 A That is correct.

20 Q Okay. So the Public Staff has considered CPCN
21 Applications for a number of other merchant
22 plants that plan to sell it to PJM. Are you
23 familiar with those?

24 A Yes, I am.

1 Q Okay. So these would include the Timbermill Wind
2 project in EMP-118; is that right?

3 A That is correct.

4 Q Okay. And that would include American Beech
5 Solar?

6 A That is correct.

7 Q Okay. Just to name of couple of them. So would
8 you agree that in each case where a merchant
9 facility has announced its -- back up. Would you
10 agree that where merchant facilities applying for
11 CPCNs have stated that they intend to sell to
12 PJM, in every such case, the Public Staff has
13 either agreed that there was a demonstrated need
14 for the facility or not taken a position on the
15 issue? Do you agree with that?

16 A Yes. And we did not recommend denial of this
17 facility based upon the need element. We
18 recommended denial without prejudice based upon
19 the facilities coming in too premature and the
20 Public Staff would need to evaluate the
21 transmission cost once the incumbent utility or
22 the transmission owner, in this case Duke Energy
23 Progress, completed their Power Flow Analysis.

24 Q Understood. And we'll get to that. But I'm

1 really trying to focus on your conclusion that
2 there is not a demonstrated need for the
3 facility.

4 Prior to this proceeding the
5 Public Staff has never taken the position that a
6 merchant plant selling into PJM has not
7 demonstrated a need for that facility; is that
8 right?

9 A I'm trying to go through the multiple EMPs
10 through my head and specifically the ones that I
11 filed testimony on but, subject to check, yes.

12 Q Okay. And the Commission has granted CPCNs to
13 merchant plants that intend to sell into PJM,
14 hasn't it?

15 A I cannot recall all the EMP applications, but
16 yes, I do believe there are some.

17 Q And so would you agree that in the Edgecombe
18 Solar case the Commission granted a CPCN based in
19 part on the fact that Edgecombe Solar was
20 planning to sell into PJM?

21 A Yes.

22 Q Okay. And the same could be said of the Fern
23 Solar Application; is that right?

24 A Subject to check.

1 Q Okay. And the same could be said for the Halifax
2 County Solar application; is that right?

3 A That is correct.

4 Q Okay. And more recently the Commission concluded
5 that the Oak Trail Solar project demonstrated a
6 need based on sales into PJM; is that right?

7 A Subject to check.

8 Q Okay. So in short, I mean, wouldn't you agree
9 that in the eyes of both the Public Staff and the
10 Commission up to now merchant plants selling into
11 PJM have consistently been able to demonstrate a
12 need for the facility?

13 A Up to now for the projects that have tried to
14 sell into PJM have been located within the PJM
15 footprint. So this facility created an
16 existential wrinkle when it is a project trying
17 to locate with Duke Energy Progress and then sell
18 the energy into PJM.

19 Q Okay. Well, this is getting to something
20 important. I'm trying to understand why in prior
21 cases the Public Staff has always supported or at
22 least not opposed a showing of need and in this
23 case the Public Staff has come to the conclusion
24 that there's not a need for the facility. And

1 what I think I'm hearing from you is that there's
2 not a need for the facility because it's located
3 in DEP. Is that an accurate characterization of
4 your testimony?

5 A No. An accurate characterization of my testimony
6 on lines 14 through 16. *Based on my review of*
7 *the PJM interconnection queue, Applicant has not*
8 *demonstrated the need for the facility or that it*
9 *has to be located in DEP service territory to*
10 *serve PJM.*

11 Q Okay. So, is it your testimony or your view that
12 you're not contesting that there may be a need
13 for the facility's output in PJM, it's just that
14 it hasn't shown that it needs to be located in
15 DEP?

16 A That's a fair characterization, yes.

17 Q Okay. On what basis have you concluded that the
18 facility needs to show that it must be located in
19 DEP to serve that need?

20 A Well, in part of the evaluation I'll be looking
21 at the overall transmission impacts to the
22 system. So in this particular case, Duke Energy
23 Progress through the FERC Crediting Policy, Duke
24 Energy Progress ratepayers would ultimately be

1 responsible for any transmission upgrades that
2 need to take place or their allocation through
3 TCS accordingly. So again, this creates a unique
4 circumstance when to evaluate the overall
5 project.

6 Q Okay. So I think I'm hearing you say that your
7 position on need is driven by the fact that Juno
8 may trigger upgrades that would get reimbursed by
9 DEP's ratepayers; is that right?

10 A Not solely, no.

11 Q Okay.

12 A But the facts and circumstances on specific
13 applications that they are locating within Duke
14 Energy Progress.

15 Q Okay. So is it the location of the project
16 within DEP that drives your conclusion about the
17 need for the project?

18 A Not in isolation, no. Or if the project was
19 located within PJM, the project could direct sell
20 to PJM just as the other EMPs that you have made
21 mention of. And then the aspects of having to
22 evaluate the transmission system, regardless of
23 which utility is responsible for, may be somewhat
24 minimized with the factor of Affected System

1 Studies of course.

2 Q Okay. Well, let me ask it another way. Why
3 is -- why should the Commission care whether this
4 facility is located in -- well, back up. With
5 regard to the issue of need, what is the
6 relevance of this project being located in DEP or
7 in PJM if it can sell into PJM either way?

8 A I feel like I've answered this three or four
9 times now.

10 Q Okay. Well, bear with me because I'm a slow
11 learner. I'm -- sorry. Go ahead.

12 A It's just the application the Applicant Juno
13 Solar did not demonstrate that in order to serve
14 PJM's forecasted needs, it has to come from the
15 Juno facility. And the Public Staff did not
16 recommend denial based upon need. This is an
17 observation.

18 Q Let me ask it another way. If there was no
19 possibility that there would be reimbursable
20 upgrades for the Juno project, would you have
21 found that there was a need for the project?

22 A The Public Staff would still evaluate the
23 transmission impacts regardless of whose cost
24 responsibility they are.

1 Q All right. Ms. Miller testifies in her rebuttal
2 testimony that Juno has executed a term sheet for
3 a large investment grid retail and wholesale
4 energy provider in PJM. Did you hear her
5 testimony about that?

6 A Yes, the non-binding term sheet. Yes.

7 Q Okay. And you do not -- is it your position that
8 having executed a non-binding term sheet does not
9 demonstrate need for the project?

10 A It's non-binding. It can change.

11 Q Okay. Are you familiar with the Timbermill Wind
12 project which is currently seeking a CPCN in
13 Docket Number EMP-118, Sub 0?

14 A Mr. Thomas was the lead engineer from the Public
15 Staff. I'm generally familiar with the overall
16 application, but not the specifics of it.

17 Q Are you aware that in that case the Public Staff
18 found that there was -- found that there was a
19 demonstrated need for the project even though the
20 project did not have a contract for the sale of
21 its output?

22 A I would have to defer to the testimony of what's
23 in the record.

24 Q Okay. So in her rebuttal testimony Ms. Miller

1 testifies about the transmission charges that
2 Juno Solar will have to pay to wheel its output
3 in PJM and did you hear the testimony on that
4 this morning?

5 A Yes, I did.

6 Q Okay. And merchant projects that are located in
7 PJM do not have to pay those charges to DEP, do
8 they?

9 A So if a project is located within PJM and they
10 are not wheeling through Duke Energy Progress,
11 then no, they would not pay Duke Energy Progress
12 a wheeling charge.

13 Q Okay. Thank you. And even if projects in PJM
14 triggered upgrades, affected system upgrades, on
15 Duke's system, they still wouldn't have to pay
16 transmission charges to Duke; is that right?

17 A If your question was they would not have to pay
18 wheeling charges, that would be correct, because
19 in terms of an affected system depending on how
20 everything going on with American Beech and the
21 appeals --

22 Q Right.

23 A -- and all that and Duke's owed reimbursement
24 they could pay the transmission costs pending the

1 outcome of that appeal. But the wheeling charge,
2 there would be no wheeling charges.

3 Q Well, they could pay the costs -- the upfront
4 costs of those upgrades; is that right?

5 A The -- so clarification, if we are talking about
6 the affected system element of a PJM project into
7 an affected system on Duke Energy Progress with
8 an executed Affected System Operating Agreement
9 which has the milestone provisions within it, the
10 Applicant would pay Duke Energy Progress those
11 costs and after commercial operation and upon
12 mutual agreed upon terms between Duke Energy
13 Progress and the Applicant in that case, there
14 would be a reimbursement or is my understanding a
15 potential transmission credit.

16 Q Okay. Thank you. But no wheeling charges of the
17 kind that Juno is going to have to pay to Duke;
18 is that right?

19 A That is correct.

20 Q Okay. So Ms. Miller testified that Birch Creek
21 projects that Juno will pay more than \$275
22 million in wheeling charges to DEP over the life
23 of the project. Would you agree that those
24 revenues provide a benefit to DEP and its

1 ratepayers?

2 A So the wheeling charges and the wheeling charging
3 revenues or through the ATRR revenues is slightly
4 complex. I'm going to try to answer it the best
5 of my abilities from an engineering perspective.
6 I'll infer the Commission had further questions
7 from an accounting perspective, that the Public
8 Staff would make those resources available or
9 even Duke Energy's. I am not an accountant. I
10 get a little bit lost in the revenues and how
11 they flow, so I'll try to answer it to the best
12 of my abilities.

13 So through the wheeling charges
14 the one element that created some difficulties in
15 calculating it -- well, first and foremost, the
16 Public Staff initiated discovery on this because
17 we thought there would be or could be a revenue
18 to ratepayers to potentially apply against or
19 offset the LCOT. So this was initiated just like
20 we do in avoided cost. We try to find increments
21 and decrements, because we all know the
22 interconnection process continues to evolve. So
23 there's an understanding of the overall process.
24 So we evaluated the wheeling charges and sought

1 discovery from the Applicant on this matter.

2 So one element that started to
3 create some complexity in evaluating this was the
4 optionality of the project. As we heard today
5 it's like well, on one hand they could sell into
6 PJM. Well, under that hypothetical I'll come
7 back to non-firm and firm because there is a cost
8 difference and that can be found on Duke's OASIS
9 website publicly available.

10 How do we start evaluating that?
11 Under what revenue stream? Can I say right now
12 that if an applicant proposed optionality it'll
13 be on a non-binding agreement but we could do
14 something else with it later or any point up to
15 execution I found it extremely difficult to --
16 not the calculation itself, but probably the
17 weight that that would actually be a revenue
18 offset to overall calculation. So just
19 optionality in itself created difficulties
20 summarizing.

21 Moving to the second point versus
22 firm versus non-firm. I believe we've heard
23 reference to Public Staff Data Request 213, and
24 using the spreadsheet that the Company provided

1 and that they listed 175 MW of what they were
2 prescribing -- prescribing -- not that they have
3 to do it, not that a Conditional CPCN can make
4 them do it -- of 175 MW and they're able to
5 calculate the firm point-to-point service. So
6 yes, using the Company's spreadsheet and before I
7 start -- it's nonconfidential, correct? I
8 believe we've released it, but I heard something
9 conflicting.

10 Q Yes. Yes.

11 A Okay.

12 Q It's nonconfidential.

13 A And we can -- I can provide this to the
14 Commission as a late-filed exhibit as well with
15 some of the Public Staff calculations. Under 175
16 MW firm point-to-point, firm being that they are
17 subscribing that they have rights to move that
18 energy across Duke Energy Progress systems and
19 cannot be curtailed unless probably under
20 emergency conditions, under 40 years, yes;
21 \$286 million in potential revenue at the
22 escalation rates projected and all assumptions
23 held constant.

24 However, one would have to

1 evaluate the net present value of that. In other
2 words, ratepayers today under a \$4.00 LCOT would
3 be \$51 million. You would have to do a net
4 present value of the potential revenues over 40
5 years. Going out 40 years there is a lot of
6 assumptions. It's a lot of unknowns. I'll stay
7 away from the word risk. Simplifying discount
8 rate, that equates to \$88 million net present
9 value with 175 MW firm point to point. Again, to
10 restate, I could not give that any weight given
11 the optionality of the project.

12 A different evaluation that I
13 conducted was that revenue stream from the
14 wheeling charges was not with the upgrades of a
15 \$4.00 LCOT. One would need to add in the
16 potential of the \$4.00 LCOT which would be
17 \$51 million, and so under the initial case would
18 be the base case and then one would evaluate the
19 additional \$51 million injection at year one,
20 simplifying assumptions, and doing a Net Present
21 Value Analysis it went to instead of
22 \$88.2 million it went to \$89.7 million plus or
23 minus. There's some assumptions in here.

24 The base case in change case

1 demonstrated that only \$1.5 million additional
2 revenue would be from the \$51 million upgrade
3 cost or approximately one-sixteenth. Again,
4 increment and decrement that the Public Staff has
5 evaluated consistently in multiple dockets.

6 The second part of the evaluation
7 was looking at the non-firm, because again, the
8 Application as proposed did not say whether it
9 had to be firm or non-firm. The Applicant could
10 elect to do non-firm. Using the same assumptions
11 of 40 years -- and by the way, I've done this at
12 15 years, 20 years, and 30 years -- the
13 simplifying assumptions with non-firm the
14 revenues drop in half to approximately
15 \$42 million versus the approximately \$88 to
16 \$89 million.

17 I know it's a little bit
18 long-winded answer, but on the wheeling charges,
19 it was a lot to discuss there and the
20 conversation.

21 Q Yeah, I'm forgetting my question.

22 COMMISSIONER DUFFLEY: And Mr. Snowden,
23 while you think of that, if you will provide a
24 late-filed exhibit. Thank you.

1 MR. SNOWDEN: Certainly.

2 BY MR. SNOWDEN:

3 Q Let's unpack it. There are a couple of things to
4 unpack in your answer there. The first thing
5 that stood out to me was that you said that you
6 calculated based on Juno's allocation, their
7 statements about the purchase of firm
8 transmission, that the net present value of that
9 \$275 million or so would be either \$88 million or
10 \$89.7 million; is that right?

11 A Approximately with the given discount rate add 40
12 years if all things manifest themselves.

13 Q Okay. So that is higher than the 50 or so
14 million dollars in upgrade cost that would
15 correspond to the \$4.00 LCOT; is that right?

16 A That is higher with the caveat that that is under
17 assumption that they would do firm point-to-point
18 service or non-firm point-to-point service over
19 the entire contract length, that they could elect
20 at a different point in time say at 15 years or
21 10 years, again, because it's a non-binding term
22 sheet, a different term sheet can be elected into
23 tomorrow. I can't speculate on that nature. But
24 yes, that why I evaluated at different term

1 lengths.

2 Q Do you have any reason to doubt that they would
3 continue to purchase firm transmission service
4 over the life of the project?

5 A Well, I heard today that -- I thought I heard
6 today that you would evaluate potentially selling
7 the -- well, I read in the Application that your
8 evaluator even in through discovery that you
9 could sell at anytime to Duke Energy Progress as
10 an offtaker or outright sell the facility to
11 potentially Duke Energy or Duke Energy Progress.
12 So yes, I do have reason to doubt.

13 Q Okay. But would you agree that if the project
14 were sold to Duke for compliance with -- for
15 purposes of meeting the H.B. 951 goals, that's
16 just an entirely different set of benefits that
17 we'd be looking at, isn't it?

18 A That is and that's a great question, because
19 under that we would no longer -- ratepayers would
20 no longer be receiving the wheeling revenue to
21 potentially offset the transmission costs.

22 Q Okay. I also want to go back to something else
23 you said. You calculated that out of the \$88 or
24 \$89 million in wheeling charges, only \$1 million

1 or so of those charges would go to paying for the
2 upgrades associated with the facility; is that
3 right?

4 A Under one scenario looking at the potential, if
5 you would look at the incremental contribution,
6 under that concept then yes, it would only be
7 \$1.5 million, but there are multiple assumptions
8 embedded with that and that may not be the most
9 absolute value to hang your hat on.

10 Q Okay. But some portion of the rest of that would
11 go to fund other -- either other upgrades to
12 Duke's system or other capital investments past
13 or future in Duke's transmission system, wouldn't
14 it?

15 A And that -- and that is true. And with the
16 further clarification is that not just all of the
17 costs through the OATT or for capital. I do not
18 know the percentages, but they are O&M, overhead,
19 and other capital expenditures.

20 Q Okay.

21 A And capital expenditures.

22 Q Okay. Projects that are located in Duke's
23 service territory that sell to Duke do not pay
24 transmission or wheeling charges to Duke; is that

1 right?

2 A Can you say that again, please?

3 Q A project that is located in Duke's service
4 territory and that sells to Duke does not pay
5 wheeling charges, right?

6 A It is my understanding if a facility
7 hypothetically is located in Duke Energy Progress
8 and direct sells to Duke Energy Progress, then
9 no, there would be no wheeling charges.

10 Q Okay. Thank you. So Juno Solar has requested
11 that the Commission approve its CPCN subject to a
12 condition that if the LCOT upgrades associated
13 with the project exceeds \$4.00 per MWh the CPCN
14 will terminate. Is that your understanding?

15 A Yes, that is my understanding.

16 Q Now, in your testimony you do not take any
17 position on the question of whether an LCOT of no
18 more than \$4.00 per MWh is reasonable, do you?

19 A I do not take a position, because the position of
20 my testimony was is that in order for me to
21 provide a recommendation to this Commission that
22 I need a completed Facility Study with best
23 estimate transmission cost from the transmission
24 owner in order to make the evaluation. Noting

1 that even those costs like we saw in Friesian,
2 like we've seen in other EMP applications where I
3 filed testimony, those costs go up and down
4 through multiple times and even as we had in
5 discovery in this particular case on your
6 project, Public Staff Data Request Number 2
7 looking at question number 7 we asked the
8 question "What class or level estimate would Juno
9 consider the \$16.84 million estimate. What is
10 the tolerance and range of that estimate."

11 This is a planning or budgetary
12 class estimate based upon the reasonableness and
13 assumptions in line with the Utility Practice and
14 Industry Standards. This estimate is to have a
15 minus 20 plus 100 variation. These -- again,
16 these are still preliminary estimates.

17 We accept that there are
18 estimates, but however, like I tried to say and
19 we said in testimony I need a completed Facility
20 Study from the utility noting that we will have
21 to evaluate those costs at that time and
22 understanding the risks associated with some of
23 those potential upgrades and the level of class
24 estimate. And like I've done in other EMP

1 testimonies, that we will evaluate a range of
2 potential outcomes of magnitudes of cost to
3 evaluate the benchmark and reasonableness on the
4 LCOT metric which is inclusive of evaluating the
5 magnitude and the nature of the upgrades in
6 themselves.

7 Q Isn't Juno Solar asking in this case that the
8 ultimate fate of its CPCN will be determined by
9 the LCOT as shown in the Facility Study for the
10 project?

11 A So the Applicant is requesting and through, I
12 believe, different clarifications of testimony
13 because the position has morphed over time or
14 evolved slightly that the Applicant is agreeing
15 that \$4.00 LCOT all-in cost is the -- it will --
16 if it goes over that, then they'll withdraw or
17 revoke their CPCN. That is my understanding of
18 the Applicant's request.

19 Q Okay. And is it your understanding that Juno is
20 not asking the Commission to make a judgment as
21 to what the actual LCOT of the project is based
22 on its current estimates, is it? Let me ask it
23 another way. Juno has asked that the Commission
24 set a \$4.00 standard for LCOT for the project,

1 right?

2 A That is correct.

3 Q All right. And compliance with that \$4.00
4 standard is to be measured based on the results
5 of its Facility Study; is that right?

6 A I don't know if it was designated that the
7 Facility Study would be actually setting the
8 benchmark as pass or fail, because that creates
9 another unique issue with the termination
10 provision as proposed and the conditions somewhat
11 become -- it's not -- problematic is not the
12 right word. It's just becomes very complex to
13 try to solve for to the extent that the Applicant
14 is requesting that the execution of the
15 Interconnection Agreement should terminate the
16 revocation provisions through time and other
17 factors where estimates change and those costs
18 could go up.

19 Q Well, let me ask you this though. You are not
20 taking the position that the Commission should be
21 able to revoke a CPCN based on what the, you
22 know, post-construction actual costs of
23 interconnection are, are you?

24 A No. I'm saying at this time if we looked at the

1 timing of it, again, we do not have a completed
2 Facility Study with a level or range of estimate
3 or evaluation of even what the upgrades are, I
4 would have to evaluate the upgrades, the
5 execution of the Interconnection Agreement and
6 the types of upgrades, because I remember
7 testifying to this on Friesian, and part of the
8 conversation was the multiple river crossings
9 associated with Friesian. Each river crossing
10 from a project management standpoint and a
11 construction standpoint is an embedded risk. I
12 can't make an informed decision on whether or not
13 the terminating provision should indeed be the IA
14 with the balance of the actual estimation,
15 because until you put boots on the ground, you
16 don't know what you're going to run into.

17 So, if we did a paper version of
18 an evaluation that based LCOT off of and the
19 metric and all these conditional functions that
20 we want to, that the Applicant is trying to
21 request, one may need to evaluate whether that is
22 appropriate in that unique set of facts and
23 circumstances.

24 Q So are you telling me that you don't necessarily

1 trust the estimates that are prepared by Duke's
2 interconnection teams for purposes of the
3 Interconnection Agreement?

4 A That has never came out of my mouth.

5 Q Okay. Well, that's -- I mean, that's -- I'm
6 asking you -- what I think I'm hearing you say is
7 that well, you know, there's a lot of uncertainty
8 with these IA estimates. You know, Duke's teams
9 may not have appropriately accounted for risks.
10 I would need to review that myself to determine
11 whether that estimate is reliable. Is that your
12 testimony?

13 A As I'm representing the general and consuming
14 public, yes.

15 Q Okay. So if you had an Interconnection Agreement
16 in your hand that said the cost of these upgrades
17 is however many dollars equals a \$4.00 LCOT, even
18 at that point the Public Staff could not reach a
19 conclusion as to whether the LCOT for the
20 facility was reasonable?

21 A It starts to become very challenging, because,
22 for example, if the \$4.00 LCOT -- so I believe
23 the testimony listed that approximately the
24 Applicant through their Power Flow Analysis

1 estimated that around 17 miles of transmission
2 line will have to be upgraded. I mean, we have
3 seen in other system impact studies within PJM on
4 new EMP applications triggering what they call
5 wreck and rebuild that basically we could have
6 just invested millions of dollars, hundreds of
7 thousands of dollars, who knows what the cost are
8 on a line for reliability upgrade last year, two
9 years, five years, et cetera, but then a project
10 comes on and says hey, we need to wreck and
11 rebuild that not for reliability, because the
12 existing system is okay, it's working, it's per
13 NERC standards, and we need to rebuild that line
14 so ratepayers may be exposed to the undepreciated
15 cost of the existing line plus now the
16 incremental cost.

17 So again, one needs to evaluate
18 exactly what the transmission upgrades will or
19 will not be.

20 Q It sounds to me like you're testifying that you
21 don't think that -- well, is it your view that
22 LCOT is not a particularly good metric for the
23 reasonableness of interconnection cost?

24 A I believe it was stated earlier is that LCOT was

1 just one tool in the evaluation of a project.

2 Q So, in the Friesian docket you provided testimony
3 about what you thought were appropriate benchmark
4 LCOT values for network upgrades in that case; is
5 that right?

6 A If you're referencing the LBNL Study, that is
7 correct?

8 Q Okay. And the LCOT values from the LBNL Study
9 were in the range of \$1.56 to \$3.22 per MWh; is
10 that right?

11 A That's sounds correct, yes.

12 Q Okay. And would you agree that since 2019
13 transmission costs have generally risen?

14 A Generally risen is somewhat vague. Just looking
15 at markets and potential labor cost and other
16 there's been more upward pressure with them the
17 last year. But yes, I would agree they have
18 generally risen.

19 Q Okay. So let me ask you this. Would you agree
20 that as of now an LCOT of \$4.00/MWh is not
21 unreasonably out of line with those LCOT figures
22 that are presented in the LBNL Study?

23 A That is correct. The Public Staff does agree
24 that the potential of a \$4.00 LCOT may be the

1 correct metric, but however, until we see a
2 completed Facility Study from Duke Energy
3 Progress specific to Juno Solar, it's premature
4 to just say that's okay. Because what -- one
5 function of the LCOT -- well, how people are
6 characterizing the LCOT we're failing to identify
7 the magnitude cost impact.

8 For example, a 5-MW project with
9 an LCOT of \$4.00 has a much lower impact to
10 wholesale in North Carolina retail compared to a
11 275-MW project. And as we can see through the
12 TCS cluster that is potentially coming through,
13 there's going to be a magnitude of projects
14 knowing that at this point in time we're only
15 seeing the potential of one CPCN, we have to
16 evaluate the magnitude of cost.

17 Q So Mr. Metz, what I'm hearing is that you are
18 concerned with the overall magnitude, not just
19 the -- what I'm hearing is that you are concerned
20 not just with the LCOT from the project, but one
21 of the other factors you're concerned about is
22 the -- is the magnitude of -- the absolute
23 magnitude of the upgrades associated with that
24 project; is that right?

1 A That is just another element, yes.

2 Q Okay. And has the Public Staff taken a position
3 as to what absolute magnitude of upgrades
4 associated with a single project would be
5 reasonable or unreasonable?

6 A No, because I tried to clarify that earlier on.
7 Okay. So it's also an embedded function of what
8 the upgrades actually are. So, for example, if
9 under one hypothetical if it's a wreck and
10 rebuild of a new line we just got done building,
11 we would need to take that into overall
12 consideration.

13 It may not be a failing criteria.
14 It may not be a passing criteria. It's just
15 something that has to be taken into
16 consideration. And these transmission studies
17 are -- and these projects are all unique in
18 nature.

19 Q Let me ask you this. In prior merchant plant
20 CPCN dockets, has the Public Staff taken a close
21 look at the exact nature of the upgrades at issue
22 when in his recommended approval of those CPCNs?

23 A One second. So it might serve the Commission
24 that we answer this question in a data request

1 from the Applicant in DR-1. Specifically
2 question 8. Question 8, "Public Staff witness
3 Metz states that the Commission cannot make a
4 full informed decision on the application until
5 it's been studied." Fast-forwarding. "Please
6 identify all CPCN proceedings including
7 applications for utility constructed facilities
8 in which the Public Staff has taken a position
9 that the Commission should not render a
10 decision."

11 So in that response I go through
12 each one of the applications inclusive of EMPs
13 and utility-owned generation. I'm not going to
14 reread it. I mean, we're happy to provide the
15 Commission this response unless they want me to
16 go in more detail in each one of the dockets.

17 Q Looking at these --

18 COMMISSIONER DUFFLEY: Mr. Snowden, if I
19 could interrupt. We would like that in a late-filed
20 exhibit, please.

21 MR. SNOWDEN: Actually Commissioner Duffley,
22 I can go ahead and request that this data request be
23 marked for identification as Applicant's Cross
24 Examination Exhibit 1 --

1 COMMISSIONER DUFFLEY: So marked.

2 MR. SNOWDEN: -- so we can all see it.

3 Yeah.

4 COMMISSIONER DUFFLEY: And let's mark that
5 Metz Cross Examination --

6 MR. SNOWDEN: Yes. Yes, ma'am.

7 COMMISSIONER DUFFLEY: -- Number 1. And
8 then looking at how we've marked the Public Staff
9 we'll call it the Juno Metz Cross Exhibit Number 1 to
10 keep consistent with the Public Staff records.

11 (WHEREUPON, Juno Metz Cross
12 Exhibit 1 is marked for
13 identification.)

14 BY MR. SNOWDEN:

15 Q So Mr. Metz -- has everybody got a copy of that
16 now? Looking at the Public Staff's response to
17 Data Request 8, there are several dockets here.
18 With the exception of the EMP-92 docket, these
19 are all dockets relating to CPCNs for utility
20 constructed or units; is that right?

21 A That is correct.

22 Q Okay. And would you agree that the utility has
23 got a much greater access to information about
24 the nature of the upgrades that would be required

1 for a facility than an interconnection customer
2 does?

3 A Well, I mean an interconnection customer once
4 they have a completed System Impact Study and a
5 Facility Study from the utility, they should have
6 a degree of insight into the overall upgrades.
7 My apologies. I am looking for the EMP
8 applications -- exactly.

9 So, on page 12 of my testimony, we
10 also go into great detail especially footnote 9
11 of the multiple EMP applications, so my
12 apologies, Mr. Snowden. I only answered the
13 utility-owned but not the merchant plant aspect
14 in the previous question.

15 Q Okay. Well, I was just asking about the
16 utility-owned ones. So referencing your
17 footnote 9 here on page 12 of your testimony,
18 that references instances in which the Public
19 Staff has requested that additional information
20 about costs, network upgrade costs be provided to
21 the Commission; is that right?

22 A That is correct. And as you can go to the PJM
23 website on each one of those individual EMP
24 applications, you can see the completed --

1 there's three studies on -- forget the first one,
2 it's FC, but then System Impact Study and then
3 the equivalent Facility Study.

4 And some of the conversations that
5 we've had in the previous EMP applications
6 especially EMP-102, Sub 1 which is before this
7 Commission that was my -- there's been multiple
8 filings in that testimony, so I lose track of
9 which one, but at one point in that time is the
10 Public Staff could not make a recommendation
11 similar to Juno Solar is that we did not have a
12 completed Affected System Study for the second
13 part of the overall project, which is in my
14 opinion almost identical to what is going here
15 before Juno. We just cannot make a
16 recommendation on a cost that we don't know what
17 it is or the nature of the upgrades that we don't
18 know what it is.

19 Q So you believe that the Commission needs to have
20 complete information about all the upgrades that
21 will be required for a project before a CPCN can
22 be granted?

23 A I believe a Facility Study is the utility's best
24 effort to provide insight in the nature and the

1 cost of the upgrades.

2 Q Okay. So Mr. Metz, you also say in your
3 testimony that it's the aggregate cost to
4 ratepayers of upgrades in the Transitional
5 Cluster Study that's important. Is that a fair
6 characterization of your testimony?

7 A I don't know if I said important. If you can
8 point to the point where you're referencing.

9 Q I'm afraid I don't have a citation off the top of
10 my head. Would you agree that your -- that you
11 testified that the Commission must consider the
12 aggregate cost of all the upgrades triggered by
13 the Transitional Cluster Study before it can act
14 on Juno's CPCN?

15 A Similar to when I was looking at the on impact to
16 rates on page 30 on Table 1 and then the results
17 on Table 2, I believe the Public Staff would and
18 I believe the Commission would also evaluate the
19 total rate impacts in whole. So when one
20 evaluates certain particular projects, the rate
21 impacts could go up and in other circumstances
22 they may not.

23 Q Okay. So let me ask you this, because I'm trying
24 to understand how this is going to work. Or how

1 the Public Staff sees this as working. So, if a
2 group of projects in the Transitional Cluster
3 were to collectively impose upgrade costs that
4 the Public Staff believed were unreasonable,
5 should the Commission just deny CPCNs for all of
6 those projects?

7 A I mean, the answer would be no with a caveat that
8 that's sort of an open-ended question, because I
9 would have to know the nuances or the
10 specifications of each individual project. For
11 example, if they are state-jurisdictional
12 projects seeking CPCNs and interconnection
13 through the TCS, those costs would not be borne
14 by ratepayers. They would be borne by for lack
15 of a better word the market participants or the
16 individual investor.

17 Q Well, let's limit it to just FERC-jurisdictional
18 projects that whose upgrade costs might be
19 reimbursed by ratepayers. So a group of
20 FERC-jurisdictional projects in the Transitional
21 Cluster collectively resulted in upgrades that
22 the Public Staff thought was unreasonably large
23 in the aggregate. What should the Commission do
24 with that information? Should it deny CPCNs to

1 all the projects that it has before it?

2 A One would have to evaluate the overall project,
3 because under that potential hypothetical, that
4 is the assumption that all the projects are
5 independent. There could be example -- there
6 could be, again, hypothetical that there may be
7 non-project interdependencies to projects on
8 opposite ends of the system or even near part of
9 the system depending on the injection of where
10 they're putting on at part of the system at a
11 given time. It could be not interdependent and
12 they could be viewed in overall isolation.

13 But again, in DEP for North
14 Carolina there are two FERC-jurisdictional
15 projects and only one is seeking a CPCN right now
16 before the Utilities Commission.

17 Q So, what I think I'm hearing you say is that this
18 Commission in considering whether to grant a
19 merchant plant CPCN should undertake to review
20 not only the cost, but the complete nature of the
21 upgrades that might be triggered by a proposed
22 merchant plant; is that right?

23 A It should be taken into consideration, yes.

24 Q And that the Commission should also review not

1 only the aggregate cost, but the
2 interrelationships among the different projects
3 that might all trigger upgrades in the same
4 cluster; is that right?

5 A It is a potential, yes.

6 Q That seems like a lot of work. Is that --

7 A But before is it two projects and Duke Energy
8 Progress seeking FERC-jurisdictional
9 interconnection. I don't know how to classify
10 that as a lot of work.

11 Q Well so let me ask you a follow-up question.
12 Speaking of the aggregate amount of upgrade costs
13 that might be imposed in the Transitional
14 Cluster, is there a number -- is there a cost --
15 an aggregate cost number that the Public Staff
16 would deem unreasonable for upgrades coming out
17 of the TCS?

18 A Could you clarify on -- again, as I stated
19 earlier, when you're looking SP projects, it's
20 done under a slightly different lens comparative
21 to --

22 Q Just -- I'm sorry. Just for jurisdictional.
23 Ignore the SPs. We don't care those right now.

24 A Thank you. So could you repeat the question,

1 please?

2 Q Yeah. So solely with regard to
3 FERC-jurisdictional projects, upgrades that might
4 be ultimately charged in part to North Carolina
5 retail ratepayers, is there an aggregate number
6 that the Public Staff would consider to be too
7 much to be unreasonable?

8 A Well again, we believe the concept of the LCOT is
9 correct in nature and it is a possibility once we
10 have the completed Facility Study from Duke
11 Energy Progress that even the concept of a \$4.00
12 LCOT may be approved. I just -- I cannot make
13 that approval at this point in time, because
14 again, one has to evaluate the facts and
15 circumstances at that particular point in time
16 for that particular application or as to the
17 possibility of a Cluster Study process one might
18 need to, in fact, take a step back and look at it
19 more of a holistic evaluation explicitly when
20 we're starting to look at potential outcomes of
21 the carbon plan that will be implemented in the
22 coming years.

23 Q Okay. All right. I want to think about the
24 logistics of requiring a Facility Study before a

1 merchant plant can submit a CPCN Application. So
2 Juno is interconnecting under the OATT, not the
3 North Carolina NCIP, right?

4 A That is correct.

5 Q Okay. So under the OATT, the LGIA, the
6 Interconnection Agreement, has to be delivered to
7 the customer within 60 days after receipt of the
8 Facility Study; is that right?

9 A Subject to check. I've read over the LGIA. I
10 don't have --

11 Q You haven't memorized it?

12 A I have not memorized it. I have reviewed it. I
13 have aligned the time periods between that NCIP,
14 but subject to check.

15 Q Okay. Thank you. I had to reread it last night,
16 so I have not memorized it either. So in the
17 Transitional Cluster the customer has to execute
18 the LGIA within 60 days of receiving the draft
19 IA; is that right?

20 A Subject to check.

21 Q Okay. So the customer has a total of 120 days
22 from delivery of the Facility Study to execute an
23 Interconnection Agreement?

24 A Up to, yes.

1 Q Okay. Up to. And signing the Interconnection
2 Agreement obligates the customer to pay the
3 upfront cost of interconnection facilities for
4 the project and also upgrades; is that right?

5 A The executed LGIA -- yes, it's an agreement
6 between the utility and the Applicant, right.
7 Lose track of, because I've been spending a lot
8 of my energy here lately on affected systems, I
9 don't know if FERC has to approve that. I don't
10 know.

11 Q If you -- I'll represent that if you use the pro
12 forma, it just has to be filed not approved.

13 A Okay. Thank you.

14 Q All right. So, it's the Public Staff's position
15 though that the Commission deny the Juno CPCN
16 without prejudice and that Juno not be able to
17 refile its application until after it has
18 received its Facility Study and also any Affected
19 System Studies; is that right? And I can direct
20 you to page 6 of your testimony if that's
21 helpful.

22 A Can you point to exactly what line?

23 Q Sure. So on lines 5 through 9. You say "I
24 recommend that the Commission deny the CPCN

1 without prejudice allowing the Applicant to
2 refile its application once it has obtained its
3 Facility Study report and once any applicable
4 network upgrades assigned from Affected System
5 Studies are known." Did I read that correctly?

6 A That is correct --

7 Q Okay.

8 A -- because that will enable me to initiate the
9 investigation process to evaluate the upgrades,
10 the nature of upgrades, have conversations with
11 the impacted utility and as well as the
12 Applicant, similar to how we had conversations in
13 discovery in Friesian.

14 Q Okay. So as we discussed under the OATT a
15 customer has 120 days from the issuance of its
16 Facility Study to execute its IA; is that right?

17 A Up to, yes.

18 Q Okay. In your experience it is typical for the
19 Commission to issue a ruling on a merchant plant
20 CPCN Application within 120 days of it being
21 filed?

22 A I'm not cognizant of the dates on --

23 Q Okay. Well, have you -- do you recall an
24 instance in which the Commission has granted a

1 merchant plant or has taken action to deny or
2 grant a merchant plant CPCN within 120 days of it
3 being filed?

4 A I'm not cognizant of the dates, but I'm trying to
5 understand the relationship between the execution
6 of the LGIA versus the CPCN. Those are -- while
7 I know it's making a linkage, they don't have to
8 be on the same track.

9 Q Okay. Well, let me ask you this. It's not
10 really practicable for an interconnection
11 customer to get its Facility Study, prepare a
12 CPCN Application, file it and get a ruling from
13 the Commission on its CPCN within 120 days, is
14 it?

15 A I think it was something that had to be taken in
16 consideration then the Applicant could make
17 notification to the Commission to take into
18 consideration not for an accelerated timeline,
19 but a concept of potential priority given
20 whatever is before the Commission at that time.

21 Q So you could ask for a ruling within 120; is that
22 what you're saying?

23 A That's correct.

24 Q Okay. But --

1 A And I think this is a dynamic function of the TCS
2 process, something that we're still learning
3 through.

4 Q But there's not a process in place that would
5 allow a merchant plant to get a CPCN approved or
6 denied within 120 days, is there?

7 A I would have to go back and reread. I don't know
8 if there's a timeline that's preventing something
9 to be truncated. I don't think it says that you
10 have to wait 180 days until you get a ruling.

11 Q Well, the Commission has got to -- there are
12 certain specified timelines such as the 10-day
13 completion deadline, public notice periods,
14 clearinghouse review, time for testimony, time
15 for hearings if necessary, and all that, right?

16 A That is correct.

17 Q Okay. And it's more typical for a CPCN
18 Application to take at least say six months or
19 more than that. Is that a fair characterization?

20 A Potential or one-off anomalies, but usually those
21 were mandated by law.

22 Q Okay. So it seems to me extremely unlikely that
23 if a merchant facility were not to file --
24 weren't able to file its application until after

1 it got its Facility Study, then it would receive
2 a ruling on a CPCN prior to entering into its IA.
3 Would you agree with that?

4 A Generally, I agree. And then when looking at the
5 statement on page 6 and turning over to page 4,
6 footnote 29, sort of laid out the timeline here
7 for this very concept. When one looks at the
8 issuance of the Facility Studies and the
9 potential individual restudies throughout the
10 process, one can see that the multiple 150 day
11 blocks along with perspective timelines which if
12 the LGIA takes up to 120 days, 120 days is well
13 within the 150 days.

14 Q Okay. I'm sorry, Mr. Metz. I did not catch
15 where it is that you're looking.

16 A Oh, sorry. Page 34, footnote 29. So through
17 that footnote where it was generally laying out
18 for illustrative purposes the CV, the different
19 times of when study reports would be issued, the
20 potential complexities of restudy, but in each
21 circumstance the window opened for each
22 individual one. We believe it was appropriate
23 that even given with the up to 120 days that
24 there would be time to perform this process under

1 the nature of the TCS process, which was to clear
2 the logjam. I believe it was said today it was
3 to remove the speculative nature of certain
4 projects and advance commercial-ready projects.

5 Q Okay. But I'm looking at footnote 29. There's
6 no reference to the deadlines for executing an IA
7 here, are there?

8 A That is correct. There is not.

9 Q Okay. This process you've laid out ends in
10 Facility Study, right?

11 A The individual -- so about -- individual facility
12 studies 150 days. September 27th, 2022 through
13 February 24th, 2023. The issuance of facility
14 studies and again, in conversations with Duke,
15 this is sort of the back end if you would. This
16 is sort of the up to. It may be issued before.
17 And then Phase 3 restudy with the additional
18 timeline requirements.

19 Q Okay. So you're saying Juno come back in maybe
20 February of 2023 and file their application then?
21 Is that right?

22 A Give or take upon the issuance of a Facility
23 Study, yes.

24 Q Okay. So upon receipt of an application for CPCN

1 for a project that may have already signed an
2 LGIA, the Commission could decide to deny that
3 application, couldn't it?

4 A The Commission could or it could accept.

5 Q Okay. So fundamentally, the interconnection
6 customer, the merchant facility, does not know
7 whether the Commission is grant or deny its CPCN
8 when it files its application, right?

9 A That is correct and I can't make my
10 recommendation to the Commission until I see that
11 actual Facility Study cost by the incumbent
12 utility.

13 Q Okay. So is it your belief that a merchant
14 facility should enter into an LGIA and commit
15 itself to funding millions of dollars in upgrades
16 and interconnection facilities without knowing
17 whether this Commission will allow it to be
18 constructed?

19 A So there's two concepts here. It's the TCS
20 process and there's what comes after a TCS
21 process which is often is referred to as the
22 DISIS. Again, the TCS process and the milestones
23 and the increased payments were completed through
24 a negotiated stakeholder process which TCS

1 process had higher costs comparative to DISIS for
2 the concept of as the word that's been used today
3 clearing the logjam to remove the degree of
4 speculative projects and move forward
5 commercial-ready projects. That was all agreed
6 upon through the stakeholder process by two
7 commissions -- two State Commissions and the
8 FERC.

9 Q Okay. I'm going to ask my question again,
10 because I'm not -- I'm not sure I heard the
11 answer to it. Is it your belief that a merchant
12 facility either going through TCS or going
13 through DISIS should enter into an -- should be
14 required to enter into Interconnection Agreement
15 without knowing whether the Commission will allow
16 it to be constructed?

17 A That is a financial risk of that Applicant.

18 Q So yes?

19 A They have to evaluate the costs or the cost
20 uncertainty at that given point in time.

21 Q Okay. So you --

22 A And I can't speculate on what the Applicant would
23 or would not do, so I apologize. I'm not trying
24 to dodge your question. It's just I can't say

1 what the Applicant would or would not do in
2 execution of LGIA. It's just one has to evaluate
3 the knowns and unknowns and that's in my -- in my
4 opinion a business risk that the Applicant would
5 need to take whether they want to execute the
6 LGIA.

7 In theory, in speculation, one
8 could enter an LGIA and while waiting for the
9 facility study, if they have a strong
10 understanding of what they believe their
11 transmission costs are, they can enter what they
12 want to enter into. I can't control that.

13 Q Okay. But in the absence of guidance from the
14 Commission or the Public Staff on what level of
15 costs are reasonable, does a -- how does an
16 interconnection customer make a decision whether
17 or not to enter into an LGIA when they have no
18 idea whether their CPCN is going to be granted or
19 denied?

20 COMMISSIONER DUFFLEY: Mr. Snowden, that's
21 been asked and answered --

22 MR. SNOWDEN: Okay. Okay.

23 COMMISSIONER DUFFLEY: -- a couple of times.
24

1 BY MR. SNOWDEN:

2 Q Well, let me ask you this. Mr. Metz, so when an
3 LGIA is executed, the Utility's interconnection
4 teams will commence doing engineering work and
5 procuring long lead time materials and ultimately
6 constructing the facilities and upgrades; is that
7 right?

8 A Per the Milestone Agreements. For example, one
9 of the items that we noticed in Friesian was the
10 multiple years it would take for the construction
11 in certain not credibly -- not critical energy
12 infrastructure, but just critical parts of the
13 system that can only be worked on during certain
14 parts of the season. So that would have to be a
15 factor in that agreement would be the timeline.

16 Q Okay. So Duke's personnel should go ahead and
17 commence work on interconnection without knowing
18 whether the project will actually go forward?

19 A That is a business risk that the Applicant will
20 enter into with the incumbent utility. That is a
21 business decision between those two parties.

22 Q Okay. Do you think that is a good use of Duke's
23 limited construction resources?

24 A If the Milestone Agreements are to keep Duke

1 Energy cost neutral -- when I say cost neutral,
2 is they will not expend "X" amount of cost or
3 resources without being reimbursed. That is a
4 risk-based decision to keep them indifferent.

5 Q Okay. Understood that Duke may be indifferent to
6 the cost, but would you agree that Duke's own
7 personnel and resources are not infinite?

8 A That is correct.

9 Q Okay. And that there is, in fact, a bit of a
10 crunch on Duke's engineering and construction
11 personnel and has been for the last several
12 years?

13 A I can't define crunch, but I also know there's
14 been increase in staffing to address these
15 potential situations.

16 Q Okay. Is it your understanding that once an IA
17 is signed, subsequent DISIS clusters will rely on
18 upgrades that are committed through an IA in the
19 baseline for the next study?

20 A I'm just trying to -- I'm trying to go through my
21 mind as saying okay, is the baseline the actual
22 IA, because a function of the baseline is the
23 base case which is already considering future
24 upgrades that are already in the works. So it's

1 not solely based upon the IA. I do not know --

2 Q All right.

3 A -- if it explicitly encompasses the IA or not.

4 Q Well, let me ask it another way. Say you've got
5 the DISIS 2023 cluster and Duke is establishing
6 the base case for that. It's going to consider
7 upgrades that were allocated and committed in the
8 DISIS 2020 -- in the previous year cluster,
9 right?

10 A Yes. A function of the future DISIS would always
11 be the base case of the -- trying to get my
12 vocabulary right here -- of whatever the
13 entered-in contracts with the previous cluster
14 agreed to pay for.

15 Q Okay. So wouldn't it cause some pretty
16 significant disruption to other interconnect
17 customers if the Commission were to deny a CPCN
18 for a project that had already signed an IA?

19 A It depends. It's -- again, it's very complex in
20 nature, because you can have some projects that
21 will not -- again, in theory, you'll have some
22 projects interconnecting in parts of the system
23 that would not have any upgrade costs or create
24 the interdependencies under some examples with

1 multiple interdependencies. Depending on the
2 magnitude of the interdependencies, there could
3 be complications, but again, complications are
4 just challenges that we continually work and
5 overcome on every given day.

6 Q Okay. Well, let me -- I'm going to narrow the
7 question a little bit. Take as an example a
8 project that does have significant
9 interdependencies and does incur significant
10 upgrade costs, because I think those are the
11 kinds of projects that, you know, we care about
12 or that the Public Staff cares about.

13 Wouldn't it be pretty disruptive
14 other interconnection customers into the DISIS
15 process if the Commission were to deny a CPCN for
16 a project like that after it had already signed
17 an IA?

18 A But again, as I stated earlier, I believe that
19 there's a -- there is enough of a window for once
20 the Facility Study costs are known, they can be
21 evaluated and be brought forward to this
22 Commission and potential for the Commission to
23 make their ruling on whether it should be denied
24 or accepted prior to the next DISIS window

1 closing. Because there is a -- when the DISIS
2 window is opened, there's a period of time before
3 the DISIS window closes.

4 Q Well, let me ask this. Say you've got -- and
5 I'll move on, because I know we've spent a long
6 time on this. Wouldn't it cause a lot of
7 disruption to the same cluster that the project
8 was in if the Commission were to later deny the
9 CPCN assuming, again, that the project had
10 significant interdependencies and committed to
11 constructing upgrades?

12 A That's a risk with Cluster Studies process and
13 with functions being interdependent. I mean,
14 we're seeing that right now in PJM, so that is
15 not a new process. That's something that already
16 exists.

17 Q Understood that the risk of project withdrawals
18 is part of a Cluster Study, do you think the
19 Commission should be doing things to increase the
20 risk of disruption based on more withdrawals?

21 A I don't believe that we are increasing the risk,
22 because again, as I stated before, is in order
23 for me or the Public Staff and presumably the
24 Commission to make the determination of what the

1 transmission upgrades are mean a completed
2 Facility Study looking at the timelines there is
3 an adequate window albeit somewhat narrow to
4 potentially resolve this issue.

5 Q Okay. So you say there is an adequate but narrow
6 window after the delivery of the Facility Study
7 to evaluate those costs; is that right?

8 A Yes.

9 Q Okay. But you also recommend that Juno not
10 refile its application until after an Affected
11 System Study -- certainly an Affected System
12 Study is completed; is that right?

13 A That is correct and that's one of the concerns
14 that we did bring up during the stakeholder
15 process as well in our comments that we filed is
16 that the Affected System Study is somewhat --
17 it's not isolated, but it is in its own parallel
18 path without explicit timelines. So as the
19 Applicant moves through its process, an example,
20 if a project goes into Phase 1 and they get
21 identified of their, hypothetically, locating a
22 Duke Energy Progress and under an affected system
23 under Phase 1 Duke Energy Progress will notify
24 DEC, hey, you're an affected system. What do you

1 want to do about it?

2 So through the LGI process, Duke
3 Energy Carolinas will say all right, we're going
4 to go evaluate it while the transition cluster
5 and DISIS are moving forward at their own pace.
6 I mean, some of this has also been brought up in
7 much detail due to the resource solicitation
8 cluster. It's that Duke Energy Carolinas could
9 notify them to say well, while you triggered an
10 affected system, there really wasn't nothing
11 there; it was no cost or it was something very,
12 very nebulous.

13 However, what the Applicant is
14 also informed on both of Phase 1 and phase 2 it's
15 a flag. It's a risk. You have the potential for
16 affected system upgrades. With that known risk,
17 do you want to continue to move forward with
18 paying your deposits and potential penalties with
19 the offset provisions if costs go greater than
20 25 percent? There's ways out and the penalties
21 be waived.

22 So yes, the affected system
23 process does go in its own path, but it's
24 informing the Applicant not at Facility Study,

1 well in advance of Facility Study Phase 1, Phase
2 2, and that's a business risk that they're making
3 throughout the entire process.

4 Q Okay. So would you agree that there are no
5 defined timelines for the delivery of Affected
6 System Studies?

7 A Correct.

8 Q Okay. And I believe you testified that Duke has
9 a, what it calls a goal of completing Affected
10 System Studies within 60 to 90 days. And I'm
11 sorry. That's on page 25 of your testimony.

12 A That's correct.

13 Q Okay. Sixty to 90 days from when?

14 A I would have to go back and reread the LGIA
15 through the affected system process.

16 Q Okay. But that 60 to 90 days is just a goal,
17 right?

18 A It is a goal.

19 Q Okay. And we have no commitments from any other
20 utility about how long it might take them to
21 conduct an Affected System Study, do we?

22 A That's correct. For example, if Juno Solar was
23 to trigger a PJM affected system process, you're
24 at PJM's discretion of when that Affected System

1 Study process would or would not be completed no
2 different than any other potential utility.

3 Q Okay. So there's just -- there's really no
4 telling when a project might receive an Affected
5 System Study?

6 A Yes.

7 Q Okay. It could certainly be after the Facility
8 Study was received, right?

9 A It could be. Yes, it could very well be. But --
10 so in that conversation or in that vein would be
11 we might be able to get preliminary information
12 and serve discovery on the affected utility to
13 say okay, what was the nature of the upgrade.
14 It's a substation breaker. All right. A million
15 dollars. Okay. We can evaluate that explicit so
16 that it would have to be more fine tuned through
17 the Affected System Study, but if at a
18 preliminary or a high level and we have those
19 conversations say well, we really have about 55
20 miles of 230 kV that we need to upgrade and we
21 have this other section 115 yada, yada, yada, it
22 changes the story and the Applicant will have to
23 evaluate those risks as they move through the
24 process.

1 So if the Applicant is notified of
2 affected system at Phase 1, they could bow out
3 without the penalties and that would be
4 potentially fair isn't the right word, but the
5 other people in the queue can continue to
6 evaluate because maybe that magnitude of that
7 project was the tipping point that triggered the
8 affected system and the rest of the projects may
9 be able to come under the triggering effect.

10 So it's not going to necessarily
11 implode. It's a function that continually has to
12 be evaluated and restudied.

13 Q Okay. So your recommendation though is that
14 merchant projects or that FERC-jurisdictional
15 customers wait until they receive their Affected
16 System Studies before they file a CPCN
17 Application?

18 A That would be consistent with the EMP
19 Applications. Because I could not make my
20 determination of what the nature of those
21 upgrades are nor the costs, because now becoming
22 a potential -- so let's say hypothetically, Juno
23 Solar triggers an affected system upgrade in DEC.
24 So Public Staff would have to evaluate, and it's

1 under the FERC Crediting Policy we would have to
2 evaluate the impacts not now just to only DEP
3 customers, we would have to evaluate the impacts
4 now to DEC customers for energy that is going
5 into -- again hypothetically, not trying to
6 single out Juno, but for hypothetically where
7 something is getting sold into PJM.

8 Q So it's your position that an interconnection
9 customer should wait to receive an Affected
10 System Study from PJM or Santee Cooper or
11 Dominion or in a non-North Carolina utility prior
12 to filing its CPCN Application?

13 A I think that would be the most ideal solution.
14 And when one considers the termination provision
15 of the LCOT, I don't see them any different. So
16 if the -- under the assumption that if a merchant
17 power plant was seeking a CPCN from the Utilities
18 Commission and they had an unknown affected
19 system cost but was applied to the overall LCOT,
20 I don't see the difference of getting a \$4.00, in
21 my words, a blank check paying all the upgrades,
22 or not paying for the upgrades, but potentially
23 paying for the study being exposed to withdrawal
24 penalties only up to multiple months down the

1 road or years down the road and be notified of
2 this open-ended affected system process.

3 Q So I think you mentioned the possibility of, you
4 know, what would happen if Juno triggered
5 affected system impacts on DEC. So, Ms. Miller
6 testified in her rebuttal that Juno is committed
7 not to seek reimbursement from North Carolina
8 ratepayers for any affected system cost. Did you
9 hear that?

10 A I agree with that and that's some of the fluid
11 nature that has been discussed over time through
12 the testimony. So part of that would make sure,
13 I mean, the devil is in the details. If one were
14 to make it a condition, I mean, I think the
15 condition would have to be explicit that the LCOT
16 does not apply towards affected system cost.
17 Affected system cost that the Applicant is
18 voluntarily requesting that they pay for their
19 own upgrades and affected system.

20 Q So if there were condition in Juno's CPCN that
21 provided that Juno would not seek reimbursement
22 for any affected system costs -- upgrade costs
23 that would be charged to North Carolina
24 ratepayers, would that resolve the Public Staff's

1 concerns about affected system upgrade costs?

2 A In terms of the recommendation that the Public
3 Staff would need to review both the Facility
4 Study and the affected system cost, that may
5 be -- I would have to think on it more, but that
6 very well may be a mitigation measure as you
7 discussed.

8 Q Okay. And if Juno were to trigger affected
9 system upgrades on PJM's system, they would not
10 get reimbursement for those in any event, would
11 they?

12 A That is my current understanding, yes.

13 Q Okay. Are there any other systems that Juno
14 might trigger affected system upgrades on?

15 A I have the transmission map online, so I'm trying
16 to evaluate it. It would be too much speculation
17 to make any assumptions at this time without
18 fully understanding the -- sort of the base case
19 or the potential retirements or what they've
20 referred to as defacts on what elements are
21 turned down in the system to handle the injection
22 of the new generation. Too much speculation at
23 this time.

24 Q Okay. Thank you. But Juno would not in any

1 event be getting a reimbursement of affected
2 system upgrade costs from North Carolina
3 ratepayers; is that right? If it accepted the
4 condition that we just discussed a minute ago.

5 A Under that condition with that explicit caveat,
6 yes.

7 Q Okay. Thank you. So let's move on a little bit.
8 Mr. Metz, in your testimony you discuss H.B. 951;
9 is that right?

10 A Generally, yes.

11 Q Okay. And that law requires the Commission to
12 take all reasonable steps to reduce emissions
13 from Duke's generating fleet in North Carolina by
14 70 percent by 2030; is that right?

15 A In part. There's a couple of provisions that
16 under certain technologies there is a little bit
17 of a grace period. I don't have that law in
18 front of me. Subject to check, I believe it was
19 a year or two under certain provisions. And
20 there's one other caveat, but go ahead.

21 Q Okay. So, Ms. Miller testifies that with regard
22 to H.B. 951 that Duke's IRP, which the Commission
23 has now approved, shows that achieving this goal
24 of 70 percent reduction require procuring at

1 least 9 GW of solar by 2030. Does that sound
2 right to you?

3 A If you can point me to her testimony, please.

4 Q Sure. Page -- let's see this is her -- let's
5 see -- I'm sorry -- I think it's her direct
6 testimony page 15. I'm sorry. That's her
7 rebuttal testimony on page 15.

8 A All right. Page 15 the question starting at line
9 14?

10 Q Yeah. Line -- yeah, line 16 is the testimony.

11 A So yeah. Please proceed.

12 Q Okay. Yeah, so she says "Duke's Integrated
13 Resource Plan pending before the Commission shows
14 that amount of solar that must be procured to be
15 at least 9 GW, although intervenors have put on
16 evidence that would support a much higher
17 number." Do you agree that she's appropriately
18 characterizing the IRP and what others have said
19 in the IRP docket?

20 A Well, I'm somewhat confused on the -- I mean, she
21 jumps -- and not on purposely, but I couldn't
22 discern whether she was talking about the North
23 Carolina IRP or the South Carolina IRP. I know
24 she talks about sort of at the last line the

1 amount of required solar could be closer to 11
2 GW, so that would point to me that she was
3 referencing South Carolina's IRP and not
4 necessarily North Carolina's IRP.

5 And I remember the other caveat
6 that I wanted to eventually discuss that 951 is
7 that the Commission has to create, implement, and
8 follow through on the Clean Carbon Plan or that
9 equivalent and that would inform the steps and
10 evaluation steps on the generation portfolio that
11 would be into the future which I would hope that
12 or at least the Public Staff would also be
13 evaluating the integral Phase 2 report which
14 would be evaluating the amount of potential
15 generation resources to compliment the existing
16 system while balancing the retirement of existing
17 systems to maximize efficient utility build-out
18 on both generation and transmission.

19 Q Okay. Well, would you agree that based on this 9
20 GW number that was included in Duke's North
21 Carolina IRP, Duke would need to add at least a
22 gigawatt of solar per year through 2030 and maybe
23 more to reach the decarbonization goals of
24 H.B. 951? Do you agree with that?

1 A No. I don't necessarily agree with that, because
2 now I don't know if she's mixing Duke Energy
3 Carolinas or Duke Energy Progress, or if she's
4 looking at the Joint Study Case which is
5 generally just sort of a hypothetical, because
6 they are two independent BAs. I don't know if
7 you can provide any more discretion on that,
8 because Duke Energy Progress has a magnitude
9 greater. I don't know that -- I can't recite the
10 exact numbers of solar generation above Duke
11 Energy Carolinas --

12 Q Okay. I'll represent to you that Ms. Miller is,
13 I believe, is speaking collectively of the two
14 utilities. Does that -- do those numbers sound
15 right when considered in the context of both
16 utilities?

17 A I'm going to have to know which portfolio,
18 because under Portfolio A no new solar
19 generation. I believe I filed a -- I did file a
20 testimony on this, but no new solar generation
21 was economically selected on Portfolio A
22 respecting that at that point in time in the 2020
23 IRP we did not have H.B. 951.

24 Q Okay.

1 COMMISSIONER DUFFLEY: I need to give our
2 court reporter a break, so how much longer do you
3 anticipate questioning?

4 MR. SNOWDEN: I would say -- and I will try
5 to trim it down, but I'd say about an hour left. I'll
6 try to -- I will -- if we have a break, I will try to
7 trim that down to get --

8 COMMISSIONER DUFFLEY: Okay. Well -- and
9 you all also may need to talk about -- I mean, we have
10 to leave at five, so look at other dates potentially
11 that we can come back. So I think we've identified
12 December 8th as a potential date, so if you -- if all
13 the parties could discuss that date during the break.

14 We're going to go off the record. We'll be
15 back on at 4:00 p.m.

16 (The hearing was recessed, to
17 reconvene at 4:00 p.m.)
18
19
20
21
22
23
24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings taken and reported by TONJA VINES in
stenographic shorthand were transcribed under my
direction, and that the Proceedings set forth herein
and the foregoing pages are a true and correct
transcription to the best of my ability.

Kim T. Mitchell

Kim T. Mitchell