

PLACE: Dobbs Building, Raleigh, North Carolina

DATE: Wednesday, November 2, 2022

TIME: 1:00 p.m. - 4:09 p.m.

DOCKET NO: E-7, Sub 1276

BEFORE: Commissioner Kimberly W. Duffley, Presiding

Chair Charlotte A. Mitchell

Commissioner ToNola D. Brown-Bland

Commissioner Daniel G. Clodfelter

Commissioner Jeffrey A. Hughes

Commissioner Floyd B. McKissick, Jr.

Commissioner Karen M. Kemerait

IN THE MATTER OF:

Duke Energy Carolinas, LLC's Request to

Initiate Technical Conference

Pursuant to Commission Rule R1-17B(c)

1 A P P E A R A N C E S:

2 FOR DUKE ENERGY CAROLINAS, LLC:

3 Joshua Warren Combs, Esq.

4 Troutman Pepper Hamilton Sanders LLP

5 600 Peachtree Street NE, Suite 3000

6 Atlanta, Georgia 30308

7
8 James H. Jeffries, IV, Esq.

9 McGuireWoods LLP

10 201 North Tryon Street, Suite 3000

11 Charlotte, North Carolina 28202

12
13 FOR CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY

14 RATES III:

15 Christina Cress, Esq.

16 Bailey & Dixon, LLP

17 434 Fayetteville Street, Suite 2500

18 Raleigh, North Carolina 27601

19
20 FOR HAYWOOD ELECTRIC MEMBERSHIP CORPORATION:

21 Christina Cress, Esq.

22 Bailey & Dixon, LLP

23 434 Fayetteville Street, Suite 2500

24 Raleigh, North Carolina 27601

A P P E A R A N C E S Cont'd.:

FOR BLUE RIDGE ELECTRIC MEMBERSHIP CORPORATION:

Christina Cress, Esq.

Bailey & Dixon, LLP

434 Fayetteville Street, Suite 2500

Raleigh, North Carolina 27601

FOR RUTHERFORD ELECTRIC MEMBERSHIP CORPORATION:

Christina Cress, Esq.

Bailey & Dixon, LLP

434 Fayetteville Street, Suite 2500

Raleigh, North Carolina 27601

FOR PIEDMONT ELECTRIC MEMBERSHIP CORPORATION:

Christina Cress, Esq.

Bailey & Dixon, LLP

434 Fayetteville Street, Suite 2500

Raleigh, North Carolina 27601

FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:

Taylor M. Jones, Esq.

4800 Six Forks Road, Suite 300

Raleigh, North Carolina 27609

1 A P P E A R A N C E S Cont'd.:

2 FOR THE USING AND CONSUMING PUBLIC:

3 Nadia Luhr, Esq.

4 Public Staff - North Carolina Utilities Commission

5 4326 Mail Service Center

6 Raleigh, North Carolina 27699-4300

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 P R E S E N T E R S:

2 FOR DUKE ENERGY CAROLINAS, LLC:

3 Brent Guyton

4 Director, Distribution Asset Management

5
6 Dan Maley

7 Director, Transmission Compliance Coordination

8
9 Laurel Meeks

10 Director, Renewable Business Development

Page 6

P R O C E E D I N G S

COMMISSIONER DUFFLEY: Good afternoon.

Let's go on the record, please. I am
Kimberly W. Duffley, Commissioner at the
North Carolina Utilities Commission, and with me
are Chair Charlotte A. Mitchell and Commissioners
ToNola D. Brown-Bland, Floyd B. McKissick,
Jeffrey A. Hughes, and Karen M. Kemerait.

I now call to order Docket Number
E-7, Sub 1276, which is captioned In the Matter of
Application of Duke Energy Carolinas for Adjustment
of Rates and Charges Applicable to Electric Service
in North Carolina and Performance-Based Regulation.

North Carolina General Statute
§62-133.16 authorized performance-based regulation,
or PBR, for electric public utilities. Pursuant to
statutory directive on February 10, 2022, the
Commission issued an order adopting Commission Rule
R1-17(b) to implement this statute.

On September 8, 2022, Duke Energy
Carolinas, or DEC, filed a letter with the
Commission indicating its intent to file a general
rate case application that includes a
performance-based regulation application, or PBR

1 application, as authorized under North Carolina
2 General Statute §62-133.16, with the PBR
3 application targeted for filing no earlier than
4 January 6, 2022.

5 DEC also requested, pursuant to Rule
6 R1-17(b), that the Commission initiate a technical
7 conference regarding the projected transmission and
8 distribution projects to be included in DEC's PBR
9 application.

10 On September 14, 2022, the Commission
11 issued its order scheduling technical conference
12 and setting procedures for technical conference,
13 scheduling the technical conference to be held on
14 this date, November 2, 2022, beginning at 1:00.
15 The purpose of this technical conference, which is
16 required by statute, is to allow DEC to present
17 information regarding its projected transmission
18 and distribution expenditures.

19 The Commission's September 14th order
20 permits interested parties to intervene and to
21 provide comment on DEC's filing. In addition, the
22 Commission permits interested parties an
23 opportunity for a presentation today, subject to
24 advanced notice requirement.

1 Upon the filing of timely motions, the
2 following parties have petitioned to intervene and
3 have been allowed to intervene in this proceeding:
4 The Carolina Industry Group for Fair Utility Rates
5 III, or CIGFUR III; Carolina Utility Customer
6 Association, or CUCA; North Carolina Justice
7 Center, North Carolina Housing Coalition, and the
8 Southern Alliance for Clean Energy, or SACE, and
9 Natural Resource Defense Counsel, or NRDC,
10 collectively NCJC, et al.; North Carolina
11 Sustainable Energy Association, or NCSEA; Haywood
12 EMC; Blue Ridge EMC; Rutherford EMC; and Piedmont
13 EMC. The Public Staff, which represents the using
14 and consuming public in matters before the
15 Commission, will participate in the technical
16 conference as well.

17 On October 19, 2022, DEC filed its
18 projected T&D expenditures and parties may file
19 written comments on DEC's T&D filing through today,
20 November 2, 2022. And that brings us to today.

21 It is my understanding that the only
22 presentation today will be from DEC. There will be
23 no cross-examination of DEC's witnesses, per the
24 terms of the statute, but Commissioners will be

1 able to -- permitted to ask questions of DEC's
2 witnesses. There will be no questions taken on
3 Commission questions.

4 This technical conference is being
5 transcribed, and the transcript will be filed in
6 the docket as soon as it's available.

7 Before we begin, I would like the
8 parties to identify themselves for purposes of the
9 record, and we will start with DEC.

10 MR. JEFFRIES: Thank you, Commissioner
11 Duffley, Chair Mitchell, members of the Commission.
12 My name is Jim Jeffries. I'm with the law firm of
13 McGuireWoods. I'm here on behalf of Duke Energy
14 Carolinas today. And with me is my co-counsel,
15 Mr. Josh Combs, who is with the law firm of
16 Troutman and Pepper, and who has been admitted
17 previously pro hac vice for this proceeding by the
18 Commission order issued on October 3rd. Thank you.

19 COMMISSIONER DUFFLEY: Okay. Good
20 morning, Mr. Jeffries, Mr. Combs.

21 MR. COMBS: Good morning.

22 COMMISSIONER DUFFLEY: Afternoon. Good
23 afternoon.

24 MS. LUHR: Nadia Luhr with the Public

Page 10

1 Staff, on behalf of the using and consuming public.

2 COMMISSIONER DUFFLEY: Good afternoon,

3 Ms. Luhr.

4 MS. JONES: Good afternoon.

5 Taylor Jones, regulatory counsel for the

6 North Carolina Sustainable Energy Association.

7 COMMISSIONER DUFFLEY: Good afternoon,

8 Ms. Jones.

9 MS. CRESS: Good afternoon, Presiding
10 Commissioner Duffley and Commissioners.

11 Christina Cress with the Law Firm of Bailey and
12 Dixon here on behalf of CIGFUR III, Blue Ridge EMC.
13 Haywood EMC, Rutherford EMC, and Piedmont EMC.

14 Thank you.

15 COMMISSIONER DUFFLEY: Thank you,
16 Ms. Cress. Anyone else?

17 (No response.)

18 COMMISSIONER DUFFLEY: Okay. Before we
19 begin, are there any preliminary matters?

20 (No response.)

21 COMMISSIONER DUFFLEY: Okay. We'll go
22 ahead and get started.

23 Mr. Jeffries?

24 MR. JEFFRIES: Thank you, Commissioner

Page 11

1 Duffley. We have three presenters for DEC present
2 today, two of whom you have seen previously at
3 another MYRP technical conference, but those
4 individuals are Mr. Brent Guyton, who is to your
5 right. He is the director of distribution asset
6 management for Duke Energy. Next to him is
7 Mr. Dan Maley, who is the director of transmission
8 compliance. And then next to Mr. Maley is
9 Ms. Laurel Meeks, who is the director of renewable
10 business development for Duke Energy.

11 And with that, I'll turn this over to
12 Mr. Guyton.

13 MR. GUYTON: All right. Good afternoon,
14 and thank you to all attendees who have joined the
15 technical conference today, as we know your time is
16 valuable. We believe you will find today's session
17 informative. My name is Brent Guyton. I'm the
18 director of distribution asset management for Duke
19 Energy here in the Carolinas.

20 For today's technical conference, we
21 have three subject matter experts who will be
22 speaking on the distribution, transmission, and
23 energy storage investments identified in the MYPR.
24 I will be our first speaker, followed by Dan Maley,

1 director of transmission compliance coordination,
2 and then Laurel Meeks, director of renewable
3 business development will wrap up our presentation.

4 We will spend the next couple of hours
5 sharing information on the discrete and
6 identifiable distribution, transmission, and energy
7 storage investments identified by DEC's MYRP.

8 Over the course of the technical
9 conference, we will provide an overview of the
10 trends that continue to impact our industry and
11 drive our system planning. We will also share an
12 overview of the distribution, transmission, and
13 energy storage projects programs that will be
14 included in our MYRP proposal, and which were
15 identified in the pre-technical conference
16 documentation. These investments are necessary for
17 the Company to both maintain and advance the grid
18 to support the clean energy transition. In
19 addition, we will also provide specific examples of
20 the planned work identified in the multiyear rate
21 plan period.

22 It is important to note that this
23 presentation today is an overview of the previously
24 submitted materials documenting the scope of our

1 MYRP, and it is not intended to provide detail on
2 every program or project identified.

3 As a reminder, on October 19th, Duke
4 Energy provided the following information: detailed
5 description for each planned improvement program or
6 project, that description included the purpose and
7 description of the work to be completed; a summary
8 of the expected benefits; the estimated cost --
9 installation cost for the planned distribution,
10 transmission, and energy storage work.

11 Additionally, Duke Energy has provided a
12 complete list of planned projects, including
13 projected in-service dates, estimated total cost
14 for each individual project, House Bill 951 policy
15 considerations addressed also.

16 And lastly, cost-benefit analyses that
17 list costs and benefits of each program or project,
18 and most include a financially based CBA.

19 Duke Energy is actively engaged in the
20 ongoing implementation of the federal
21 Infrastructure Investment and Jobs Act, or IIJA, at
22 the state and federal levels. The \$1.2 trillion
23 IIJA has \$60 billion earmarked for specific needs
24 in the power and energy sector, including

1 meaningful funding opportunities for grid
2 resiliency work to promote electrification and
3 clean energy technologies.

4 We acknowledge these funding
5 opportunities will be administered through an
6 extremely competitive grant process, and Duke
7 Energy is well positioned to aggressively pursue
8 these opportunities.

9 We are participating in requests for
10 information and discussions with federal agencies,
11 including the Department of Energy, the Department
12 of Transportation, and the Environmental Protection
13 Agency. For instance, to help inform DOE's IIJA
14 program administration, we submitted a response to
15 the GRIP on October 14th. This RFI, along with
16 seven of our other RFI responses, have been
17 submitted as informational updates in the NCUC IIJA
18 docket.

19 While federal agencies are making
20 progress, they are still in the early phases of
21 their overall IIJA implementation, with many new
22 programs actively under development. While
23 programs are under development the Company has
24 defined its IIJA grant prioritization process,

1 which has been shared with Public Staff. It
2 includes building a disciplined prioritization
3 framework and operating model through a partnership
4 with an outside expert, benchmarked against
5 industry peers. This process includes proactive
6 grant planning, grant writing and submittal, and
7 grant execution plans moving forward. Throughout
8 these efforts, the team carefully reviewed grants
9 the utility may apply for directly, as well as
10 grants Duke Energy may support via its state and
11 local government and other community partners.

12 Duke Energy's goal is to maximize the
13 customer benefit of the grant proposals that we
14 submit. We look forward to responding to the
15 grid-related IIJA funding opportunity
16 announcements, which are anticipated to be released
17 this quarter of 2022, and we'll keep the Commission
18 updated on the status of our efforts.

19 To be clear, we are pursuing IIJA
20 funding opportunities for the benefit of our
21 customers and will ensure that the customers
22 receive that benefit. However, the customers --
23 sorry, however, the projects included in this
24 technical conference and that will eventually be

1 included in the MYRP requested later, are projects
2 that benefit customers and make sense to do,
3 regardless of whether or not IIJA funding is
4 received.

5 None of the cost-benefit analyses or
6 cost estimates submitted with our prefiled
7 materials assume that IIJA funding is received.
8 The Company is also working to identify a second
9 set of projects that may only make sense to do if
10 IIJA funding is received. No projects of this
11 nature have been included in the technical
12 conference materials.

13 The U.S. electric grid is in a complex
14 transition. Its original design was somewhat
15 simple and intended to power the lives of
16 individuals in our great country with a few design
17 assumptions in mind, such as that generation was
18 firm and dispatchable, generation also always
19 followed load and kept power in balance, and load
20 at the distribution level was treated as passive
21 load attached to the transmission system, fourth
22 power flowed in one direction from central
23 generation to the customer, and lastly, the grid
24 was designed for reliability.

1 The mission of the electric utility grid
2 has significantly changed over the decades. The
3 mission used to be keep the lights on, keep the
4 lights on, and keep the lights on. Today, the grid
5 must still keep the lights on, but we also have to
6 factor in other considerations. The grid must be
7 cyber secure, it must be physically secure, it must
8 be flexible in enabling new solutions and
9 technologies, accessibility, economical, clean and
10 sustainable, and above all, resilient.

11 Significant trends are affecting the
12 grid that were introduced by the Company back in
13 2019 that are very much still present today.

14 Grid improvement technology has advanced
15 over the last decade, giving utilities alternatives
16 to traditional options. Technological advancements
17 in renewables and DERs are growing rapidly, driving
18 expectation for increased adoption. Threats to
19 grid infrastructure are on the rise, including both
20 physical and cyber threats. The impact of weather
21 events is increasing in frequency and severity for
22 the grid and our customers. Concentrated
23 population growth in urban and suburban areas
24 continues and requires new infrastructure.

1 Customers' expectations are evolving with a focus
2 on reliability and new options to save money and
3 safely access clean energy. And lastly,
4 environmental commitments at the federal, state,
5 local, and corporate levels, both public and
6 private, are being made with goals for renewables,
7 low carbon transportation, and energy efficiency.

8 As we shift our thinking to the future,
9 the grid must be thought of as an enabler, one that
10 safely integrates new grid technologies and
11 supports expanded distributed energy resources,
12 such as solar, wind, storage, and electric
13 vehicles. To do this, the legacy grid must be
14 upgraded and adapted to accommodate dynamic two-way
15 power flows, load shifting, and greater situational
16 awareness for our operators.

17 Traditional forms of grid planning are
18 no longer adequate. Duke Energy has implemented
19 integrated systems operations planning, or ISoP,
20 for grid plans leveraging more and more data, like
21 the propensity to adopt solar and purchase of an
22 electric vehicle when planning future projects.

23 The program's plan will use these new processes to
24 implement tailored solutions that will be an

1 enabling platform, essentially creating a grid that
2 is a digital superstructure that delivers on the
3 energy goals and requirements of our state.

4 As we think about the future grid and
5 the clean energy transition, three primary
6 objectives bubble to the top. First, grid
7 resiliency. We must have a grid that has the
8 ability to withstand and recover from for frequent
9 extreme weather and other external events. We must
10 have a grid that is more reliable if we are going
11 to count on more variable distributed energy
12 resources, especially at the distribution level.

13 Expanding renewables and DERs. We must
14 enable the grid to meet customer demand for DERs,
15 while maintaining safe and reliable service. And
16 we have a bold carbon goal in North Carolina and we
17 must prepare the grid as safely and reliably
18 integrate increased variable distributed resources.

19 Also, equitable access to benefits. We
20 must achieve a balanced outcome for customers
21 across the entire service territory, promoting
22 access to emerging technologies and energy
23 solutions. And lastly, we must implement our
24 projects in the most efficient manner possible,

1 with an eye on customer affordability.

2 I will now shift to an overview of the
3 distribution projects. I'll cover seven areas:
4 benefits to customers, critical grid capabilities,
5 an overview of the work streams and programs and
6 distribution projects, our planning approach to
7 maximize customer benefits; I'll also provide an
8 overview of the specific MYRP project in our Triad
9 zone, I'll also cover our methodology for our
10 financial cost-benefit analyses, and lastly, I'll
11 highlight the programs that make up our MYRP
12 projects.

13 Before I shift to those seven areas, I
14 want to talk briefly about how we'll be delivering
15 the benefits to the customer and establishing
16 and/or strengthening the critical grid capabilities
17 that are needed. I'll explain this more as we go
18 along, but I wanted to introduce it as we get
19 started.

20 Our projects are planned for a
21 geographically clustered set of substations. Each
22 substation and its associated circuits, based on
23 their specific needs, will receive selected
24 distribution program. It's not one-size-fits-all.

1 And lastly, work is executed geographically to
2 maximize resource efficiency, minimize the
3 disruption to customers, and deliver benefits
4 across a broad customer footprint or area.

5 The MYRP projects will result in
6 significant customer benefits.

7 First, reliability. Fewer and shorter
8 outages. Our self-optimizing grid, targeted
9 underground, and distribution automation program
10 focus in this area.

11 Resiliency. We must protect the grid
12 against physical and cyber attacks, as well as
13 severe weather impacts and our hardening and
14 resiliency efforts are focused here.

15 Access to renewables and distributed
16 energy resources. Our capacity and voltage
17 regulation management work streams are focused in
18 the area.

19 Multiyear rate plan projects and grid
20 capabilities they bring are foundational and will
21 support future technologies. With enhanced
22 automation and control and situational awareness,
23 we will operate the grid more efficiently and
24 support new customer programs and offerings, giving

1 customers more control and affordability options.

2 Equitable access to benefits. Our MYRP
3 projects are spread across our geographic retail
4 customer classes.

5 In this strategy, we'll serve customers
6 into the future. As said above, these projects are
7 foundational. The programs in our MYRP projects
8 truly make the grid more flexible and adaptable.
9 Our capacity and other work that enables two-way
10 power flow for distributed energy resources is an
11 example.

12 Automation and control technologies
13 generate and capture huge amounts of data that we
14 have not had before. This is extremely helpful for
15 our grid operators, but also for our planning
16 engineers, as they analyze and model our grid for
17 future improvements and capabilities, using ISoP
18 toolsets, such as MORECAST and advanced
19 distribution planning.

20 And lastly, grid technologies will
21 continue to advance and be integrated into new
22 solutions to address changing customer needs.

23 There are four critical grid
24 capabilities that mitigate the impacts of the mega

1 trends and thus deliver customer benefits. The
2 first of these is reliability.

3 The distribution grid of the past was
4 built to serve customers' load. In that case, an
5 outage for commercial industrial customers meant a
6 loss of revenue or inability to operate their
7 business. And for residential customers, an
8 inconvenience, possibly minor or major.

9 As we move now to more of the hybrid
10 environment, there is also impacts on individuals
11 being able to work from home or remote learning for
12 school kids.

13 The distribution grid of the future must
14 not only serve the load, but also will be
15 connecting distributed energy resources or
16 generation to the grid. In that case, an outage
17 not only has the historical context I just
18 described, but it's also a loss of generation.
19 When you layer in electric vehicles, there is now
20 an impact to transportation as well.

21 We also must strengthen the grid and
22 resiliency; being able to take a punch and recover
23 quickly is critical.

24 The second is capacity. We need to

1 increase line and substation capacity, and enable
2 two-way power flow for distributed energy resources
3 and supports for vehicle electrification, both
4 personal and fleet.

5 Automation and communication.
6 Resiliency. The poster child for that in
7 distribution is self-optimizing grid. It
8 automatically detects faults, reroutes power, and
9 minimizes the impact of those events on our
10 customers. And also, official management of
11 distributed energy resources, both solar and
12 storage.

13 And lastly is voltage regulation. The
14 quantity of distributed energy resources and the
15 associated intermittency requires more precise
16 voltage control across the distribution grid. An
17 increased resiliency by blunting the impacts of
18 those intermittently as well.

19 There is a lot of information packed in
20 those four critical grid capabilities that I just
21 described, and what I would point to is think of,
22 as a child, the car you rode in, maybe your parents
23 or grandparents, and the technology that vehicle
24 had versus the vehicle you likely drove here today

1 or maybe is home in your garage. It is night and
2 day in technology and capabilities, and that's the
3 transformation I'm describing for the distribution
4 grid.

5 There are four main categories of our
6 distribution grid improvements: substation and
7 line; integrated volt-VAR control, or IVVC; voltage
8 regulation and management; next, retail and system
9 capacity; and last, hazard tree removal.

10 From the bar graph on the left, you'll
11 see how the costs are spread, for a total of
12 approximately \$2.35 billion across the MYRP period.

13 We'll talk in more detail about the
14 programs on subsequent slides, but first I want to
15 explain why you see integrated volt-VAR control and
16 voltage regulation and management outside of the
17 substation line category, and also capacity and
18 hazard tree removal both inside substation and line
19 and also a separate category.

20 For hazard tree removal and capacity,
21 this is the same work both inside substation and
22 line as well as in the standalone category. For
23 hazard tree removal specifically, at the bottom of
24 the page, this is traditional identification and

1 execution of this work, but it's aligned with
2 normal cycle trending. Within substation and line,
3 this hazard tree work is aligned and grouped with a
4 significant amount of other work and is all
5 executed together with an eye on resource
6 efficiency and maximizing the customer benefits
7 across the geographic area.

8 Capacity is very similar. It is the
9 same work in both cases. At the bottom, it is
10 traditional -- or standalone. It's traditional
11 loads as well as distributed energy resources and
12 electric vehicles. It is just not geographically
13 located with a significant amount of other work.
14 And within the substation and line category, it is
15 aligned with a significant amount of work, again
16 with an eye on resource efficiency and maximizing
17 customer benefits across the geographic area.

18 I now want to talk briefly about
19 integrated volt-VAR control, or IVVC, and voltage
20 regulation and management. There is a current
21 project, integrated volt-VAR control in DEC
22 North Carolina outside of MYRP. It is going on
23 now. That's addressing about 1,400 circuits in DEC
24 North Carolina. It is currently being executed as

1 a standalone project. It's focused as standalone
2 due to regulatory commitments, as well as intense
3 coordination for transmission work that has to go
4 on inside the substation.

5 Specifically in this example, or this
6 page, underneath the multiyear rate plan we've
7 identified another 300 circuits in DEC
8 North Carolina that we can provide that same core
9 functionality of integrated volt-VAR control, and
10 then implement conservation voltage reduction, as
11 well as evaluate those circuits for DER penetration
12 for voltage regulation and management assets.

13 How we plan in sequence our substation
14 and line projects, I'll show here and speak through
15 this. The two groups that are key to this effort
16 are asset management as well as project
17 development. An ISoP toolset, such as advanced
18 distribution planning and MORECAST are used in
19 these analyses.

20 I'll start in the lower left of this
21 diagram and work my way around clockwise. We
22 analyze each circuit, again leveraging the MORECAST
23 data which is a 10-year hourly forecast by circuit,
24 looking at both projected loads, including electric

1 vehicle penetration, as well as distributed
2 resources. We always evaluate, besides capacity,
3 for the other critical grid capabilities such as
4 reliability, automation and control, as well as
5 voltage regulation and management. We then
6 determine the potential programs to address any
7 needs or gaps for those circuits and the associated
8 substations. We take those balanced circuit plans
9 at the system level, iterate those against any
10 constraints, such as labor, material, or annual
11 budgets, et cetera, and then we sequence that work
12 at the individual substations. And lastly, those
13 substation projects are aggregated to the area
14 level for the MYRP projects for distribution.

15 I introduced our project-based approach
16 earlier, but I want to reiterate here. You see
17 that in the gray box at the left of the page.
18 They're planned for a set of geographically
19 clustered substations. The select improvement
20 areas are selected based on analysis for individual
21 circuits and substations, and lastly, those are
22 aggregated together at the geographic level to be
23 executed as an MYRP project. Again, delivering
24 maximum customer benefits, minimizing customer

1 interruption as well, and resource efficiency.

2 The analogy I would use here is think of
3 a house remodel. You could do it a couple of
4 different ways. One way is to do a lot of small
5 projects. It likely takes a long time. Future
6 projects may cause some rework of former projects.
7 It's likely less efficient. And disruption and
8 inconvenience for your family goes on forever. And
9 it's harder to really enjoy the impacts of those
10 individual projects as they're executed. Or you
11 can aggregate it all together as an overall
12 project, identify all the things you need to change
13 or upgrade, hire a general contractor or an
14 architect and designer as well, potentially. You
15 plan and schedule that as one large project, it
16 minimizes any rework. It's still disruptive and
17 convenient, potentially for your family, but it
18 does have an end, and the appreciation and
19 enjoyment -- well, you appreciate and enjoy your
20 entire remodel and all those modern touches,
21 conveniences, and capabilities when it's finished.

22 Each remodel is different. It may be
23 for efficiency, modern convenience, or maybe you
24 need to modify your home for aging in place to care

1 for an elderly parent. Each of our substations and
2 the analysis done there is different as well for
3 those individual projects.

4 I want to walk through a sample project
5 shown here. This is a substation and line project
6 in our Triad area, or Triad zone. It's area 251,
7 which is our Mt. Airy, Rural Hall, and Kernersville
8 part of that territory. There are 18
9 geographically clustered substations. You see
10 those listed down the left-hand side. The green
11 column headers across the top include not only the
12 subnames, but also the improvement programs.

13 Let's specifically look at Key Street in
14 the middle. There are seven different programs
15 identified based on the specific needs for the Key
16 Street substation and its associated circuits.

17 I want to reiterate, the needs for these
18 projects are really looking at a 3- to 5-year rise,
19 which is a normal horizon that allows for
20 flexibility for future capabilities, even though
21 MORECAST can predict overloads out to 10 years for
22 that.

23 One last comment I'll make on this
24 slide, the maturity of our estimates and the

1 economic uncertainties we face. The estimates that
2 we prepared were as of mid to late September to
3 finalize materials for this technical conference,
4 and some of the estimates will be updated in the
5 PBR filing docket.

6 Our cost-benefit analysis methodology.
7 Overall, the benefit and cost-benefit analysis uses
8 the same methodology as previous filings.

9 Their expected financial benefits. For
10 a customer that is in the form of typically
11 liability, leveraging the interruption cost
12 estimating tool for DEO, as well as operational
13 costs, such as avoided O&M. An example of that
14 would be if we execute a targeted underground
15 project, we no longer need to trim the trees in
16 that section of line, and that's an avoided O&M
17 cost for all customers.

18 We also do them at the program level,
19 similar to self-optimizing grid in previous
20 filings.

21 We then have our data inputs. The
22 planning inputs. We aggregate resource and input
23 requirements. These really link back to the
24 planning process I described a couple of slides

1 ago, including the substation and circuit
2 characteristics and the grid capabilities. Also,
3 historical project data. Labor and material cost
4 and labor and hours durations as well.

5 We then have our CBA inputs, which are
6 the expected reliability improvements. We look at
7 the historical performance of those circuits, as
8 well as the historical improvements we've seen by
9 executing the proposed program work.

10 We then calculate the program cost from
11 historical data, labor and material cost, et
12 cetera, with appropriate escalations. We also
13 calculate the benefits for the customers, again
14 use -- for reliability using the interruption cost
15 estimator calculator as a data input.

16 We also look at operational benefit,
17 such as avoided OEM, as I described a moment ago.
18 And also other benefits as well. Fuel,
19 specifically for integrated volt-VAR control, is
20 one of the benefits. And we leverage project
21 schedules for the timing of the cost incurred, as
22 well as the benefits realized.

23 We then tabulate the schedule of cost
24 and benefits in Excel. The benefits include outage

1 avoidance, both sustained and momentary, as well as
2 operational savings. The cost of capital,
3 including contingency, and also O&M, both the
4 implementation O&M for the project, as well as any
5 ongoing O&M.

6 The present value is calculated for both
7 cost and benefits. These are then netted against
8 each other, and the benefit-cost ratio is
9 calculated. We've also included sensitivity
10 analysis to look at key values and how those impact
11 the cost-benefit analysis.

12 So now I want to talk about the actual
13 programs, and the next -- the remaining slides that
14 I have are overviews of the program. There is two
15 slides for each one. The first is an overview, the
16 second is a benefit slide. On the right-hand side
17 of the overview slide, as you see here, it has
18 construction timelines, estimated in-service dates,
19 projected cost, and grid capabilities enabled, and
20 lastly House Bill 951 policy considerations that
21 are addressed. I won't spend much time talking
22 about those. Those are in the program summaries.
23 I'll focus my comments, really, on the description
24 and overview of the different types of work. And

1 on the benefit slides, I'll highlight the benefits
2 associated with those as well.

3 So integrated volt-VAR control. We also
4 had that listed earlier with voltage regulation and
5 management. And those are closely related, but
6 they are separate programs. I want to go about
7 them separately, but I'll also describe how they
8 are closely linked.

9 So integrated volt-VAR control. This
10 provides foundational capability by flattening the
11 voltage profile on a circuit, and then we're able
12 to operate in conservation voltage reduction. Let
13 me explain what that is.

14 So we have a bandwidth of voltage that
15 we operate in, high voltage and low voltage. When
16 a circuit leaves a substation, it starts near the
17 upper end of that voltage limit, and as we go out
18 along the circuit, the voltage naturally degrades.
19 When it gets toward the lower limit, we would
20 install voltage regulators, raise that back up, and
21 then again, as we go toward the end of the circuit,
22 it would continue to degrade. But we maintain
23 always within that upper and lower limit.

24 With integrated volt-VAR control, we

1 flatten that voltage profile from the beginning of
2 the circuit at the substation all the way to the
3 end. Once we flatten it, we can lower that voltage
4 down toward the lower limit -- not to the lower
5 limit, but towards it -- and that saves generation,
6 and that's a huge cost savings of fuel for
7 customers, a direct passthrough to customers. So
8 that is conservation voltage reduction. Flattening
9 the voltage profile, and then lowering that toward
10 the lower limits to operate there.

11 Voltage regulation and management is
12 there to mitigate the impacts of intermittency. So
13 once we have that voltage toward the lower limit,
14 we've got to make sure we could damp out any
15 impacts from distributed energy resources. So
16 that's why these two programs are looked at very
17 closely together, and they're closely related in
18 how we control voltage.

19 To focus back on IVVC, I describe the
20 project that is ongoing now, outside of MYRP, but
21 within the MYRP, again, we've identified another
22 300 circuits for DEC North Carolina that we can
23 apply that voltage flattening and lower the voltage
24 to save customers fuel in that case.

1 This work provides foundational control
2 of distribution equipment to optimize voltage and
3 power factors; regulators and capacitors, both
4 inside the substation as well as out on the lines
5 are deployed; new capacitors and regulators are
6 installed if needed; we upgrade the controls for
7 existing insulations as well; and we bring
8 communications back to the control centers, and
9 that's how we integrate that into the distribution
10 management system to, again, operate the system in
11 that more efficient manner that I just described.

12 You can think of that conservation
13 voltage reduction as almost like the eco button in
14 your vehicle, if you have that capability. They
15 call it different things in different vehicles.
16 But you could plan a trip, set your cruise control,
17 press the eco button, and your car will
18 automatically operate in the most efficient manner
19 possible as you make your trip. That's what we're
20 doing with the distribution management system for
21 the grid.

22 The benefits of integrated volt-VAR
23 control. I talked about this a little bit, but
24 fuel savings. Reduced energy consumption saves

Page 37

1 fuel, and that's a direct passthrough to customers.
2 Less generation reduces carbon emissions, it helps
3 maintain proper voltage levels, and it also can
4 provide foundational mitigation for solar
5 intermittency and very light penetrations of DERs.
6 And you see the benefit-cost ratio there in the
7 lower right, 1.6.

8 Now, to the closely related voltage
9 management program. So as I described a moment
10 ago, this part of our effort is about damping out
11 the voltage fluctuations from the intermittency of
12 DERs, once we've applied that.

13 The planning engineers leveraged the
14 signed toolset to perform the voltage and power
15 analysis on each circuit. They first do the
16 integrated volt-VAR control analysis to make sure
17 we've got that capability. They will then
18 immediately do a sequential study to look at any
19 potential voltage regulation and management
20 equipment that may be needed, based on the
21 penetration expected on DERs.

22 There's really three levels of voltage
23 regulation management equipment that will be
24 deployed if needed. Voltage regulators and

1 upgraded controls will be first. We may add
2 capacitors to provide reactive power support if
3 needed. And lastly, for circuits that have the
4 high penetration of distributed energy resources,
5 power electronics can be deployed to provide both
6 voltage and reactive power support in areas. So,
7 again, a particularly high DER penetration.

8 Regulators and capacitors are not new,
9 but the quantity and upgraded control for two-way
10 power flow are new. And power electronics are a
11 new technology and provide instantaneous voltage
12 and regulation or reactive power support.

13 You can think of voltage regulators and
14 capacitors as really more of the course
15 adjustments, when we need to make those adjustments
16 on the circuit, and the power electronics as being
17 a fine in instantaneous adjustment as needed as
18 well. And those power electronics can also help
19 keep the regulators and capacitors from making --
20 from trying to chase and make rapid changes, and
21 allow them only to operate when they're needed for
22 large changes on the grid, where the power
23 electronics can take care of the more instantaneous
24 needs. Voltage regulation is one of the four

1 critical grid capabilities, and this work
2 specifically addresses that.

3 So the benefits of voltage regulation
4 and management. Improve voltage experience. It
5 will maintain proper voltage level and reduce or
6 mitigate power quality issues from increased DER
7 penetrations. It supports the increased levels of
8 DER connected to the distribution grid as they
9 grow. It also supports customers' transitions as
10 they choose rooftop solar and electric vehicles.
11 And it helps prepare the grid for lower-carbon
12 future by enabling two-way power flow, which is
13 critical for increasing DERs.

14 Capacity. Capacity upgrades are needed
15 to support load growth from both traditional loads
16 as well as electric vehicles, and integration of
17 distributed energy resources. Overloads are
18 identified by leveraging the MORECAST data, which
19 is an hourly load forecast over 10 years at the
20 individual circuit level, and includes electric
21 vehicle and DER projections.

22 Also, the ADP tool setters, advanced
23 distribution planning toolset, includes automated
24 solutioning, which allows us to analyze, at a

1 system level, on how best to alleviate identified
2 thermal overloads and evaluate potential solutions,
3 including balancing, load transfers, conductor and
4 device upgrades, and nontraditional solutions.

5 Capacity is really two categories,
6 retail and then system. Retail, this is really the
7 upgrades to our retail, our transition to
8 distribution substations. We use the word "retail"
9 to describe these stations, since they are the
10 substations that serve our retail customers, as
11 opposed to wholesale customers served by
12 transmission. This work includes transformers,
13 both upgrades and new transformers; breaker
14 additions; and new substations.

15 System capacity. This is really the
16 upgrades to our distribution lines or circuits, so
17 really between those substations and the end
18 customer, and this includes upgraded wires and
19 equipment, as well as new circuits. And again,
20 capacity is one of the four critical grid
21 capabilities, and this work is specifically aligned
22 to that.

23 The benefits of capacity. Improve
24 reliability and resiliency, it reduces potential

1 outages due to overloaded equipment or conductors,
2 it mitigates outage risks associated in high-demand
3 periods, and capacity improvements can also be
4 leveraged by self-healing technologies. And
5 capacity enables two-way power flow, thus
6 supporting additional renewables and beneficial
7 electrification.

8 Self-optimizing grid. This is an
9 existing cornerstone program for distribution and
10 addresses multiple critical grid capabilities. You
11 may have also heard the term "smart-thinking grid."
12 This is like a GPS in your car for the distribution
13 grid. In your GPS or navigation app, you pick a
14 destination, it picks a route for you, and as
15 you're driving that route, if there's congestion or
16 other problems on your route, it will automatically
17 reroute you to avoid that. Our distribution
18 management system and the automation software does
19 the same thing on the distribution grid if it
20 detects problems.

21 And for this work, the ISoP toolset,
22 such as advanced distribution planning, as well as
23 SOG automation are used by our planning engineers.

24 There's three major components for

1 self-optimizing grid. The first is capacity. This
2 is similar work to our system-reliant capacity that
3 I described a moment ago, but the additional
4 capacity for self-optimizing grid is to provide an
5 automatic backup for an adjacent circuit. It's not
6 just to serve the native load.

7 So the capacity I described a moment ago
8 was about supporting the native load on the
9 circuit, including EVs and DERs. This is about
10 being able to provide an automatic backup, where if
11 there's a problem on one circuit, an adjacent
12 circuit can pick that load up and serve those
13 customers.

14 Connectivity is the second part. To be
15 able to back each other up, these circuits have to
16 physically be tied, and the ties between them have
17 to be strong enough to support the load transfer
18 from one circuit to another.

19 And lastly, automation. The intelligent
20 switches and control software that turn the
21 distribution grid into switchable segments and
22 allows us to minimize the number of customers
23 infected when we have a problem.

24 I want to describe the diagram in the

1 lower center of this page. It may be a little hard
2 to see in the slide, but there is a larger view in
3 the program summary. What this is showing, this is
4 actually a self-optimizing grid network in our
5 Greensboro area. It is just southeast of the
6 Piedmont Triad Airport.

7 And what you see on the diagram, you'll
8 see several small squares; some are red, some are
9 green, and some have a pink color, which actually
10 is red cross tags. Those squares represent the
11 intelligent switches I just described. So those
12 are the switches along those circuits as described.
13 And the diagram here shows a cloud and a lightening
14 bolt there on the left-hand side. That's
15 indicating a fault for that area. And the two
16 green boxes on either side of that lightning bolt
17 indicate that there is no power flowing through
18 there. Those switches have isolated that fault, or
19 that problem on the grid, and all those switches
20 have appropriately closed to reroute power around
21 that problem area that has been identified.

22 And in this particular case, what this
23 picture represents is after all that automated
24 switching has happened, in that area where the

1 lighting bolt is between the two switches, there
2 are 433 customers that are out of power. Before we
3 deployed the self-optimizing grid technology and
4 the additional intelligent switches on the circuit,
5 that exact same fault event would have had 1,525
6 customers out of power. So 433 are out as opposed
7 to 1,525.

8 So maybe an analogy that helps describe
9 what I'm talking about with self-optimizing grid
10 and the interconnectivity. So if you think about a
11 bicycle wheel, you've got the center hub and the
12 spokes that radiate out to the rim. You then think
13 about a spiderweb. A spiderweb also has a center,
14 it has the radial spokes that go out to the door
15 frame, or wherever the spider has built that web,
16 but there is also tens, if not hundreds of
17 connections individually between those spokes all
18 around that spiderweb. That's the type of
19 interconnectivity that I'm talking about with
20 self-optimizing grid. Multiple pathways to reroute
21 power, and also supports distributed energy
22 resources. Multiple pathways to move distributed
23 energy to where it's needed and can be used.

24 I mentioned earlier that self-optimizing

1 grid addresses multiple grid capabilities. Three
2 of the four are addressed by this program alone,
3 and that's reliability, capacity, as well as
4 automation and control.

5 The benefits of self-optimizing grid.
6 I've described that in some manner, but I'll
7 highlight it here. It reduces the number of
8 customers impacted by faults and outages, and it
9 reduces the number of outages and decreases the
10 duration of those outages as well. And if you
11 think back to the diagram on the previous page,
12 between those two open switches, the green boxes,
13 we can focus our crews immediately to where that
14 problem area is, as opposed to having to patrol the
15 circuits.

16 With the self-optimizing grid work we
17 are proposing as part of the MYRP, for the DEC
18 customers in North Carolina, that will provide an
19 additional annual benefit of avoiding another
20 127,000 customer interruptions or outages, and an
21 additional 26 million minutes of interruption to be
22 avoided as well, and that does not include
23 major-event days.

24 Speaking of major-event days, we had one

1 of those recently here with Hurricane Ian. In Duke
2 Energy Carolinas, this territory, we -- and we were
3 less impacted than our DEP territory here in the
4 Raleigh area, but in DEC, we saved 11,400 customer
5 interruptions in that one event, and that saved
6 11.9 million customer minutes of interruption.
7 That's approximately 200,000 hours of interruption
8 that was avoided.

9 Our DEP territory was much greater
10 impacted and saved 91,000 outages and 39.2 million
11 minutes of interruption for DEP. That's about
12 650,000 hours of interruption saved.

13 That one event, for DEC, is
14 approximately 40 percent of that annual incremental
15 benefit that I just described. So the impacts and
16 the operation is significant when we do have a
17 major-event day, even though we don't include that
18 in our projections.

19 It also expands solar and renewables.
20 As I described with that spiderweb analogy,
21 interconnected circuits enable greater two-way
22 power flow and support the addition of renewables
23 as well as beneficial electrification. And the
24 benefit-cost ration you see there of 5.7.

1 Hardening and resiliency is the next
2 area that I will focus on. Hardening and
3 resiliency work is not new. It can cover a broad
4 range of improvements and upgrades. It is designed
5 to make the grid more resistant to outages, and
6 when they do occur, to enable faster recovery and
7 restoration.

8 I will talk about three different types
9 of hardening and resiliency. The first is
10 laterals. These are the tap lines off of our main
11 circuits. I will then talk about vehicle accidents
12 or public interferences, and lastly, storm.

13 And so an analogy to think about the
14 backbone of our circuit versus the laterals, if you
15 think about the backbone for distribution, think of
16 that as a multilane suburban or urban highway or
17 boulevard, and the laterals or tap lines are those
18 side streets that will pull off of those main
19 roads.

20 The process for this is data driven. We
21 look at outage history and specific cost codes, as
22 well as the physical condition of the conductor
23 looking for damage or multiple splices.

24 The most common thing we find in this

1 program is an older vintage high-strength steel
2 core wire that presents a corrosion risk over time.
3 And we upgrade that to a high-strength all-aluminum
4 alloy to avoid that corrosion risk in the future.

5 The benefits of the lateral program and
6 hardening and resiliency, it eliminates the risk of
7 outages due to conductor failures. Modern
8 conductor and design or construction standards
9 increase the grid strength to avoid outages. We're
10 upgrading historically outage-prone assets, and
11 that lessens the quantity and duration of outages
12 during extreme weather and major events, and that
13 helps bend the cost curve down -- the restoration
14 cost curve down overall. And a reliable,
15 resilient, lateral support additional DER and EV
16 adoption in those areas, and the benefit-cost ratio
17 is 2.5.

18 The next area is public interference,
19 and specifically we're focused on car versus pole
20 types of access. For those of you who live in more
21 urban areas, such as Raleigh or Charlotte or
22 Greensboro, likely, during the week on the traffic
23 report in the morning, maybe once or multiple times
24 during the week, there will be a traffic reporter

1 with a live shot where a vehicle has impacted
2 utility facilities. That's the type of events that
3 we're looking to avoid here.

4 This is a data-driven approach, again,
5 looking at outage history, but focused on specific
6 car versus pole cost codes for the outages. We are
7 focused on three-phase only, where the greater
8 impacts would be, and it's also based on the
9 frequency of events that we see in those areas.

10 The solutions for these would be a
11 design change, including relocation, possibly
12 undergrounding to remove the facilities or move
13 them out of the impact zone for previous accidents.

14 The benefits for hardening and
15 resiliency public interference. It reduces the
16 risk of outages due to vehicle accidents. We're
17 upgrading historically public interference prone --
18 outage prone assets, and that lessens the quantity
19 and duration of outages. A reliable and resilient
20 grid, again, supports distributed energy resource
21 and EV adoption and growth, and the benefit-cost
22 ratio here is 1.2.

23 Next is hardening and resiliency storm.
24 This is also data-driven, looking at outage

1 history, but looking at specific storm cost codes,
2 as well as coupling that with a geographic
3 analysis, looking at our coastal areas that are
4 more impacted and exposed to coastal -- or, sorry,
5 tropical types of events, and also our mountain
6 zones that are more impacted and more exposed to
7 winter-type events with heavy snow and ice.

8 There is a lot of information on this
9 page about grade B construction and NESC loading,
10 but, essentially, this results in larger and
11 stronger poles, shorter spans of wire between those
12 poles, and additional guy wires to withstand high
13 wind and heavier ice loading in those more exposed
14 areas in the coastal and mountain zone areas.

15 The benefits for hardening and
16 resiliency storm. It reduces the risk of outages
17 due to severe weather. Our more robust design and
18 construction standards increase the grid strength
19 to avoid outages, and upgrading historically
20 outage-prone assets lessens the quantity and
21 duration of outages during extreme weather events.
22 And, again, that helps bend the restoration cost
23 curve down for all customers. A reliable resilient
24 grid also supports growth in EV and DER adoption,

1 and the benefit cost ratio here is 4.0.

2 Distribution automation. This
3 modernizes the protective device on the laterals or
4 tap lines. Again, think of those side streets.
5 This is accomplished by replacing traditional
6 single-use fuses with intelligent electronic
7 devices.

8 Most of our fault from an overhead are
9 temporary. That would be such as a tree limb
10 falling onto a line before falling onto the ground,
11 or a wildlife contact. And traditional fuses are
12 single-operation devices, and many times temporary
13 faults become sustained outages and the fuse must
14 be replaced to restore power.

15 An analogy I would give you here is
16 think about the old fuse box. Again, think about
17 your grandparents' house. If power went out in a
18 certain room in their home, somebody had to go to
19 the back porch, open the fuse box, look for the
20 blown fuse, which was like a screw-in glass fuse,
21 replace that fuse, and if the fault was temporary,
22 then the power would be restored for that room
23 wherever it went out.

24 Now think about the modern breaker

1 panels that we have in our homes today. If you had
2 that same type of event where you lose power in a
3 particular room, somebody has to go to the garage
4 or the basement, where that breaker panel is
5 located, find the tripped breaker, turn it off,
6 turn it back on, and if the fault is truly
7 temporary, then again, power is restored.

8 These devices are even more
9 sophisticated than that. If they see a temporary
10 fault, they will open, and then on the prescribed
11 timeframe, they will close back in automatically.
12 And if the fault was truly temporary, power is
13 restored, and the customers only saw a momentary
14 blink, as opposed to a sustained outage. And
15 reliability is one of our four critical grid
16 capabilities, and this work specifically addresses
17 that.

18 The benefits. Improve reliability and
19 resiliency, that reduces customer interruptions,
20 both momentary and sustained, and the tap lines,
21 themselves, become more fault tolerant. And the
22 benefit-cost rate here is 2.7.

23 Long duration interruptions. This is an
24 existing program. It relocates segments of

1 overhead circuit backbone from hard-to-access areas
2 to more truck-accessible locations. The target
3 attributes that we have for this program is looking
4 at radial distribution lines that serve large
5 groups of customers or entire small communities.
6 They are typically -- those lines are routed
7 through inaccessible areas. Think off-road,
8 swamps, mountain gorges, or other extreme terrain.
9 They have consistently higher-than-average outage
10 durations. Not necessarily frequency, but the
11 outage durations are high. And the terrain changes
12 that I just described are exacerbated further
13 during extreme weather, such as a tropical event or
14 a winter storm.

15 And the solution for these is to
16 relocate those lines adjacent to a road
17 right-of-way where they are accessible with their
18 modern bucket trucks.

19 This reduces the risk of outages due
20 to -- due from outage-prone line segments by making
21 them more accessible. That accessibility reduces
22 the outage durations. Upgrading our historically
23 prone assets lessens the quantity and duration of
24 outages during extreme weather. And, again, that

1 helps bend the restoration cost curve down overall.
2 And many times, in these areas where the lines are
3 located now, we have to have specialized equipment,
4 such as track vehicles, like a bulldozer or
5 tank-type vehicle to access those equipment, and
6 typically takes higher line tech resources as well.
7 And a reliable resilient grid supports DER and EV
8 adoption, and you see the benefit-cost ratio for
9 this work of 16.3.

10 Next, targeted undergrounding. This is
11 an existing program, it's data driven, and it
12 strategically identifies and undergrounds the most
13 outage-prone overhead line segments on our system.
14 It reduces the outages for customers served by
15 those line segments, but it also eliminates
16 vegetation management costs for those converted
17 segments, and that's a savings for all customers.

18 The attributes we're looking for in this
19 program, unusually high outage frequency. Not
20 duration, but frequency is what we're looking at
21 here. The location of these lines typically is
22 rear lots, so behind homes, and typically heavily
23 vegetated. And the solution is to convert those to
24 underground and relocate those to the front lot or

1 adjacent to the road right-of-way.

2 The benefits of targeted underground.
3 Eliminates the risk of outages due to overhead
4 cost -- causes. The accessibility that we have by
5 being front lot reduces outage durations. And
6 upgrading historically outage-prone assets lessens
7 the quantity and duration of outages during extreme
8 whether across the system. And again, that helps
9 bend the restoration cost curve down.

10 It also eliminates vegetation management
11 cost. For all line segments that are converted
12 with this work, that's vegetation line miles that
13 are no longer needing to be tripped. That's a
14 savings for all customers. And lastly, a reliable
15 resilient grid supports growth in DERs and EV
16 adoption. And the benefit-cost ratio for this work
17 is 3.1.

18 Next is hazard tree removal. This is an
19 existing program within our integrated vegetation
20 management program. This work specifically
21 identifies dead, dying, structurally unsound,
22 diseased, leaning, or otherwise defective trees
23 that are outside of our maintained rights-of-way.
24 This maintains or improves reliability caused by

1 trees that are falling from outside the
2 right-of-way into our facilities. Our right-of-way
3 maintenance program addresses the vegetation issues
4 inside that actual right-of-way.

5 For DEC North Carolina, for the last
6 five years, 2017 through 2021, the percent of
7 vegetation outages caused from trees falling from
8 outside the right-of-way range from 41 percent at a
9 low to 58 percent across those five years. And I
10 had one of the reliability engineers pull the data
11 through Q3-4 for DEC North Carolina for this year,
12 and we are at 52 percent of our outages this year
13 are coming from outside the right-of-way through
14 the first quarter. That's trees falling from
15 outside the right-of-way.

16 The process is the inspection is done by
17 qualified Duke Energy representatives using
18 industry best management practices. If that
19 inspector identifies extreme risk to our
20 infrastructure and the failure is imminent, they
21 will assign that to a vegetation supplier for
22 immediate mitigation. All the other hazard trees
23 that are identified are assigned to a vegetation
24 supplier. They make contact with the owners,

1 explain the work, and get consent to perform that
2 work, and then the trees are cut down. In
3 unmaintained areas, mitigation may proceed after a
4 good-faith effort to contact the owner has been
5 unsuccessful.

6 So the benefits for hazard tree removal,
7 it reduces the risk of outages due to trees falling
8 from outside the right-of-way. And it's a prudent
9 utility practice. And one other thing I will point
10 out is that, if you think about a vegetation outage
11 from inside the right-of-way, that typically is a
12 limb falling out of an existing tree. It may
13 contact our lines and cause an outage, but
14 typically doesn't break a wire, and rarely does it
15 break a pole. When you have a 120-foot tall poplar
16 fall from outside the right-of-way, the entire tree
17 falls through the right-of-way, at a minimum it's
18 breaking wire, and likely it's breaking one or more
19 poles. So significant structural damage from one
20 vegetation event occurs when we have a tree fall
21 from outside the right-of-way.

22 Last is infrastructure integrity. The
23 historical infrastructure integrity norms are
24 changing to consider the dependency of distribution

1 customer reliability on two-way power flow, and
2 distributed generation as well.

3 Think back to my earlier comments on how
4 outage impacts historically versus now forward.
5 The programs that were historically in place to
6 address past risk factors now are evolving to
7 support more devices on the system, as well as
8 changes in device operation due to power
9 variability, and newer technologies that deliver
10 new capabilities and challenges for the grid.

11 In this case, planned upgrades or
12 improvements or replacements minimize the customer
13 impacts, as opposed to a potential unplanned outage
14 that actually becomes a planned replacement.

15 Examples here would be inspection-based
16 asset replacements. That may be oil-filled
17 equipment or poles. Oil mitigation. Changing to
18 solid dielectric or replacing aged oil-filled
19 transformers. Also greenhouse gas mitigation,
20 moving from SF6 insulated equipment to solid
21 dielectric equipment. It also included
22 technological obsolescence. Think control panel
23 replacements. That may be a functional
24 obsolescence of the control panel or potentially

Page 59

1 it's unsupported by the vendor now and may have a
2 cyber security issue.

3 And lastly, communication and
4 automation. In many cases, we have legacy devices
5 that we can now replace with SCADA-enabled devices
6 where we could get visibility and control back in
7 our control centers for our operators.

8 The benefits of infrastructure
9 integrity. It reduces the risk of outages due to
10 unplanned replacements or failures, and sustained
11 infrastructure integrity enables more efficient
12 restoration.

13 And earlier I talked about a house
14 remodel analogy, and I was really focused -- or my
15 example was focused on the living space of the
16 house. But to do a renovation like that, you'd
17 also make sure that the foundation was in proper
18 order and didn't need work as well, and this
19 infrastructure integrity work can be associated in
20 that manner.

21 That concludes the distribution section.
22 Unless there is questions from the Commissioners, I
23 will turn it over to Dan Maley for transmission.

24 COMMISSIONER DUFFLEY: Okay. Thank you.

Page 60

1 Let's check in with the Commissioners at this time
2 to see if there are any questions.

3 CHAIR MITCHELL: Just one or two quick
4 questions. Beginning with this last program you
5 discussed, the infrastructure integrity, can you
6 talk to me some about how you-all are identifying
7 the infrastructure that you can -- or the equipment
8 that can be replaced?

9 MR. GUYTON: Yeah. So some of it may be
10 inspection based. We do pole inspections. We also
11 inspect oil-filled equipment. So some of that may
12 be generated from those inspections. Also, if we
13 have a -- the control panel example I would give
14 you, we have a legacy control, it may be
15 functioning fine, but the vendor is sunsetting that
16 control, is not providing any security updates to
17 the firmware or software, we would identify that as
18 something that needs to be mitigated as well when
19 we're doing one of our projects in that area. So
20 that's a couple of examples.

21 CHAIR MITCHELL: Okay. And then the
22 other -- the other program I wanted to ask you
23 about is the voltage reduction. Let me flip to my
24 page really quick. So just -- this is really just

Page 61

1 more for my own understanding. You talked some --
2 I'm looking at page 17 where you discussed voltage
3 regulation, and that's after the IVVC discussion,
4 but you indicated that regulators and capacitors
5 aren't new technologist. Y'all have utilized these
6 technologies on the systems for some time now. But
7 help me understand how you're using them
8 differently now, or what the companies are doing to
9 do to change the way you're operating these pieces
10 of technology.

11 MR. GUYTON: So there's really -- there
12 are really two pieces, and I'll try two
13 explanations here. One is the traditional controls
14 that are on those traditional capacitors and
15 regulators were built for one-way power flow. They
16 don't know how to behave when we got power flowing
17 back in the other direction. So the control
18 upgrades -- the equipment may be operating fine, it
19 may be in the right location to deal with those
20 issues, but we have to have an upgraded control.
21 So that's one piece of it.

22 The second part is that, as we have the
23 traditional application of regulators and
24 capacitors, we're ready to deal with that natural

1 voltage degradation as you go along the circuit,
2 just as the load -- the further out you go, the
3 more load you've got on the circuit. And that's
4 worked fine. We don't have issues with that. But
5 what we're trying to deal with voltage regulation
6 and management, as we put more and more distributed
7 energy resources, as cloud cover passes over a
8 solar array, the production will drop from near
9 maximum to near zero, and that causes a voltage
10 fluctuation on the circuit.

11 So what we study is, is there additional
12 voltage regulation equipment needed just to damp
13 out that variability in voltage? And if it's
14 really intense from a high penetration, that's
15 where we could deploy the power electronics, which
16 are a new technology, and that could provide
17 instantaneous voltage and reactive power support
18 faster than a traditional regulator capacitor can
19 operate.

20 CHAIR MITCHELL: Okay. That makes
21 sense. Thank you for that additional. I think you
22 explained that the first time through, but I got it
23 the second time.

24 All right. Last question for you. A

1 number of these -- at least my recollection is a
2 number of these actions the Company has already
3 undertaken or planned to undertake as part of this
4 grid improvement practices.

5 So what -- to the extent there is
6 anything, what is different about what you-all are
7 proposing as part of this rate case, from the work
8 that you've already begun under the grid
9 improvement program?

10 MR. GUYTON: So much of this is a
11 continuation of the grid improvement program. And
12 that was -- or the reasons we were doing it was to
13 address the mega trends, and the mega trends are
14 still here. So that needs to continue in whatever,
15 you know, type of recovery mechanism we're in.
16 That work needs to continue.

17 So in some cases it is the same, to
18 continue to address the mega trends. But the newer
19 things that you'll see are the voltage regulation
20 and management. As we see more and more DER and
21 penetration come, we really have to be able to deal
22 with that as those grow. And that's something that
23 we really weren't focused on in grid improvement in
24 the past from that effort. That's a new and

Page 64

1 emerging challenge that we've got in that space, as
2 an example.

3 CHAIR MITCHELL: Okay. Just a follow-up
4 with you there, the clustering -- the geographic
5 clustering that you-all have talked about, I think
6 the first time I heard the concept mentioned was
7 the DEP technical conference, and now you've talked
8 about it here too.

9 Is that a new technique that you-all are
10 employing, or have you -- had you already begun?

11 MR. GUYTON: We've done that to an
12 extent, but we're really looking to maximize that.
13 What we recognize is, with the amount of work that
14 we need to do, and the pace at which the changes
15 are coming, that's a way for us to really maximize
16 resource efficiency. We had some resource
17 constraints early in grid improvement post COVID.
18 We worked through those now. But that has taught
19 us that we need to make sure we maximize the -- our
20 historical approach has been more programatic.

21 So we identify a particular type of
22 issue we're having on the system and attack it more
23 programatically. What we found is we can bring
24 benefits holistically to customers by

1 identifying -- kind of like my analogy of the house
2 remodel. Identify everything in an area, let's
3 package all that together and go execute it at
4 once. We're not mobbing and demobbing resources.
5 The impact to customers has an end. We move into
6 the area, we do all the work necessary, and then
7 we're out of there, from that perspective as well.
8 And then once we leave again, the benefits are
9 substantial for customers, as opposed to this
10 program to solve this problem and then this
11 program. We put all that together.

12 CHAIR MITCHELL: Okay. And then last
13 question for you. How much of the work that
14 you-all are doing, specifically on the distribution
15 side, is informed or prioritized by the other types
16 of needs you're seeing on the -- on the grid? For
17 example, you know that there is a focus in a
18 particular area or location for fleet
19 electrification, just as an example. Is the work
20 that you're undertaking on the distribution side,
21 sort of, following that need, or are you-all
22 deploying these -- this investment, sort of,
23 irrespective of other dynamics on the grid?

24 MR. GUYTON: No. We're intending to

Page 66

1 take all those dynamics into play. An example you
2 gave of fleet -- or electrification, including
3 fleeted, the MORECAST data that the planners
4 actually use has a prediction not only for
5 light-duty vehicles but also medium and heavy duty.
6 So that's looking in that propensity that we may
7 have fleet EV coming in that area. So all that is
8 rolled in as the planners are looking at it as an
9 example.

10 CHAIR MITCHELL: Okay.

11 MR. GUYTON: They intend to be holistic
12 in that planning effort.

13 CHAIR MITCHELL: Okay. Who owns that
14 MORECAST data? Which division within the company?

15 MR. GUYTON: So the MORECAST data,
16 itself, is under the ISoP team.

17 CHAIR MITCHELL: Okay.

18 MR. GUYTON: But we leverage that data
19 in planning, because we need that to be able to do
20 our work and analysis as well.

21 CHAIR MITCHELL: Understood. Okay.
22 Thank you.

23 COMMISSIONER DUFFLEY: Commissioner
24 Brown-Bland?

Page 67

1 COMMISSIONER BROWN-BLAND: Yes. Thank
2 you for this presentation on the distribution side.
3 It's been informative. I just had a question about
4 the small-optimizing -- I mean, the self-optimizing
5 grid.

6 So it will reduce the number of outages,
7 and that's one of the main features or benefits,
8 but is there any reason to expect any -- or I think
9 there would be some, but would there be much impact
10 on storm recovery costs coming from that? And what
11 I was thinking is, you had used the analogy -- I
12 think this was -- of all the interconnects. So
13 there would be storm damages still, but there would
14 be less outages. Would -- any reason to -- is
15 there any correlation between the storm recovery
16 cost?

17 MR. GUYTON: I think there is, and not
18 only for the self-optimizing grid, but also other
19 work we're doing, when I describe the distribution
20 automation on the laterals. In many times, in
21 storms, especially, the faults are actually
22 temporary, but if the devices, you know, see that
23 as a permanent fault, there's an outage that we've
24 got to send a crew to do that. The more automation

1 we have that can make the system more fault
2 tolerant and restore automatically, that's one less
3 event we've got to send a crew to even analyze.
4 And we also leverage our AMI system to actually
5 ping meters to see if the meters actually have
6 power or not, as opposed to rolling a truck. We
7 can tell if there is power to a customer's home by
8 pinging those meters during restoration. So that
9 avoids a lot of truck rolls at the end of a major
10 event for single outages.

11 COMMISSIONER BROWN-BLAND: I will say I
12 was convinced during Ian that the hardening had
13 paid off, because I did have momentary flickers,
14 but we never went out, and that was some awesome
15 wind.

16 MR. GUYTON: Excellent.

17 COMMISSIONER DUFFLEY: Commissioner
18 McKissick?

19 COMMISSIONER MCKISSICK: This is
20 following up on a question that Chair Mitchell
21 asked you. Since much of what we're seeing here is
22 a part of what's in our grid improvement program,
23 our other initiatives that had been undertaken, is
24 it possible, as things move forward, you know, to

1 really identify the significant changes between
2 what was originally proposed and what's being
3 proposed now, as well as compare/contrast the cost
4 of what was originally projected to what the
5 projected cost is today? Kind of, almost picking
6 up on a comparative analysis where it was last left
7 off to where you are moving forward with it, to
8 help focus a little bit more on the changes that
9 have occurred, either in terms of scope or cost.

10 MR. GUYTON: I'm not sure how to answer
11 that. Let me attempt.

12 COMMISSIONER McKISSICK: Sure. I
13 understand.

14 MR. GUYTON: So this work is much
15 broader than grid improvement. So it includes some
16 of the same type of work, but again, this is a
17 different ratemaking mechanism for appropriate
18 distribution work. So it's not limited to -- with
19 our grid improvement work, it was very narrow and
20 specific for what we were allowed to do in the grid
21 improvement under that deferral, really looking
22 only at modernization. And this is really
23 holistic. This is all distribution work we need to
24 maintain and advance the grid. So I don't know --

Page 70

1 I mean, that's a verbal comparison, but not a
2 dollars comparison, but that's what I see as the
3 difference is, we still need to continue to do grid
4 improvement type of work, but the MYRP is really a
5 different ratemaking vehicle for all the
6 distribution work we need to do, or much greater
7 portion of it.

8 COMMISSIONER McKISSICK: And that I
9 appreciate and understand. I'm just trying to put
10 it more in context in terms of trying to see what
11 was being worked on and focused on before, kind of
12 looking at where that stands compared to what
13 you're projecting now, and then understanding that
14 there are different components that are obviously
15 beyond what was originally contemplated. You know,
16 how that, kind of, fits together as part of a
17 multiyear plan.

18 MR. GUYTON: So let me try this.

19 COMMISSIONER McKISSICK: Sure.

20 MR. GUYTON: Within grid improvement,
21 for DEC North Carolina, we had self-optimizing
22 grid, the integrated volt-VAR control, distribution
23 automation or fuse replacement, and I think
24 hydraulic to electronic reclosers. Those are the

1 ones I specifically remember. All of those are
2 still imbedded within this. I mean,
3 self-optimizing grid is still there as a
4 standalone. Those hydraulic-to-electronic
5 reclosers are included in infrastructure integrity.
6 I talked about going from oil-filled equipment to
7 solid dielectric. That's that -- that particular
8 portion of it. And then distribution automation,
9 or fuse replacement, that's the same thing again.
10 So SOG and fuse replacement -- or, sorry,
11 distribution automation, those are really the two
12 same things that we had in that space. And IVVC,
13 we've identified another 300 circuits within the
14 MYRP period that we could do just like we were
15 before. We'll continue -- we'll finish IVVC as it
16 stands now for the 1,400. So does that help as
17 well? Those are really the four pieces I remember.
18 So this is much broader.

19 COMMISSIONER McKISSICK: And in terms of
20 the initiatives which are being undertaken you just
21 identified, in terms of costs that were anticipated
22 originally versus the costs that are being proposed
23 today, particularly in light of the inflationary
24 environment that we're in, there must be change, or

Page 72

1 at least I'm assuming there likely is change in the
2 costs that are being projected, which are
3 identified pretty discretely here. I don't know
4 how much the magnitude there has changed.

5 MR. GUYTON: Yeah. I couldn't quote a
6 number in that space, but certainly from, you know,
7 filings we did in 2019, you know, inflationary
8 pressures, most recently, as well as just natural
9 escalations are all imbedded. We've done our best
10 to take that into account in our cost estimates,
11 based on the latest information we had as we
12 prepare for the technical conference for those, so
13 that's included in that manner, but I couldn't give
14 you comparison from previous cost to this.

15 COMMISSIONER McKISSICK: And when you
16 update those costs, what type of indexes do you
17 use? I mean, how do you go about --

18 MR. GUYTON: I know we work back with --
19 I don't know the details, but I do -- my
20 understanding is we work back with supply chain for
21 any indications, the latest information they have
22 for what they're seeing in supply chain. I believe
23 they work with treasury for the cost of capital and
24 inflation pressures, but I don't know the nuances

Page 73

1 of how that goes. But that's -- that's been our
2 normal method. We go back to those same groups
3 within Duke to look at that information and provide
4 those updates.

5 And as I stated earlier, as we go
6 forward, there'll continue to be changes. I think
7 the fed is meeting today to decide whether or not
8 to raise interest rates again. As we go through
9 the filing process, we'll update our estimates
10 appropriately and keep the Commission informed, but
11 I would certainly expect changes. We've done our
12 best to incorporate that in what we presented,
13 though, so far.

14 COMMISSIONER McKISSICK: I was just
15 trying to get my arms around that. And the more,
16 you know, you speak in addressing that, it's
17 helpful. It's just that we're moving into this new
18 paradigm where we are looking forward rather than
19 looking backwards, and I don't know, in terms of if
20 we were to look backwards, in terms of what has
21 been done, based upon what was projected
22 previously, and then look forward in terms of where
23 we are moving over this next three-year period,
24 it's gonna be somewhat more challenging.

1 MR. GUYTON: I agree.

2 COMMISSIONER McKISSICK: Particularly in
3 this current environment. But thank you.

4 COMMISSIONER DUFFLEY: Commissioner
5 Kemerait?

6 COMMISSIONER KEMERAIT: Thank you for
7 the information and the presentation. I just have
8 two questions. The first is a follow-up to
9 Chair Mitchell's question about new technologies
10 that you provided in the presentation, and I'm
11 particularly interested in the technology for the
12 two-way power flows, and can you describe -- or can
13 you tell us, to the extent to which it has already
14 been deployed on Duke's system, so I could have a
15 better understanding of where we are in that
16 process?

17 MR. GUYTON: Yes. So one example, and I
18 think I mentioned this a moment ago, is controls on
19 our voltage regulators. The traditional controls
20 really only are effective for one-way power flow,
21 which was perfect for the way we used to operate.
22 But the controls we're replacing now -- and these
23 are being deployed today. That is our new
24 standard. They are out there. I couldn't give you

Page 75

1 a number of how many have been changed, but we are
2 in the process of changing those now, as we IVVC
3 before we get to the MYRP period. So those are
4 being done today. So that's one example of how
5 we've integrated two-way power flow.

6 And all of our standards for material
7 and controls going forward incorporate modern
8 advances, really what we need for the future as we
9 upgrade the controls as well, but that's probably
10 the quickest changing thing is really controls.

11 COMMISSIONER KEMERAIT: Okay. Thank
12 you. And my last question is, the last two
13 programs you talked about -- I think the hazardous
14 tree removal and then the infrastructure integrity
15 program, you didn't provide a cost-benefit ratio
16 for those, and is there a reason that you did not
17 provide it or cannot provide the ratio?

18 MR. GUYTON: Yeah. Great question. So
19 for hazard tree and infrastructure integrity, the
20 way we're able to provide a cost-benefit analysis
21 is mainly for the reliability benefit to customers.
22 And for things such as self-optimizing grid, we can
23 very specifically identify this is the device that
24 would have opened, now we've upgraded the

1 technology, now this is what happened, and produce
2 a cost estimate of here's the value that we save
3 customers by not having that outage.

4 For hazard tree removal, the damage is
5 so variable, and we don't know where they're gonna
6 fall from, and how to predict that. So for those
7 types of efforts, we really have to take a more
8 multiyear view. We look at, like, maybe a
9 five-year history. But to be able to point to it
10 and say the hazard tree saved this much money,
11 that's where it's hard to do a cost-benefit
12 analyses.

13 However, as we see the percentage of
14 outages from outside the right-of-way drop, we have
15 less significant damage -- structural damage when
16 they fall. That's the benefit. How to actually
17 put a number on that and not double count that
18 benefit somewhere else, that's extremely difficult.

19 We see that as an obligation to serve,
20 specifically for hazard tree. We have a known risk
21 out there that we know causes us problems. We
22 can't predict exactly when or where, but if we can
23 remove that risk, we feel that's our duty and a
24 prudent utility practice.

Page 77

1 And infrastructure integrity the same
2 way. If we've got a crumbling foundation, you got
3 to fix it. You may get different cost estimates
4 for what you do to fix it, maybe look at different
5 vendors or technologies, but you're not gonna not
6 fix the foundation program. Kind of back to my
7 house remodeling analogy. So that's the reason.
8 Where we could put specific dollar and stand behind
9 it, we do those cost-benefit analyses.

10 COMMISSIONER KEMERAIT: Thank you.

11 MR. GUYTON: You're welcome.

12 COMMISSIONER DUFFLEY: Commissioner
13 Hughes?

14 COMMISSIONER HUGHES: I just had a quick
15 follow-up on that, because you mentioned your
16 ability to do the benefit-cost analysis.

17 Could you just comment a little bit
18 about your comfort level with the ICE calculations?
19 It just seems to be such a big -- big part of this
20 planning effort, and from what I understand, it's
21 been updated a little bit, but there is still --
22 just still potential concerns about that, and is
23 Duke doing anything about that.

24 MR. GUYTON: Actually -- so I'll answer

1 the last question first. We are participating in
2 future updates as a participant in that. I don't
3 know exactly our particular role, but we do think
4 it's the best thing out there. There's really
5 nothing else comparable to do that. So it's our
6 best attempt to put a dollar figure on what that is
7 worth from our perspective.

8 One thing we've done uniquely in these
9 filings, including the DEP tech conference before,
10 is in previous filings, so back in 2019, there was
11 a standard table of outage durations and values
12 around those. Our team actually leveraged the
13 online version and created unique value
14 specifically for North Carolina, and what those
15 surveys from the utilities brought back in that
16 space. So that's one enhancement we've made in how
17 to use it. And I would expect future editions of
18 the ICE calculation, or wherever that progresses
19 to, to have even more enhancements to be more
20 specific, and they'll gather more data as we go, so
21 it will only get better. But we do see that as an
22 industry-accepted and best tool that we have to put
23 a value on that.

24 COMMISSIONER HUGHES: Thank you. That

1 makes sense.

2 COMMISSIONER DUFFLEY: So it sounds like
3 you don't have an answer to one of my questions. I
4 was also gonna ask, I understand that the ICE
5 calculator is currently being updated and that Duke
6 is a participant in that update.

7 So can you expand, anyone on the panel,
8 expand any further about your participation and
9 what the timeline is for that ICE update?

10 MR. GUYTON: I can make one more comment
11 about the timeline. I don't know the details about
12 their participation. But my understanding from
13 talking to some of our folks that are involved is,
14 it's probably gonna be 2024 or '25 when the next
15 version is published. I don't know how firm that
16 information is, but that was from my conversation
17 of some of the folks involved.

18 COMMISSIONER DUFFLEY: Okay. Thank you.
19 And do all of the programs that were presented here
20 today mirror the programs that were presented in
21 the DEP technical conference?

22 MR. GUYTON: Yes, with one exception,
23 and that's the integrated volt-VAR control piece.
24 So that's the one thing that you'll see different

1 here. And the reason for that is, if you may have
2 been familiar with, in DEP, several years ago we
3 implemented DSDR, distribution system demand
4 response. That essentially was IVVC, the exact
5 same thing, flattening the voltage profile from the
6 substation all the way out, and it's just that the
7 mode we were operating in was peak-shaving only.
8 I'm sure you're aware, we're actually converting
9 DEP now to still have that IVVC, but convert it to
10 a dual mode, where it still maintains that
11 peak-shaving capability for the cold winters and
12 hot summer days, but also, outside of those, I'll
13 call peak days, will operate at conservation
14 voltage reduction and bring additional fuel savings
15 to customers.

16 So really, just, the utilities are in
17 two different places. DEP did that work many years
18 ago, and DEC is now in progress to bring that
19 foundational capability, but that's the only
20 difference, besides, I guess, number of units or
21 scope, but the programmatic work is the same as
22 before.

23 COMMISSIONER DUFFLEY: Okay. Thank you.
24 And then with respect to the volt-VAR control, you

Page 81

1 mentioned that 300 circuits have been identified.

2 I'm just trying to obtain the scale of this
3 project. What percentage is 300 circuits with your
4 total system?

5 MR. GUYTON: Ooh. That's a good
6 question. I'll contrast it this way. The original
7 IVVC project that's ongoing right now in DEC is
8 1,400 North Carolina circuits. So this is about
9 another third on top of that for those. I don't
10 know the total percentage of circuits in DEC
11 North Carolina, specifically, but it's pretty
12 substantial. That's a -- that's a great portion of
13 the system under that control.

14 COMMISSIONER DUFFLEY: Okay. Thank you.
15 And then with respect to your infrastructure
16 integrity, you mentioned that -- you listed
17 examples of this work, one of which is end-of-life
18 work. Again, just trying to obtain a scale or
19 scope.

20 What percentage of this proposed work
21 can be categorized as end-of-life?

22 MR. GUYTON: I do not have that number
23 in front of me from that perspective.

24 COMMISSIONER DUFFLEY: Okay. And then

1 last question is with respect to -- you started out
2 the presentation regarding the IIJA, and do you
3 anticipate receiving any funds during the pendency
4 of the rate case?

5 MR. GUYTON: I do not know the exact
6 timing of the awards for that, so I'm not sure, but
7 certainly if we're in that process, we would keep
8 the Commission informed of any updates in that
9 space and how to appropriately incorporate that.

10 COMMISSIONER DUFFLEY: Okay. Thank you.
11 Any other questions before we move on?
12 Commissioner Brown-Bland?

13 COMMISSIONER BROWN-BLAND: I had just
14 flipped back to this before Commissioner Duffley
15 asked that question.

16 With regard to the IIJA, on your slide
17 you had the phases -- phase 1, 2 -- where is Duke
18 at this current time in the process?

19 MR. GUYTON: So I don't know the
20 alignment exactly to the phases. That was a pretty
21 high-level slide. But specifically, the next thing
22 we're expecting is the FOAs here in fourth quarter
23 2022. That would be the next piece. But I don't
24 know the very detailed steps through our process,

Page 83

1 but we're continuing and we'll keep the Commission
2 informed of any movement in that area.

3 COMMISSIONER BROWN-BLAND: Thank you.

4 MR. GUYTON: You're welcome.

5 COMMISSIONER DUFFLEY: Okay. I think
6 you take a break. You have a small break, correct?

7 MR. GUYTON: Yes.

8 MR. MALEY: Ready to continue?

9 COMMISSIONER DUFFLEY: Yes.

10 MR. MALEY: All right. Thank you.
11 Okay. My name is Dan Maley. I'll be speaking --
12 are we good to continue?

13 COMMISSIONER DUFFLEY: Let me check in
14 with Linda. Do you want to -- or Joann, sorry.
15 Good? Okay. Please go ahead.

16 MR. MALEY: All right. My name is
17 Dan Maley. I'm the director of transmission
18 compliance. I will be speaking to transmission
19 projects today. I'm gonna start with an
20 introduction of our transmission project areas.
21 We'll drill down to discuss the benefits of these
22 projects, and how we identify and evaluate each
23 project to include in the multiyear rate plan. I
24 will then preview the projects with some specific

1 locations highlighted, so we can look at some
2 examples where we're executing this work.

3 I will start off by just noting some
4 differences in terminology between the discussion
5 Mr. Guyton just had and the transmission projects,
6 how they are arranged. You heard about projects
7 and programs and geographical groupings.

8 Transmission, we have seven total projects. We do
9 have project locations under each -- under each of
10 those areas, and we do perform a similar approach,
11 where, when we have work in a similar area on a
12 given circuit in a substation, we are bundling that
13 work together to really maximize efficiency from
14 both a design, execution, construction standpoint.
15 But I will primarily talk about projects and
16 project locations.

17 Just to introduce the four areas that
18 I'll speak to today on the transmission side. You
19 can see those along the left column. I'll get more
20 into characteristics and benefits in the subsequent
21 slides.

22 I will be speaking to system
23 intelligence. This is really about improving grid
24 awareness. Getting our grid operators more

1 information, technology upgrades, and similar.

2 Hardening and resiliency. You heard
3 some examples of this already, but this is about a
4 stronger and more resilient grid. Preventing
5 outages and also ensuring the transmission system
6 can respond after outages do occur.

7 Transformer and breaker upgrades. This
8 is a similar project scope where we are targeting
9 end-of-life assets. We're proactively replacing
10 those assets prior to failure, and we're improving,
11 therefore avoiding reliability impacts to our
12 customers down the road.

13 And then the last area, capacity and
14 customer planning. This is really about meeting
15 customer demand, new customer connections for
16 specifically industrial customers is one example,
17 coming on to the transmission system. Meeting our
18 compliance obligations under NERC standards, and
19 also our expansion of the transmission grid from a
20 capacity standpoint, which includes our red zone
21 expansion plan, which I know the Commission heard
22 details about under the Carbon Plan filings.

23 I am gonna proceed on. On the next
24 slide, what we can see here on the left-hand side

1 is, sort of, a portfolio view of our transmission
2 portfolio. On the bottom, you can see the capacity
3 and customer planning project is the largest single
4 by investment standpoint, and going up the line
5 there, approximately a \$1.75 billion total
6 portfolio.

7 I have already done a high-level
8 introduction of the various categories, and as
9 mentioned, I will talk about more in detail. I do
10 want to just reference a few of the exhibits that
11 we filed.

12 The cost by the overall project for each
13 of these categories, as well as by the specific
14 location, is shown in our transmission project
15 details exhibit. And the -- I will note that the
16 project location details and costs are based on our
17 plan as of late August, early September timeframe.
18 So similar to the discussion by Mr. Guyton, in
19 accordance with the normal project development
20 process, those projects will continue to advance in
21 maturity, and we may see some variance between what
22 is in the included exhibits and what is included in
23 our -- in our filing.

24 From a high-level standpoint, some notes

1 that I did not mention already, hardening and
2 resiliency, you will see, is actually broken down
3 into three project scopes. Transmission line H&R,
4 these are really our high-voltage transmission
5 circuits, 44 kV all the way up to 500 kV on the DEC
6 system. Substation H&R is about targeting assets
7 within our transmission substations. These are
8 really the key locations on the grid where we're
9 transforming our voltage from a transmission level
10 down to a distribution level to send out to our
11 customers on the grid.

12 And then our transformer and breaker
13 upgrades. I mentioned previously we're targeting
14 end-of-life assets and upgrading those assets to
15 enhance them with new technology and improve
16 reliability.

17 Our capacity and customer planning. I
18 mentioned some examples of that. At this point,
19 one additional comment I'll make is, we are
20 processing our capacity projects through the ISoP
21 process, evaluating non-wires alternatives, looking
22 for the most efficient way we could actually meet
23 the capacity demands as we model the transmission
24 grid. So there are several different ways we could

1 approach a solution to meet a capacity constraint.

2 So let's go to our next slide. I'd like
3 to talk about how we developed the portfolio that
4 we have included for our transmission plan. Thank
5 you, Brian. We take a systematic risk-informed
6 approach. We're looking at the costs and, of
7 course, benefits. So we are performing a
8 traditional benefit-to-cost analysis.

9 From a high-level standpoint, we are
10 starting with subject-matter experts in our system
11 planning organization. They really model the
12 transmission grid. They work very closely with
13 distribution planners looking at retail growth and
14 changes, and also our generation planners, looking
15 at where do we have generation currently on the
16 grid, where are we retiring generation, where do we
17 have new generation coming on the grid.

18 And then the other group is our asset
19 management experts, and this team is focused on
20 health of our assets on the grid. End-of-life
21 planning, technology improvement, and how can we
22 sponsor projects to enhance the product that we're
23 delivering to the customers.

24 So we're factoring multiple different

1 items, which you could see around the outer circle
2 here, when internally prioritizing when to proceed
3 with a specific project location. So we're looking
4 at financial risk; safety; security; cyber
5 security, of course; regulations -- compliance with
6 regulations; environmental risks; grid capacity due
7 to growth; and, of course, reliability and
8 integrity.

9 For our multiyear rate plan, from a
10 quantitative analysis standpoint for the benefit to
11 cost, we really are focusing just on the
12 reliability piece, and we are utilizing the ICE
13 calculator in a similar manner, which I'll explain
14 a little bit more here on the transmission side.

15 So we have the ICE calculator imbedded
16 within a third-party software. The software is
17 called Copperleaf. And what we're doing is we're
18 actually evaluating, through a questionnaire, each
19 project location that our sponsors have identified
20 a need for. Those are our data inputs on the left
21 side of this slide. Of course, cost-benefit is
22 very important to get an accurate benefit-to-cost
23 ratio. We are using historical project costs for
24 like work in like locations. And that's informed

1 by professional estimators.

2 Our asset condition. This is one of the
3 key inputs that our experts rank and rate based on
4 field -- field assessments performed. So actual
5 inspections in the field, work order history
6 prob- -- this is ultimately informing the
7 probability of failure. So based on the condition,
8 based on similar failures, what is the probability
9 of failure we expect?

10 Risk of overload. This is a model we
11 use for capacity projects. So what's the current
12 load on the system? What is the load projection
13 going forward? This is really based on our
14 planning studies and specific for our capacity
15 project. But again, it ultimately leads to what's
16 the probability of failure.

17 And then the other part of the risk
18 equation is consequence of failure. And the way we
19 rank that, it's based on the various factors,
20 including voltage level. So voltage level as a
21 corollary for load, is this our 44 kV
22 sub-transmission system or is it our 500 kV system?
23 Is the load served by multiple sources, what we
24 call "networked," or is it a radial load, which is

1 one source? And then what is the customer mix?
2 Are we serving industrial customers from this
3 transmission line, commercial customers, or
4 residential customers? And that factors in as
5 well.

6 We're then processing that through,
7 again, the ICE calculator you heard some discussion
8 of already. We're looking at the annual avoided
9 outage benefits. We're summing that up over a
10 30-year expected life. So that really starts with
11 once we replace that asset, what are those
12 reliability benefits that we achieve through
13 avoidance of failure? So we are using failure
14 curves to determine and inform this benefit-cost
15 approach. We're using a net present value for the
16 ratios, and then we also performed a sensitivity
17 analysis. So after completion of the
18 benefit-to-cost analysis, we presented this in our
19 exhibits where we vary the cost, vary the benefits,
20 and you can examine how that impacts the overall
21 ratio.

22 All right. I'll now get into our
23 project areas and explain a little bit about the
24 more specific benefits associated with each project

1 and look at some examples.

2 On the first slide you'll see in these
3 series of seven projects, on the right side you'll
4 see construction timelines, in-service dates, some
5 of the details from our project summaries. I won't
6 go into detail on that, but it is available for the
7 Commission to see.

8 What does system intelligence mean?
9 What is our system intelligence program? And quite
10 simply, it's really our ability to obtain more
11 useful information on the grid in order to give our
12 grid operators and engineers better information to
13 make informed decisions in the best interest of our
14 customers, in the best interest of ensuring a
15 stable and reliable grid.

16 Digital relays and remote operated
17 sectionalizing switches. You see two pictures of
18 those on the slide here. These are two of the
19 scope areas. They really work in conjunction with
20 each other.

21 Digital relays. Essentially, what we're
22 doing is we're removing a legacy relay design,
23 which is an electromechanical device, cams, levers,
24 springs. We're replacing that with a computer.

1 And this computer is able to, of course, not only
2 sense a fault -- ultimately what a relay does is
3 sense a problem on the grid and sends a signal to a
4 circuit breaker to open to isolate that problem.
5 So these new relays, they perform that function,
6 but they also provide specific information to the
7 operators on where that problem occurred. And they
8 do that through analyzing fault current and
9 determining distance to faults. So what we're
10 doing is, we're upgrading the information that the
11 grid operators have so they can make intelligent
12 decisions on how to reroute power, and they do that
13 through circuit breakers and substations, and then
14 remote operated sectionalizing switches that we
15 deploy out on transmission lines.

16 The advantage of this is we can break up
17 transmission lines that are 20, 30 miles long.
18 Sometimes multiple different fingers or radials or
19 taps emanating from them. We can break that into
20 smaller segments. So after an outage, we get the
21 information from the relays on where the outage
22 occurred, the operators make the switching decision
23 from the control center, and we're able to either
24 restore partial or sometimes full customer load.

1 That's a significant improvement from
2 the legacy model, where all we know is we have
3 breakers that have opened at substation to isolate
4 a problem that occurred on the transmission line.
5 We dispatch linemen, they have to go find the
6 problem, sometimes going down very
7 difficult-to-access right-of-ways, through
8 difficult -- mountainous terrains, swamp areas, and
9 this leads to extended outage times. Once we do
10 find the problem, we then need to go to a
11 manual-operated sectionalizing switch, if there is
12 one available, or just make the -- just make the
13 repair and restore the outage.

14 So this combination of technology can
15 take outages that have historically lasted several
16 hours and turn them into several minutes. So it's
17 a huge improvement for our customers.

18 The other area I'll mention for system
19 intelligence, you can see in the center bullet, is
20 our remote substation and asset monitoring. Remote
21 substation monitoring is essentially traditional
22 SCADA improvements, where we have the supervisory
23 control and data acquisition. But the asset health
24 monitoring is a new project for us -- relatively

Page 95

1 new project -- and what we're doing is deploying
2 monitors we call condition-based monitors. These
3 are primarily on our substation transformers, and
4 these monitors go on the transformer and they
5 analyze the oil and other characteristics in that
6 power transformer to determine "do I see signs of a
7 problem?" They get that -- we take that
8 information, we process it, actually through a
9 machine-learning platform called our health and
10 risk management platform, and use that to make
11 informed decisions about -- for near-term, do we
12 need to switch this out of the service? Do we need
13 to take this substation out of service before
14 catastrophic failure? And then for longer-term, we
15 inform our power transformer replacement program,
16 which I'll speak to later on in the slides. So
17 getting this asset-specific health information is a
18 huge advantage for us for being able to be more
19 proactive with our assets.

20 All right. Here we can see -- just to
21 briefly introduce the format of these, the second
22 slide of each project, on the top you'll see the
23 benefits -- I was speaking to those through the
24 examples -- and you'll see the benefit-to-cost

1 ratio numbers.

2 I'd like to focus on the pictures in the
3 box on the bottom, though. What we're seeing here
4 is a specific project location, which is our Waco
5 44 kV remote operated sectionalizing switch.

6 So in the image on the bottom left, you
7 can see the blue line is actually the 44 kV
8 transmission line. I mentioned earlier a
9 multi-tapped line or multiple fingers. You can see
10 all the different branches of this line. It's
11 about 24 miles total with those branches. And we
12 actually serve four different customer substations,
13 which you can see there in the images, and we also
14 serve one solar plant that's actually currently in
15 the -- in the planned interconnection phase. So
16 this is a future solar location.

17 The advantage of deploying a remote
18 multiway sectionalizing switch on this line is, if
19 we do have a problem, again, our grid operators can
20 sense that, they can reroute power, they can
21 isolate the faulted portion in a much smaller
22 segment than the entire circuit being operated from
23 the substation right from the circuit breaker. So
24 we can, kind of, isolate that problem to a smaller

Page 97

1 area, and the rest of the customers, as well as the
2 generation resource, can be restored and be able to
3 provide its benefit back onto the grid. So this
4 project location, specifically, improves on
5 reliability for about 6,000 customers directly
6 served off this line.

7 The next project I'll speak to is our
8 line H&R, or line hardening and resiliency project.
9 Several different scopes of work under this
10 project. I'll start out by explaining the pictures
11 you can see on the bottom.

12 What you see on the left-hand side is
13 our 44 kV transmission system. This is actually a
14 broken pole. You can see that the top half of the
15 pole is broken and sitting down on the ground here.
16 This -- this system is somewhat unique. It was
17 built out to support the textile manufacturing
18 industry in the Duke Energy Carolinas territory.
19 What we're doing is we're proactively upgrading
20 this system and we're making improvements beyond
21 just replacement like in kind.

22 So, specifically, for wood poles, we're
23 replacing the wood poles with steel poles, which is
24 significant reliability improvement, especially in

1 extreme weather scenarios. So we are targeting the
2 specific poles that are degraded. We do visual
3 inspections, hammer testing, and other
4 condition-based means to identify those poles, and
5 then we plan them for future year replacement and
6 upgrades with steel poles.

7 Those steel poles are, like I said, a
8 significant improvement when it comes to extreme
9 weather, high-wind scenarios. We don't have steel
10 pole failures for the vast majority, whereas, in
11 extreme weather scenarios -- again, hurricanes,
12 wind storms -- we're seeing wood pole -- wood poles
13 as a significant improvement opportunity.

14 The other -- in addition to individual
15 locations on the 44 system, specific line segments
16 that are particularly problematic from a historical
17 outage perspective are targeted for rebuild. And
18 we're actually rebuilding that 44 kV system to the
19 100 kV standard. So in addition to replacing the
20 poles with steel poles, we are actually elevating
21 that lineup. So you can get a little bit of sense
22 of the height difference between these two
23 pictures, but on the right is a rebuilt 44 kV
24 system. So the 100 kV standard, higher poles,

Page 99

1 larger insulation, larger --

2 COMMISSIONER DUFFLEY: We have a quick
3 question.

4 MR. MALEY: Sure.

5 COMMISSIONER DUFFLEY: Chair Mitchell?

6 CHAIR MITCHELL: I wanted to interrupt
7 you at this moment so that you can give us a little
8 bit of education.

9 Can you talk some -- I'm interested in
10 the 44 kV system. How widespread is that system?
11 How much 44 kV line do you-all have out there?

12 MR. MALEY: It's -- we have
13 approximately 2,500 miles, so it's --

14 CHAIR MITCHELL: Can you put that in
15 some context for me? I mean, how much -- do you
16 have less of that than -- well, just talk about it
17 relative to the 100 kV.

18 MR. MALEY: Sure. Sure. We have about
19 13,000 total miles of transmission line on the DEC
20 system. About 2,500 of that is 44 kV system, about
21 7,000 is 100 kV system, and then the remaining 230
22 and 500. So hopefully that gives a little context.

23 CHAIR MITCHELL: And is the 40 -- I
24 mean, will the system always require sub-100

Page 100

1 transmission lines? I mean, do you anticipate that
2 there will always be 44 out there?

3 MR. MALEY: The system will not
4 necessarily always require it. So we do -- we are
5 anticipating or enabling capacity upgrades to 100
6 as we rebuilt the system. So although we -- at
7 this time, we don't have any discrete plan to
8 eliminate 44 by any means, due to the widespread
9 nature of it, through our rebuild program, what we
10 are doing is allowing, as capacity needs dictate,
11 we can then modify, essentially, the substation
12 equipment at either end of the line and actually be
13 able to energize it to high voltage level.

14 A lot of the 44 kV system, as I
15 mentioned, serves manufacturing customers,
16 industrial customers. So their equipment is
17 designed to receive the 44 kV voltage, so we
18 generally wouldn't obligate them to upgrade. If
19 they were interested in upgrading, you know,
20 that's -- that's kind of -- I would say
21 significantly down the road. Not part of our
22 current plan.

23 CHAIR MITCHELL: So those customers take
24 directly off the 44 kV?

Page 101

1 MR. MALEY: That's correct. Yes.

2 CHAIR MITCHELL: Okay. All right.

3 Thank you. I appreciate you entertaining that
4 question.

5 MR. MALEY: Yeah. You're welcome.

6 All right. So I was discussing our
7 rebuilt program, and I think I've already hit a few
8 points there -- right there that I was gonna make,
9 but really we're enabling future capacity upgrades.
10 This is reliability driven work, but with
11 substation upgrades on either end, whether we have
12 capacity needs for additional customers, whether it
13 be, you know, retail, residential, or industrial,
14 or generation demands for distributed energy,
15 solar, et cetera. This is a great enabler of that.

16 The other project scope that I'll
17 mention here is cathodic protection system. The
18 100 kV and 230 kV system, as well as our 500 system
19 is a steel lattice tower construction. I'm sure
20 you're familiar with seeing some of these large
21 towers around the service territory. But what
22 we're doing is we're installing anodes at these
23 towers that serve to protect against corrosion
24 degradation.

1 Where the towers actually imbed in the
2 ground line, that is the most probable location of
3 failure, right? That is where the corrosion
4 actually starts. Typically, that's the weakest
5 point of the tower. We're actually installing
6 anodes at these locations. It arrests the
7 corrosion. We restore that tower leg back to a
8 like-new condition, and significantly life-extend
9 the -- or, excuse me, life -- provide a life
10 extension to that specific tower. So this is a
11 really important program for us for those highest
12 voltage lines where we do have a tower out on the
13 system.

14 Again, this is a condition-based
15 program. So we are taking lines where we know,
16 from past inspections, we have identified high
17 rates of corrosion due to the specific soil
18 conditions or other factors, such as
19 difficult-to-access lines, harder to access during
20 outages, and we're targeting those lines for these
21 enhancements and upgrades.

22 I'll speak to a specific project
23 location. This is our Quebec 44 kV line. This is
24 actually out in the Pisgah Natural Forest, and we

Page 103

1 are rebuilding approximately 6 and a half miles of
2 deteriorated line structure. And this is a high --
3 a high-outage line. So not just in frequency, but
4 what happens is, when we have an outage on this
5 line, and vast majority of outages are trees
6 falling from outside the right-of-way due to the
7 forested nature of this -- of this circuit -- it's
8 a very-difficult-to-access line, and we tend to
9 have long outages.

10 Finding that problem and getting linemen
11 there, getting vegetation management crews there to
12 actually cut the tree off, we've had two outages
13 longer than 12 hours on this circuit in the last
14 five years. And again, both from trees outside the
15 right-of-way.

16 This line serves almost 7,000 customers.
17 So we're rebuilding this up to that 100 kV
18 standard, we're elevating those poles higher up
19 above many of the trees, and greatly improving
20 the -- or reducing the chance of a tree actually
21 falling from outside the right-of-way onto that
22 line.

23 In addition to just the obvious benefits
24 of taller structures, Mr. Guyton earlier talked

Page 104

1 earlier about collateral damage. When a tree falls
2 and you have a wood pole, you have an age
3 conductor, you often have damage and breakage.
4 When we can rebuild the line with steel pipes, we
5 have new high-strength steel conductor, we're much
6 less likely to actually have equipment damage. We
7 can remove the tree from the line, reenergize,
8 restore. So less outage time and also less cost
9 that ultimately will benefit the customers.

10 All right. I'm gonna move into our
11 substation H&R project area.

12 From a substation perspective, we have a
13 few different scopes of work that we're targeting.
14 The first is our substation reliability upgrade
15 scope. This is really when we have multiple
16 different assets in the substation that have a need
17 for upgraded replacement. So this can be circuit
18 breakers, transformers, switches. It can also --
19 it typically also does include our system
20 intelligence work, so we're bundling this work
21 together, like I spoke about in the beginning.

22 But what we're doing is we're
23 systematically upgrading this -- this equipment
24 that is at end of life. At the same time, we're

1 upgrading it to our latest standards, and this
2 brings us reliability benefit for the customers
3 directly served from this station, and also from
4 the transmission lines for our transmission-level
5 stations, and those are more of our stations that
6 are 230 to 100 kV, 100 kV to 44 kV. They help
7 distribute that transmission throughout the
8 transmissions network.

9 Our air-break switch scope. This is a
10 specific project targeted at a technology or a
11 design called an air-break switch. This is used in
12 our 44 kV and our 100 kV locations. It is on the
13 high side of a power transformer. And really what
14 it is designed to do is interrupt a fault and
15 protect the power transformer from damage.

16 In a substation, the most expensive and
17 the most critical asset is the power transformer,
18 and when the transformers fail, they often result
19 in a catastrophic failure; collateral damage to
20 adjacent equipment, potentially for release of oil.
21 So it's very important for us to protect them. The
22 air-break switch is a device that projects them.

23 What we're doing is actually upgrading
24 these with a device called a circuit switcher.

1 That has a better -- an improved ability to
2 actually interrupt the fault and project that
3 downstream transformer. So we're systematically
4 replacing these. Ultimately, more reliability to
5 project those critical assets in the station, which
6 are those transformers.

7 We are also targeting animal mitigation
8 scope upgrades. Next to vegetation or tree
9 outages, animals are the number two driver for
10 customer outages from transmission system outages,
11 so just below the trees. So animal-resistant
12 fences are a great improvement. They keep the
13 snakes and squirrels and other similar-type
14 animals, for the large part, out of stations, which
15 is a great benefit, ultimately, for our customers.

16 One note I'll -- one note of difference
17 from the DEP discussion and the prior technical
18 conference, our security fence upgrade project that
19 we had on the DEP, we actually -- we will have
20 completed that project in DEC by the time the
21 multiyear rate plan window opens. So we do not
22 have any of that scope. So we've aggressively
23 pursued that on the DEC side. That's just one
24 difference I'll call out.

Page 107

1 From a specific location, you can see
2 some pictures here of a substation transformer and
3 an oil breaker. We have upgraded our Winston tie
4 station. This is an important tie station. It's
5 just south of Winston-Salem. It actually connects
6 13 different 100 kV transmission circuits. So it's
7 a key tie station for various transmission
8 circuits. It also directly serves retail customers
9 from the station as well. So we call that a
10 combined tie and retail station. About 4,000
11 customers directly served off distribution circuits
12 coming out of this station.

13 The project scope. We are upgrading the
14 transformers to the current standard. We're
15 upgrading the circuit breakers, which I will talk
16 more to about those specific projects. We are also
17 reconfiguring the station for redundancy. Right
18 now it's a single-transformer bank. So if we do
19 have a fault that occurs on one of the distribution
20 circuits, if we have a problem within the station
21 on a bus, we basically isolate all of the circuits,
22 right, if the problem is associated with the
23 high-voltage bus or the power transformer.

24 We are actually splitting the bank into

1 two separate power -- transformer banks. This
2 allows us to actually cross-tie load between the
3 two. We can take some circuits out for maintenance
4 if needed, and we have some redundancy built in.
5 So this reliability improvement, again, will
6 benefit the customers served from this station.

7 All right. I'll move on. Our
8 vegetation management project scope. Similar to
9 what Mr. Guyton spoke to, this is focus on hazard
10 trees or danger trees they are sometimes called.
11 But these are trees outside of the right-of-way. I
12 did mention this is the number one driver of
13 customer minutes interrupted from the transmission
14 system; about 17 percent of transmission outages
15 from trees from outside the right-of-way. So we
16 are specifically targeting those trees through an
17 aerial inspection program.

18 We're actually creating what we call a
19 tree canopy risk model. I'm gonna jump to the next
20 slide so you could see an image of this. But what
21 we do is we perform aerial inspection of our
22 transmission system on a regular basis. We use a
23 technology called LiDAR to actually scan these
24 transmission lines. And what we're doing is we're

Page 109

1 looking for these hazard trees outside of the
2 right-of-way.

3 So in the image on the right here, you
4 can see on the middle of the right-of-way is the
5 transmission circuit, and this is actually our High
6 Point 100 kV circuit. There's a -- it's a
7 dual-circuit line, so there's two lines actually
8 running down this right-of-way. On the right and
9 left side you can see the orange and red polygons,
10 and these are created by our scanning software.
11 Anywhere there's a colored polygon, we have a
12 hazard that needs to be assessed in there. So this
13 could be a particularly tall tree that, if it
14 falls, it can fall onto our transmission line, or a
15 tree of a particular breadth, that again, if it
16 falls, it could impact our transmission line. So
17 we are -- we are targeting these hazard trees and
18 removing them before they actually cause a problem
19 on the line.

20 I did mention this is the High Point
21 100 kV. It's a 37-mile line. It connects a
22 hydroelectric plant to multiple different retail
23 substations. It supports over 24,000 customers
24 served off these two circuits.

Page 110

1 The last thing I'll mention is we're
2 really looking at the -- beyond the right-of-way.
3 We're looking about 30 feet outside of either side
4 of the right-of-way. And what we found is, under
5 that amount of width, we can typically identify the
6 trees that are gonna be potentially problematic,
7 right, based on the right and some simple geometry,
8 we can figure out what trees, if they fall, will
9 create a problem on our transmission lines.

10 All right. The -- I'll move into our
11 breaker -- circuit breaker upgrade project.
12 Circuit breakers, I mentioned earlier, they take a
13 signal from a relay and they open to isolate a
14 portion of the transmission system. They need to
15 operate very quickly, in less than a second, in
16 order to really minimize the duration of the fall
17 and have limited impact to our customers.

18 The current -- or the -- I'll say the
19 legacy technology on the transmission grid is
20 called an oil circuit breaker. It's really an
21 oil-filled tank. That oil actually interrupts the
22 arch that's created when that high-energy breaker
23 operates. Of course, these are from 44 kV on the
24 transmission side up to 500 kV, and then also the

Page 111

1 distribution-class circuit breakers in our
2 substations as well. So 24 kV, 13 kV, those are
3 also included under this program.

4 For those distribution levels, will
5 replaced the legacy oil breaker with a vacuum
6 technology breaker. And then for the high voltage,
7 the current technology is a high-pressured gas
8 circuit breaker. But these, combined with our
9 relay upgrades, much more reliably and consistently
10 interrupt those faults and ensure, again, that
11 we're isolating that problem to the smallest
12 portion on the grid. This is important, not just
13 from an outage standpoint, but from availability of
14 generation, especially as we have more distributed
15 energy generation, around greater parts of the grid
16 more circuits being impacted.

17 The last point on this slide I'll
18 mention is we are specifically targeting the
19 circuit breakers and prioritizing them. So we're
20 looking at end-of-life assets, we're prioritizing
21 based on field inspections, so the actual condition
22 of the breaker, electrical testing that we perform
23 periodically, the configuration of that breaker,
24 and redundancies. So if the breaker fails, do we

Page 112

1 have a direct customer outage or do we have
2 built-in redundancy? So that factors into
3 prioritization.

4 And then number of fault operations.
5 This is, essentially, how often does that breaker
6 operate? What's the condition we expect from a
7 wear perspective? Every time a breaker operates,
8 you know, it wears to some degree, particularly
9 with an oil breaker, based on that technology.

10 Specific project location I'll highlight
11 for breakers is our Shelby tie station. In this
12 substation, we have actually 14 circuit breakers
13 included. So these include 44 kV, 100 kV, and 230
14 kV. This is a critical station in the Shelby area.
15 We serve approximately 11,000 customers from the
16 lines that actually emanate out from this station.
17 So potential for a high number of customers to be
18 impacted if we did have a failure event within the
19 station. All right.

20 And the next project I'll speak to is
21 our transformer upgrades. So similar to our
22 circuit breaker upgrades, with our transformer
23 project, we are targeting end-of-life assets. Our
24 goal is to replace -- identify and replace that

1 asset prior to failure. That allows us to do it on
2 a proactive manner, to avoid an unplanned customer
3 outage, and obviously to control our costs so we
4 could most efficiently execute the replacement
5 scope.

6 So a power transformer or auto
7 transformer -- so these are just two different
8 types of transformers. On the transmission grid, a
9 transformer can change voltage levels from high
10 voltage, say 230 kV, down to 100 kV. So those are
11 critical at our tie stations as we move power
12 around the transmission grid. And, of course, at
13 our retail substations, taking the power from --
14 the voltage from a transmission level down to a
15 distribution level and getting that power out to
16 our distribution-served customers.

17 With a transformer, another key function
18 of that transformer, in addition to these large
19 voltage steps is voltage regulation. So many
20 transformers have an included load tap changer,
21 which is essentially a voltage regulator. It
22 allows very small step changes in voltage. So like
23 you heard earlier about voltage regulation, these
24 load tap changers are very critical to ensure that

Page 114

1 we're, from the substation, sending out and
2 controlling that voltage level, often within plus
3 or minus 1 volt. Very tight bands.

4 And the load tap changer or voltage
5 regulation component is often the location of a
6 failure when we do have a transformer failure. We
7 are actually upgrading that technology, again,
8 similar to circuit breakers that uses an oil
9 technology, the new regulation or load tap changer
10 technology that would be industry standard now is a
11 vacuum-based technology. When you have a vacuum
12 changer within this load tap changer, you actually
13 eliminate the possibility of arch gases building up
14 and leading to catastrophic failure.

15 So I say all that to say our upgrade is
16 not just resetting the life expectancy, it's really
17 eliminating a significant failure mode for our
18 transformers on the grid.

19 All right. A specific project location
20 for transformer upgrades is the Concord, Maine,
21 substation. We're actually replacing two
22 transformers that have been identified in poor
23 health through our monitoring and testing program.
24 Each asset is over 50 years old.

Page 115

1 In conjunction with this work -- so
2 we're also upgrading some current limiting
3 components, small ancillary components that are
4 adjacent to the transformers, and similar to a line
5 operating, this would allow future capacity
6 enhancements as needed. So I just mention that to
7 say, we're taking this time to opportunistically
8 improve the system to allow additional capacity
9 improvements, without having to revisit that same
10 location, that same project scope, in the future.
11 This will directly improve reliability for about
12 7,500 customers served from these transformer
13 banks.

14 And then last thing I'll mention here is
15 transformers are one of the top five leading causes
16 of customer minutes interrupted. So transformer
17 failures or transformer equipment leading to a
18 failure and interrupting customer service.

19 All right. The final project scope on
20 the transmission presentation today is our capacity
21 and customer planning scope. So I mentioned early
22 on, there is really three scopes of work here. One
23 is serving our customer needs. So as we see load
24 move around the system, as we see load growth, new

Page 116

1 customer connections, these are driven through this
2 project.

3 Our NERC reliability standards are one
4 of the key -- key obligations we have as a utility,
5 so we perform system modeling, and we perform that
6 modeling with certain failure scenarios, right,
7 that the NERC standards dictate. So if we have
8 certain segments of the transmission system that
9 were to be out of service, what overloads would we
10 have in other parts of the system? And many of our
11 projects are driven by these planning studies,
12 right, which identify the need for capacity
13 upgrades, redundancy in some cases, sometimes we
14 can have redundant relays or breakers that we can
15 actually put in. So we are looking for the most
16 efficient solution, if you will, to a problem
17 that's identified through a planning study.

18 I mentioned those capacity upgrades are
19 informed through the ISoP process. So if we do
20 need the -- if we do identify a need to upgrade a
21 substation, or say upgrade a transformer, that may
22 be driven by a peak load condition that occurs
23 during a very small window of time. You know,
24 summer, middle of the day, highest load time, you

Page 117

1 know, that is where we have a constraint. So, for
2 this reason, we are looking at what's the most
3 efficient way we could address that constraint. So
4 it's a relatively new process for us, but we're
5 looking at those non-wire alternatives, battery
6 storage. Are there other ways we can meet that
7 peak demand and still meet our compliance
8 obligations, without necessarily upgrading the
9 transformer or replacing the transformer? So that
10 is embedded in our evaluation process moving
11 forward.

12 The last area I'll mention is our red
13 zone expansion. Our transmission expansion
14 planning or our red zone project. So, again, I
15 know the Commission is familiar with these from the
16 Carbon Plan proceedings, but these are areas of the
17 grid where we have had numerous interconnection
18 requests for new solar generation, and our
19 interconnection studies have identified that these
20 transmission circuits are at or near maximum
21 capacity. They are not able to connect additional
22 generation of significant magnitude without
23 significant upgrade. So reconductoring large
24 portions of the system.

Page 118

1 So we actually have four transmission
2 circuits included in our multiyear rate plan that
3 are in a red zone in the DEC area, which is in
4 the -- actually, the South Carolina service
5 territory of our Duke Energy Carolinas location.
6 And I'm gonna talk about a specific one of those on
7 the following slide.

8 We are still in the process of working
9 through the North Carolina transmission planning
10 collaborative, which we did present these projects
11 to, to obtain stakeholder input, and that would be
12 in alignment with the FERC-approved process for
13 local transmission planning. So I just mention
14 that as well. We do expect a vote in the December
15 timeframe for the next version of our local
16 transmission plan, which does include this work.

17 One of these -- really two of the
18 project locations I'll highlight is the Lee and
19 Piedmont 100 kV line-up rates. So you can see in
20 the pictures on the right and left, these are
21 parallel transmission circuits. So they both start
22 and end at the same location. So on the south end,
23 the W.S. Lee combined cycle plant, and then the
24 north end is the Shady Grove tie station.

Page 119

1 So both of these transmission circuits
2 are approximately 12 miles. So it's a 24-mile
3 total uprate, and what we're doing is we are
4 rebuilding with a higher capacity conductor. We're
5 approximately doubling the available capacity for
6 these lines from that -- from a current carrying
7 standpoint. Obviously, new structures, based on
8 the latest standards from a loading standpoint,
9 both electrical and structural design standpoint.

10 What we're really seeing is the
11 build-out of solar resources, kind of south and
12 west of this area, is driving this need. Mentioned
13 earlier, multiple interconnection requests have
14 identified that's lines as being constraints, and
15 necessary for uprate in order to connect more solar
16 to the grid.

17 But in addition to that, these lines --
18 we see significant reliability opportunities,
19 reliability improvement through the uprate of these
20 lines. We have towers on these lines that are over
21 100 years old. We have copper conductor, which, of
22 course, the standard for a long time has been an
23 aluminum conductor with steel reinforcement. And
24 so in addition to enabling our expansion of

Page 120

1 renewable energy resources, we're improving the
2 reliability through reducing the chance of
3 equipment failures, actually leading to
4 interruptions for the grid. So it's important for
5 us to be able to move our generation resources in
6 solar from one part of the grid to the other, and,
7 of course, the customers that are served through
8 the interconnecting lines and stations from these
9 two lines.

10 All right. And at this point, this
11 completes the transmission presentation. I'll take
12 any questions at this time before I pass it along
13 to Ms. Meeks.

14 COMMISSIONER DUFFLEY: Thank you. I
15 think, at this point, we're gonna take an afternoon
16 break of 10 minutes. So let's come back at 3:16.

17 (At this time, a recess was taken from
18 3:06 p.m. until 3:17 p.m.)

19 COMMISSIONER DUFFLEY: Chair Mitchell?

20 CHAIR MITCHELL: Just a few more
21 questions for you-all. The end-of-life asset --
22 end-of-asset-life programs you mentioned, are you
23 using asset life based on depreciable life, or how
24 do you-all define end-of-life?

Page 121

1 MR. MALEY: Yes. The -- I don't know
2 that we have a succinct definition, per se. What
3 we're seeing is assets that, yeah, they're at the
4 end of their useful life. They're based on similar
5 characteristic, make, model, experiencing
6 in-service failures. So it's primarily based on
7 work experiencing in-service failures of this
8 similar type asset, and we need to -- we need to --

9 CHAIR MITCHELL: Okay.

10 MR. MALEY: -- start replacing other
11 similar-type assets.

12 CHAIR MITCHELL: Sounds like less of an
13 accounting definition and more of a what's actually
14 happening.

15 MR. MALEY: Correct. It's more of an
16 asset management definition.

17 CHAIR MITCHELL: Got it. Okay.

18 MR. MALEY: Yes. Correct.

19 CHAIR MITCHELL: Okay. The -- at this
20 point in time, are you-all able to use any sort of
21 automation for your asset monitoring, like I've
22 read about programs that involve compilations of
23 photography, for example, of transmission assets,
24 and so then you could -- I think the way these

Page 122

1 programs work is you send cameras out, you send
2 drones out, and the drones would photograph your
3 assets and then could tell you or predict where the
4 problems are? I mean, are you-all there yet?

5 MR. MALEY: We are in early stages of
6 doing some of that. So one example is our aerial
7 patrol program. So I mentioned it for vegetation,
8 but in addition to vegetation, we perform aerial
9 patrols of all of our transmission lines looking
10 for asset issues, right? So we have integrated
11 with that a camera technology that actually can
12 take high-resolution images of specific problems
13 on -- you know, associated with the conductor, with
14 insulators, with the towers, themselves. So we
15 do -- we have that integrated in our aerial patrol
16 program.

17 What we do is we flag locations, and
18 then we'll go back to that location and use a drone
19 if we actually need higher resolution imagery. The
20 ultimate vision is yes, take the -- take the aerial
21 photography and video stream from those flights and
22 actually process it through a machine-learning
23 platform. So it can more readily tell us, you
24 know, go here, here, and here. We are still at the

Page 123

1 stage of, there is a lot of manual work to identify
2 those specific locations, but absolutely, it is
3 something that we are investigating and actively
4 working on that technology, working with several
5 different vendors or manufacturers, you know, that
6 specialize in that area.

7 CHAIR MITCHELL: Okay. Just a curiosity
8 of mine. I didn't know how -- if that was, sort
9 of, a real-world application at this point in time
10 or not. So it sounds like you-all are working in
11 that direction.

12 MR. MALEY: Yes.

13 CHAIR MITCHELL: Last question. How
14 much or how many of the projects that you-all have
15 proposed in this particular rate case proceeding
16 relate to generation asset retirements?

17 MR. MALEY: Generation -- so for the
18 transmission-specific project locations, we do
19 have -- we do have some work that's associated with
20 generation retirement. So one example is our Allen
21 steam station. So as part of that retirement,
22 we're moving the switch yard to a new location. So
23 it's a multiyear project. We actually have some
24 early phases -- we have some projects going on now,

Page 124

1 we have additional phases of the project included
2 in our multiyear rate plan. So there is some of
3 that, but I'll say it's a smaller percentage of our
4 transmission projects.

5 CHAIR MITCHELL: Okay. Should we
6 anticipate -- just following up, should we
7 anticipate seeing more in the next -- in the future
8 rate case? I mean, I'm just kind of trying to
9 understand timing here.

10 MR. MALEY: You know, I have a difficult
11 time projecting that. I will say some generation
12 requirement -- retirements really result in very
13 minimal changes in the impacts to the transmission
14 systems. We are able to keep the switch yard at
15 the current location, or, you know, the substation
16 that's essentially onsite at the generation plant.
17 We can still use that as an asset to route power,
18 just without the associated generation coming on.

19 You know, Allen is an example where that
20 didn't work, for some specific reasons, under our
21 planning model. We needed to actually move that.
22 But I wouldn't say that every generation to
23 retirement requires a significant project scope on
24 the transmission grid. There will be some changes,

Page 125

1 but it's not necessarily significant changes.

2 CHAIR MITCHELL: Okay. That's helpful.
3 I appreciate that explanation.

4 COMMISSIONER DUFFLEY: Commissioner
5 Brown-Bland?

6 COMMISSIONER BROWN-BLAND: Good
7 afternoon. I noticed, under the breaker upgrades,
8 you have information here about circuit breaker
9 technologies transitioning to FS-6 gas circuit
10 breakers.

11 As we move more to electrification, I
12 thought we were -- that Duke, in particular, was
13 trying to back away from FS-6, that it was a more
14 potent greenhouse gas. Can you comment about that?

15 MR. MALEY: Sure. Yeah. Great
16 question. Yes. For high-voltage circuit breaker
17 applications, the industry standard still remains
18 FS-6. Duke Energy is very interested in exploring
19 alternative technologies. There are several
20 technologies that vendors are starting to come out
21 with. There are several that are commercially
22 available that I'll say the -- you know, the 115 kV
23 voltage levels, 100 kV voltage levels, I've seen
24 some up to 145 kV class. Particularly, when you

Page 126

1 get into the 230 kV, 500 kV circuit breakers, there
2 really is not proven technology out there that we
3 have at this point seen as an option to adopt.

4 So the vast majority -- the industry
5 standard still remains FS-6 at this point.
6 Although, again, like I said, we are interested in
7 collaborating with industry on future opportunities
8 to move away from SF-6 [sic].

9 COMMISSIONER BROWN-BLAND: So there
10 would be emissions? This is not emission-free, in
11 that regard?

12 MR. MALEY: It is true that any piece of
13 equipment or component that contains pressurized
14 FS-6 would have some off -- you know, some leakage,
15 small amount of leakage. Typically it's very
16 small. With the new asset, you know, we can really
17 control that, as long as it's in good condition, we
18 perform regular inspections, you know, there is no
19 quantifiable -- you know it's a de minimis type
20 leakage.

21 As those assets age and degrade and --
22 you know, there can be problems with that, but we
23 address that under our maintenance program, our
24 substation inspection, and our circuit breaker

Page 127

1 maintenance program. So we do have programs in
2 place to minimize the amount of leakage from
3 pressurized FS-6 components.

4 COMMISSIONER BROWN-BLAND: And so my
5 general understanding, it hasn't been a major
6 concern, because it's just not the volume we see
7 with carbon, but that it was more potent, but --
8 but I guess that's my question. As we go towards
9 electrification, would we expect to see a greater
10 volume here or more concern with FS-6?

11 MR. MALEY: So I think -- I'm not an
12 expert in this area. I'll generically say, you
13 know, yes the sort of the greenhouse gas
14 contribution, I would say, from transmission
15 equipment filled with FS-6, yeah, it's very small
16 compared to, of course, generation plant-level
17 impacts, right; burning coal, things of that
18 nature. But it's a small contributor, but again,
19 something that Duke Energy sees as an important
20 area that we can adopt industry best practices and
21 eventually, hopefully migrate away from that
22 technology. But at this time, it does not exist as
23 an opportunity to migrate away from that technology
24 on a large scale.

Page 128

1 COMMISSIONER BROWN-BLAND: Thank you.

2 COMMISSIONER DUFFLEY: Commissioner
3 Hughes?

4 COMMISSIONER HUGHES: Yes. Could you
5 briefly comment on any overlap or relationship
6 between the cost estimates, particularly your bar
7 that shows the different segments, and then the
8 adders that we -- that we were presented with
9 during the Carbon Plan, the transmission adders
10 that went. Is there connection -- you mentioned
11 the red zone, but are there other connections?

12 MR. MALEY: Unfortunately, I'm not
13 familiar with the adders -- transmission adders or
14 the specific item you're referencing from the
15 Carbon Plan testimony. Can you elaborate on that?
16 I may be able to --

17 COMMISSIONER HUGHES: Well, it was my
18 understanding that that -- a segment of
19 transmission projects that would be needed to
20 implement the new generation portfolios were
21 analyzed, and somehow there was a series of adders
22 that were put on, so as a -- as new generation went
23 in, there were transmission costs that followed
24 along, based on an adder, which I interpreted were

Page 129

1 based on some planning. And it just seemed like
2 some of these projects you did make reference to
3 new generation, but quite a few didn't, so I was
4 just curious what the overlap would be. But if
5 you're not the best person to talk about it, we
6 could --

7 MR. MALEY: Yeah. I'm not familiar with
8 the adders. I guess the comment I'll just
9 reiterate here is yes, the red zone projects, they
10 are a key portion -- or they are a key transmission
11 portion of our Carbon Plan. Of course, those
12 capacity uprates enable additional generation to be
13 connected, and that's really all under that
14 capacity and customer-planning piece. I'd say if
15 there was any overlap, it would be limited to the
16 capacity and customer-planning program, and
17 probably more specifically, the subscope involving
18 the red zone projects.

19 COMMISSIONER HUGHES: Okay. Thank you.

20 COMMISSIONER DUFFLEY: Commissioner
21 McKissick?

22 COMMISSIONER McKISSICK: And let me
23 follow up briefly what Commissioner Hughes was
24 requesting, in terms of information.

Page 130

1 You identified there were four circuits
2 in South Carolina that are included, you know,
3 among the products that are part of what you're
4 gonna be carrying out.

5 Are there other projects that are not
6 currently part of what the collaborative just kind
7 of looked at -- that you anticipate would be moving
8 forward and included in what comes to us.

9 MR. MALEY: Yes. I understand the
10 question. At this time, no. For Duke Energy
11 Carolinas region, these are the -- these are the
12 only ones --

13 COMMISSIONER McKISSICK: These are the
14 only ones.

15 MR. MALEY: -- that are in our -- I'll
16 say our current or near-term scope that we're
17 pursuing.

18 COMMISSIONER McKISSICK: Okay. And let
19 me shift gears a little bit. And that's going over
20 to the -- I guess the pole replacement. You are
21 putting in the lattice steel in some areas.

22 How do you go about identifying those
23 areas that are best suited for putting in the
24 lattice steel and removing the wooden poles? I

Page 131

1 mean, certainly, failure is a component of it, but
2 it seems that once you go out and start replacing
3 them, you got to replace them in mass numbers,
4 rather than just in isolation.

5 MR. MALEY: Yeah. So the -- depending
6 on the voltage level, we have very, kind of,
7 specific current designs, and actually the wood
8 pole replacements are all on our 44 kV system. So
9 that's really where the system was built out with a
10 wood pole infrastructure. We're replacing those
11 with steel poles.

12 The lattice towers are really at our
13 100-kV-and-up level, and we're targeting the
14 locations near those uprates based on our
15 condition-based inspection program. So aerial
16 patrols, in addition to ground-line inspections.
17 We are -- we can generally identify regions where
18 we have corrosion rates that may be higher than
19 other areas. That may be due to the soil
20 condition, the water table level, the specific
21 environmental constraints. So in addition to the
22 degradation rates, the areas that may be
23 particularly hard to access. So if we have a
24 failure, it's hard to access this area.

Page 132

1 Mountainous terrain, swamp terrain, things like
2 that, that's where we would, from an asset
3 management standpoint, look at what kind of work do
4 we need to target in this area to improve the
5 resiliency on the grid.

6 So cathodic protection is a key project
7 we have for the -- specific to the lattice towers.
8 What is not included in the project scope is a
9 lattice tower replacement project. That would be
10 really one off for specific cases where really
11 there was severe damage, but that's not being
12 addressed at a wide scale. It's the wood poles at
13 the 44 kV, and then it's life extension through
14 corrosion mitigation of the lattice towers.

15 COMMISSIONER MCKISSICK: Got it. Thank
16 you. And I do appreciate your presentation. It
17 was very thoughtful and very informative.

18 MR. MALEY: Thank you.

19 COMMISSIONER MCKISSICK: So I appreciate
20 that.

21 COMMISSIONER DUFFLEY: Commissioner
22 Kemerait?

23 COMMISSIONER KEMERAIT: Yes. I have one
24 question about the benefit portion for your

Page 133

1 capacity and customer planning project. And for
2 capacity and customer planning, I think there were
3 two components, the NERC reliability component, and
4 then also the red zone upgrade project.

5 So for the red zone projects, how were
6 you -- how did you assess or determine what
7 those -- what the benefits would be?

8 MR. MALEY: Great question. And we had
9 some maturity in that approach since the DEP tech
10 conference. So you may recall me talking about,
11 yes, we don't -- at this time, we don't have a way
12 to quantifiably display or calculate the benefits
13 for the expansion of solar energy or renewal energy
14 resources. We are performing the benefit-to-cost
15 ratio based on the reliability portion of the
16 benefit.

17 So we are evaluating these circuits
18 based on their -- based on a condition assessment.
19 So factors such as we have towers that are over
20 100 years old, legacy copper conductor designs. So
21 we're actually modeling like an asset management
22 project. What is the probability of failure of
23 these circuits based on the condition that the
24 components are in? And then what will be the

Page 134

1 benefit to the customers and to the grid by
2 avoiding that failure? So that's our approach.

3 COMMISSIONER KEMERAIT: Okay. Just the
4 NERC reliability impact?

5 MR. MALEY: Yeah. Pure reliability
6 and -- not necessarily NERC, specifically, but I'll
7 say primary customer reliability benefits, right.
8 That's really what the ICE calculator drives out.
9 If this fails, here is the cost of that outage.

10 COMMISSIONER KEMERAIT: Thank you.

11 MR. MALEY: Sure.

12 COMMISSIONER DUFFLEY: So thank you for
13 your presentation today. I have one follow-up to
14 Chair Mitchell's question about end-of-life.

15 So I heard you respond that the
16 end-of-life may be different depending on the
17 asset. So one asset might be 20 years, one asset
18 might be 10 years.

19 Do you keep a database of what the
20 end-of-life years for each asset or --

21 MR. MALEY: The -- our asset management
22 experts, although I'm not aware of a specific
23 database, they do have information for various
24 types of assets on the expected life from a --

Page 135

1 again, from an asset management and reliability
2 standpoint. So I don't know that it's
3 documented in a database, but I'll just give a few
4 examples.

5 So a device with electro- -- or with
6 circuit breaker -- excuse me, circuit board
7 components, such as a digital relay. This is
8 something we've had to learn as we installed more
9 of these modern devices with printed circuit
10 boards. We expected about a 20- to 25-year life of
11 these assets. That's different than some of the
12 legacy components. So that is being factored into
13 our long-term planning. And again, the example I
14 shared earlier with breakers, transformers. We're
15 really looking at, when are we starting to see
16 failures that are driven from age-related failures.

17 So I guess to reiterate, I'm not aware
18 of a specific database, but the experts in those
19 areas do have a good grasp on the expected life for
20 various classifications of components.

21 COMMISSIONER DUFFLEY: Okay. Thank you
22 for that. And then Chair Mitchell also touched on
23 this. I have a staff question for you, so I'm just
24 gonna read it.

Page 136

1 Several RZEP projects are included in
2 the transmission projects; however, Marshall
3 McGuire 230 kV line upgrade, which is necessary to
4 the Marshall coal plant retirement, does not appear
5 to be included here.

6 Why is this project not included, and
7 when should the Commission expect these projects to
8 be implemented? And if you could, state whether
9 this project is slated for beyond 2026.

10 MR. MALEY: Could you state the name of
11 the project again, please?

12 COMMISSIONER DUFFLEY: Marshall McGuire
13 230 kV line upgrade.

14 MR. MALEY: (Presenter peruses
15 document.)

16 Just confirming that it is not on my
17 list. So, yeah, I cannot speak to the specifics of
18 that project. It is not included, as stated in our
19 current multiyear rate plan portfolio, but I do not
20 know the future in-service date for that.

21 COMMISSIONER DUFFLEY: Okay. Thank you.

22 MR. MALEY: Sure.

23 COMMISSIONER DUFFLEY: Any other
24 questions before we move on?

(No response.)

COMMISSIONER DUFFLEY: Thank you.

Ms. Meeks?

MS. MEEKS: Yes. Good afternoon, all.

My name is Laurel Meeks, and I'm the director of renewable energy development, and I'm pleased to be here with you today discussing energy storage benefitting the distribution grid.

Today, I'm first planning to discuss grid use cases of battery energy storage, specifying which grid uses are highlighted today within the technical conference. Then we will turn our attention to project identification processes, how we have performed our cost-benefit analysis methodology. Then we will dive into more detailed program descriptions, and highlight specific costs and benefits of each program type, or category as we refer to them in later slides.

So let's first dive into the grid use cases of battery energy storage. From a grid operator perspective at Duke Energy, we know that storage is a very exciting technology that serves as a sort of Swiss Army Knife. And what I mean by that is a single energy storage project can be

1 utilized to perform multiple grid functions,
2 although not necessarily at the exact same time.

3 In fact, the Duke Energy development
4 approach is to cite projects in order to stack or
5 layer multiple grid services, which maximizes the
6 customer benefit. You will see that described for
7 each of the projects or programs highlighted later
8 in the presentation.

9 This pie graphic attempts to summarize
10 what different configurations of energy storage can
11 do, in terms of grid services. So within the
12 interior circles, we distinguish siting energy
13 storage, either at the customer location,
14 standalone and interconnected at the distribution
15 voltage, standalone and interconnected at the
16 transmission voltage, or sited adjacent to a
17 generator.

18 The exterior circle then demonstrates
19 the grid function that different siting strategies
20 can support. And those are grouped by which Duke
21 Energy business unit or customer is most interested
22 in that benefit.

23 From a production or generation
24 standpoint, energy storage can be utilized to

1 capture excess energy production and dispatch it
2 when energy demand is highest, or to perform
3 resource adequacy or serve system capacity, which
4 is typically a focus of the integrated resource
5 planning process. From a transmission operations
6 perspective, operator-controlled energy storage
7 could provide minute-by-minute balancing between
8 load and generation as an ancillary service. And
9 for both transmission and distribution planners,
10 energy storage can be a cost-effective alternative
11 solution by deferring or avoiding traditional wires
12 investments in order to improve local reliability
13 or increase local capacity.

14 Today, we are here to discuss battery
15 energy storage applications that will benefit the
16 distribution grid. Both categories or programs in
17 discussion today will also benefit the bulk
18 electric system, the generation fleet or
19 transmission system, when not in use for their
20 primary function. And that offers that maximum
21 customer value that I elaborated on earlier.
22 Visually, we can picture these storage systems
23 sometimes cutting across that highlighted pie slice
24 to serve the generation and transmission operations

1 functions.

2 So we're gonna discuss how grid services
3 translate to customer benefits in later slides, but
4 for now, I'd like to summarize that storage enables
5 increased renewables penetration through balancing
6 services. This technology also offers reliability
7 and resiliency for customers and our communities,
8 especially critical customer services. It enables
9 efficient grid operations and flexibility for the
10 dynamic energy transition.

11 Went a little too far there. In this
12 presentation, I highlighted that storage enables
13 increased renewables for penetration, reliability,
14 and resiliency for communities and critical safety
15 services, efficient grid operations, and
16 flexibility for the dynamic energy transition.

17 Well, what does that mean for customers?
18 Well, first, this technology provides environmental
19 benefits for DEC customers across North and
20 South Carolina. Grid services, such as capacity,
21 regulation services, and contingency reserves have
22 traditionally been performed by carbon-emitting
23 generation resources. Replacing carbon-emitting
24 resources with assets that have the ability to

Page 141

1 store and redeploy clean energy resources helps
2 reduce emissions and deliver positive environmental
3 benefits.

4 Storage is inherent to the clean energy
5 transition. An investment in energy storage is
6 critical to enabling the sustainable growth of
7 renewable energy, and that's because it balances
8 intermittent and renewable generation so that
9 customers maintain access to the safe affordable
10 and reliable power that they count on.

11 Furthermore, this is a novel technology.
12 At Duke Energy, we're building off a decade of
13 experience operating distributed energy resources.
14 Nonetheless, as customers demand new grid
15 technologies, the utility processes for design,
16 study, interconnection, implementation, and
17 operation will need to become more and more
18 refined.

19 We know that energy storage is a part of
20 prudent utility planning and our low-carbon future,
21 and at Duke Energy, we will leverage the use cases
22 in the DEC multiyear rate plan portfolio to improve
23 our processes with high customer value added
24 projects. A programatic approach will also allow

1 the utility to leverage the supply chain creating
2 lower-end cost to customers as the fleet
3 diversifies and scales to support the energy
4 transition.

5 This slide will highlight the overnight
6 capital costs associated with the battery energy
7 storage investments discussed in the technical
8 conference.

9 Meeting clean energy transition goals
10 requires new technology and a new way of operating
11 the grid. Energy storage will be a critical
12 resource for balancing the bulk system, as well as
13 serving traditional transmission and distribution
14 needs. The battery energy storage portfolio
15 referenced in the technical conference today is a
16 portion of the fleet, helping to achieve the energy
17 transmission objectives, and that will be included
18 in the multiyear rate plan. This portion of the
19 battery energy storage fleet, supporting both the
20 distribution system and the production system in
21 DEC, represents a total of \$83.5 million in
22 overnight capital costs across the multiyear rate
23 plan period.

24 Currently, Duke Energy has plans to

1 utilize battery energy storage to make improvements
2 to the distribution grid within two primary
3 categories or programs, reliability and critical
4 community customers.

5 Before we dive into the energy storage
6 programs themselves, let's take a moment to
7 highlight how particular projects are identified.
8 The energy storage development team adheres to
9 Company project governance practices and uses a
10 value-based approach to funnel the most prudent
11 projects from origination through to operation.

12 In the project origination phase, grid
13 needs are screened with a data-driven approach to
14 identify whether a battery energy storage solution
15 is the best solution to the local grid need. Then,
16 a preliminary and subsequent detailed engineering
17 analysis optimizes the most cost-effective solution
18 sizing and siting for that grid need.

19 Energy storage is a new technology and
20 tool that offers solutions to grid needs that the
21 approval did not have. Duke Energy's excited to
22 use this technology to benefit customers and is
23 working with ISoP and system planners to understand
24 the proposed uses and benefits for each project.

1 Each project highlighted in the DEC technical
2 conference is ISoP-informed, including both a
3 technical and economic screening while projects
4 move through the development cycle.

5 Reliability batteries are identified as
6 potential solutions on remote distribution feeders
7 with load pockets at the tail end of the feeder,
8 and critical community customer batteries are
9 identified for critical facilities which support
10 community needs, such as hospitals, fire stations,
11 and more, where traditional reliability improvement
12 strategies are difficult.

13 Our cost-benefit methodology is
14 highlighted on this slide. At a high level, it's
15 important to note that, for the projects
16 highlighted today in the technical conference, Duke
17 Energy used an approach similar to the methodology
18 for the Hot Springs battery-approved CPCN. This
19 means we used avoided transmission and distribution
20 costs to quantify local customer benefit. The
21 Company presents these CBAs on a net present value
22 of revenue requirement basis. Specifically, so
23 that we can capture customer benefit of the newly
24 enacted standalone storage ITC.

1 To form the CBA, we began with three
2 major inputs. First, battery sizing in both
3 megawatt and megawatt hour is critical for forming
4 system cost of capital and O&M. Second, a
5 transmission and distribution alternative analysis
6 is performed to identify which theoretical
7 alternative could have been utilized to solve the
8 local grid need. And importantly, these
9 alternatives are called theoretical because, in
10 reality, the alternative would likely have been
11 infeasible to execute. And third, ISO-P grid proxy
12 values are input to determine the production value
13 of the energy storage system.

14 Within the CBA development process, we
15 use initial deployment costs which have been
16 formulated from recent real time market cost data
17 from vendors, which reflects the inflationary and
18 geopolitical pricing that has an impact on clean
19 energy technologies. We also utilized battery
20 refresh costs in year 15 to replace degrading
21 battery cells and overall long-term O&M costs to
22 form that net present value of revenue
23 requirements. These are then contrasted against
24 the aggregated net present value of benefits of

1 avoided costs for theoretical transmission and
2 distribution investments that would have been
3 solved -- or would have solved the local grid
4 need -- bulk system proxy values, and the impact of
5 realizing that future tax benefit from the
6 standalone storage investment tax credit.

7 Notably, the ITC does not offset actual
8 capital cost, so using a CBA based on that net
9 present value of revenue requirements is the best
10 way for us to reflect customer benefit from these
11 federal incentives.

12 Our final output is an Excel model,
13 which was included in the technical conference
14 filing, and we're happy to add that, within these
15 documents, a sensitivity analysis has been
16 conducted. This shows how variance in either
17 system costs or benefits could ultimately reflect
18 changes to that cost-benefit ratio.

19 So let's dive into our energy storage
20 programs now. The reliability-type projects within
21 the battery energy storage program improve
22 reliability and resiliency to avoid outages and
23 speed restoration, while at the same time enabling
24 cleaner energy options at the bulk electric system

1 level. The image on the screen shows a scenario
2 where geographic features and service territory
3 assignment boundaries have created an enclave of
4 customers where Duke Energy has limited feasible
5 options for improving reliability. In these areas,
6 traditional reliability improvement strategies,
7 such as an alternate or back-up feeder, may not
8 have been feasible. Instead, a microgrid based on
9 a single large battery sited adjacent to those
10 targeted customers may be the best solution. With
11 a new battery and related interconnection
12 equipment, if there is a loss of utility service,
13 the battery will form a microgrid area and serve
14 customers' electrical meters until repairs are made
15 to restore normal service. These designs are
16 optimized to economically mitigate a significant
17 number or more than 90 percent of the outages each
18 particular microgrid area has historically
19 experienced over a period of years.

20 Battery designs have been optimized to
21 create the most improvement and reliability for the
22 least cost to customers. And when not in use for
23 reliability and resiliency, recall these systems
24 will dispatch to provide services, such as

1 capacity, energy arbitrage, or system balancing
2 supporting the grid as it transitions from legacy
3 generation types to more renewable resources.

4 We'll move on to the slide documenting
5 the costs and benefits of this particular program.
6 Before I begin, it's really important to note the
7 tools for quantifying the costs and benefits of
8 this nascent technology are new and evolving.
9 While some benefits of this clean energy technology
10 can be easily captured, benefits such as
11 sustainability and resiliency are subjective and
12 notoriously difficult to put a dollar figure on.
13 Quantifiable and nonquantifiable benefits are,
14 therefore, highlighted on this slide.

15 Using battery energy storage technology
16 for reliability and resiliency in a microgrid
17 configuration, helps ensure continuity of business
18 activity for many hours in the year when they would
19 otherwise stop due to service outages. This means
20 that the North Carolina economy is more resilient
21 alongside the electrical grid. And for residential
22 customers, this technology makes sure that
23 electricity is more rapidly restored so that air
24 conditioning, refrigerators, or computers can all

1 still run. This translates to save customer costs
2 on things like spoiled food or loss from in-home
3 office productivity.

4 Because these microgrids serve entire
5 communities during outages, they also support basic
6 services, such as cell towers or stoplights, which
7 are safety features.

8 This microgrid technology application
9 also gives distribution planners a tool to solve a
10 grid issue which previously did not always have a
11 viable solution. This is a prime example of how
12 technology advancement can benefit utility
13 customers. Energy storage in this context is
14 referred to as a non-wires alternative. These
15 batteries are the most cost-effective and
16 implementable solutions.

17 To provide the quantifiable benefits, we
18 compared the costs of those alternative traditional
19 solutions to increase reliability that were
20 assessed to have the highest likelihood of being
21 implementable, but still may ultimately have been
22 unexecutable due to challenges related to
23 permitting, real estate encumbrances, and service
24 territory assignments.

1 Because these batteries also provide
2 bulk system benefits, we include the value for
3 these production services. So that represents a
4 total of \$62.9 million in total net present value
5 of revenue requirement benefit to customers,
6 contrasted with the total net present value of
7 costs requirement of cost at \$66.8 million, which
8 represents a 0.94 benefit-to-cost ratio.

9 Importantly, we did not factor in ICE
10 values to the cost-benefit ratio, but we have
11 performed those calculations, and they resulted in
12 roughly \$30 million of customer benefit, not
13 including major-event days, and roughly \$50 million
14 of benefit to customers, including major-event
15 days. We did not feel like it was appropriate
16 to stack the traditional T&D deferral values with
17 the ICE values, knowing that would be double
18 counting.

19 Moving along to our next program,
20 critical community customer batteries can be used
21 to support reliability and resiliency for critical
22 services such as hospitals, police stations, or
23 evacuation shelters.

24 Some critical community functions, such

1 as hospitals and emergency response centers, also
2 reside where geographic features and service
3 territory assignment boundaries have created
4 enclaves where alternate service feeders or other
5 traditional reliability solutions are extremely
6 difficult to site. As depicted in this image on
7 this slide, a hospital is out in the tail end of an
8 isolated distribution feeder, and a battery or
9 microgrid sited adjacent to the customer center was
10 the best solution to increase reliability and
11 resiliency.

12 With a battery and its new related
13 interconnection equipment, if there is a loss of
14 utility service, the battery will form a microgrid
15 area and serve the customers' electrical meters
16 until repairs are made to restore normal service.
17 These systems also simultaneously enable cleaner
18 energy options at the bulk electric system level to
19 the benefit of all grid customers.

20 When not in use for reliability, these
21 systems will dispatch to provide services such as
22 capacity, energy arbitrage, or system balancing
23 support as the grid transitions from those legacy
24 generation types to more renewable resources.

Page 152

1 And we'll transition to cost-benefit
2 slide for this program as well. Similar to the
3 reliability program batteries, tools for
4 quantifying the costs and benefits of the critical
5 community customer program and batteries, in
6 general, are new and evolving, so there is
7 benefits, again, such as sustainability and
8 resiliency, are subjective and notoriously
9 difficult to put a dollar figure on.

10 But first and foremost, this category of
11 batteries enhancing public safety. Keeping the
12 lights on at these facilities means that our
13 communities are safe and healthy in the event of an
14 emergency, which is a benefit to everyone. In
15 fact, providing reliability and resiliency in times
16 of service outages could be the most critical time
17 that customers would need this community service.
18 Think of a scenario where we faced a bad hurricane
19 and your community needed bad medical attention.
20 We would want that hospital more than ever.

21 Secondly, this is a new customer
22 offering that customers are increasingly needed for
23 circumstances where both cost and benefit can be
24 shared between all DEC customers and that critical

1 community service provider. With this project
2 category, the customer could make use of valuable
3 land and interconnection infrastructure. Those are
4 features that could make this project a
5 possibility. And they could also plan other ways
6 to share costs with the utility.

7 Engineer storage here is also referred
8 to as a non-wires alternative. These batteries are
9 the most cost-effective and implementable
10 solutions. To provide the quantifiable benefits,
11 we compared the costs of alternative traditional
12 solutions to increase reliability that may or may
13 not have been feasible to implement, and because
14 these batteries also provide those bulk system
15 services, we layered in the value of those
16 production services. That represents a total net
17 present value of revenue requirement of benefits of
18 \$7 million. The costs include both overnight
19 capital investment, that replacement and refresh
20 cost, as well as O&M cost, and that represents a
21 total net present value of revenue requirement cost
22 of \$7.2 million, representing a cost-benefit ratio
23 of 0.98.

24 So with that, I've covered quite a bit

Page 154

1 of material today, including your energy storage
2 grid use cases, our project identification
3 approaches, CBA methodologies, and highlighted the
4 program summaries I'd like to either turn it over
5 to Brent or leave some time to answer questions.
6 We've just got one slide left to summarize.

7 COMMISSIONER DUFFLEY: Okay. Well,
8 thank you. Let's see -- excellent presentation.
9 Let's see if there are questions for you.

10 Chair Mitchell?

11 CHAIR MITCHELL: So I'm interested in
12 the critical customer program you just described.

13 Can you just -- can you explain a little
14 bit more what the -- what you-all are proposing
15 here? Specifically interested in any cost sharing
16 that you-all might have thought through. So can
17 you just talk some more about that.

18 MS. MEEKS: Yes. Again, these are
19 opportunities for when customers are requiring new
20 energy solutions and had the opportunity to share
21 in cost and benefit with the utility. So this is a
22 new and nascent program. The particular, you know,
23 figures around sharing costs are still in
24 negotiation and evolving, but in this particular

Page 155

1 scenario, we've asked that the customer share and
2 provide valuable land and interconnection features,
3 and we're exploring other ways to share costs with
4 this critical community service provider.

5 CHAIR MITCHELL: Okay. So this would be
6 an instance where the customer comes to the Company
7 and says, "We need some additional -- we need
8 additional support from the Company in the form of
9 energy storage or additional generation," and this
10 would be one solution to that type of customer
11 request; is that what I'm understanding?

12 MS. MEEKS: Yes. It's a new tool in the
13 toolkit, and it's specifically provided for those
14 critical community customers which provide that
15 regional safety benefit for DEC customers.

16 CHAIR MITCHELL: Okay. Are you-all --
17 does the Company define critical customers, or are
18 these self-selected customers that come to the
19 Company and say, "We have a need for you-all to
20 meet"?

21 MS. MEEKS: I believe that we do have
22 tiers of customers that demand higher-than-average
23 reliability and resiliency, and I'm not an expert
24 on how we tier those customers.

Page 156

1 CHAIR MITCHELL: Okay. All right. I'll
2 stop there. Thank you.

3 COMMISSIONER DUFFLEY: Commissioner
4 Hughes?

5 COMMISSIONER HUGHES: I think you
6 mentioned a little bit the impact of the ITC on
7 these, but if I understood from the introduction,
8 these analyses don't take into consideration
9 anything that might have happened with the IRA, the
10 Inflation Reduction Act credits, or do they?

11 MS. MEEKS: Yes, they do. So just to
12 clarify, the standalone storage investment tax
13 credit was a part of that recently enacted IRA
14 bill. So while the standalone storage ITC tax
15 rules are still being figured out, and that
16 standalone storage ITC market is evolving, we're
17 gonna continue to look at how we could maximize
18 benefits of those investment tax credits on behalf
19 of customers. That's evolving, and we've made some
20 assumptions within these CBAs of how that may look
21 out in the future.

22 COMMISSIONER HUGHES: So there are some
23 assumptions here?

24 MS. MEEKS: Yes.

Page 157

1 COMMISSIONER HUGHES: Because it seemed
2 like a lot of your analysis was compared to the
3 traditional, I guess, wires approach, and so you
4 did that comparison with those assumptions
5 imbedded?

6 MS. MEEKS: Yes, that's correct. So on
7 the benefit side, we layered the benefit of a
8 future-realized investment tax credit -- which, by
9 the way, is a very conservative assumption if you
10 were to dig into the CBAs -- the value of avoiding
11 that traditional T&D investment, and then also the
12 value of providing the production benefits and
13 services.

14 COMMISSIONER HUGHES: Okay. Thank you.

15 MS. MEEKS: Thank you.

16 COMMISSIONER DUFFLEY: Commissioner
17 McKissick?

18 COMMISSIONER MCKISSICK: Just one or two
19 questions. And thank you. You did provide an
20 excellent presentation, so I appreciate that.

21 In terms of the \$83 million right now,
22 it sounds as if there is not a defined set of
23 programs that this would be used on. I mean, it's
24 not as if there's -- they have already been

Page 158

1 identified, where you used engineer storage or
2 either a microgrid with energy storage or energy
3 storage standalone; is that a correct assumption?

4 MS. MEEKS: No. I would say that our
5 projects are discrete and identifiable, and these
6 programs represent each of the projects that will
7 come forth within a multiyear rate plan filing, and
8 they are either reliability-based in nature or the
9 critical community customer.

10 COMMISSIONER McKISSICK: And how many
11 projects would you anticipate that we may see?

12 MS. MEEKS: There are three projects
13 that fall within these programs.

14 COMMISSIONER McKISSICK: Three that fall
15 within each of those categories you are saying?

16 MS. MEEKS: Three that fall within both
17 categories.

18 COMMISSIONER McKISSICK: Okay. Got it.
19 And the one that Chair Mitchell was talking about,
20 the cost-sharing program, is Duke Energy, in any of
21 its other states that it's operating in, are they
22 using that type of approach now, if you know?

23 MS. MEEKS: Yes. We have explored that
24 for other critical community facilities, and one

1 example of that is our Camp Lejeune battery, which
2 has recently been filed within the Duke Energy
3 Progress rate case, where we are providing a
4 battery energy storage system, and Camp Lejeune has
5 provided access to valuable land, and we're serving
6 all Duke Energy Progress customers through the bulk
7 system services with that battery, and it will be
8 also utilized in times of need to support
9 resiliency for that military base, which supports
10 roughly 1,800 homes, I believe a hospital, a gas
11 station, and daycares.

12 COMMISSIONER McKISSICK: Thank you. So
13 I guess the last question would basically be, in
14 terms of getting these funds to be, I guess,
15 utilized most effectively, I mean, when it comes to
16 those community-service-type projects, how do you
17 identify which ones are the most meritorious?

18 I mean, you know, I can see where a
19 hospital might fall, but certainly some of the
20 other things that fall underneath that category may
21 not be as meritorious, in terms of allowing for
22 that type of participation to occur. So how is
23 that done? I mean, you know, I notice you had
24 doctors' offices under that category, but not all

Page 160

1 doctors' offices are in need of emergency services
2 or, you know, back-up batteries, or be a part of a
3 microgrid.

4 MS. MEEKS: That's a good question. And
5 what I'll say to that is that our system planners,
6 engineers, and developers are the experts, and they
7 make certain that we have selected energy storage
8 as the appropriate solution for the local grid need
9 at hand. So we are accustomed to providing a
10 higher level of reliability and resiliency for
11 critical customers that are tiered in some fashion
12 that I'm not intimately familiar with, and where a
13 traditional transmission and distribution solution
14 is not a possibility, we would explore battery
15 energy storage or microgrid.

16 COMMISSIONER McKISSICK: And lastly,
17 other than the projects that might be forthcoming,
18 if there was a development somewhere that was
19 interested in doing a microgrid battery with
20 storage, is that something you would entertain as
21 falling underneath this envelope of funds, or
22 appropriation of funds that have been identified,
23 or would that be separate and independent?

24 MS. MEEKS: Just to make sure I'm

Page 161

1 answering correctly, in terms of the development,
2 to fall within this critical community customer --

3 COMMISSIONER McKISSICK: Well, outside
4 the critical customers category.

5 MS. MEEKS: Okay. Then no, it would not
6 fall within this program type.

7 COMMISSIONER McKISSICK: And with the
8 critical customer outside of North Carolina, have
9 you seen any experience with or observed any
10 experience?

11 MS. MEEKS: Yes. I will say that we
12 have utilized cost-sharing and benefit-sharing
13 mechanisms with regulated energy storage projects
14 in our Duke Energy Indiana territory as well.

15 COMMISSIONER McKISSICK: Indiana.

16 MS. MEEKS: Yes.

17 COMMISSIONER McKISSICK: Thank you.

18 COMMISSIONER DUFFLEY: So going back to
19 the reliability prong, you mentioned you were
20 discussing non-wires alternatives, and where wires
21 might be infeasible, and you listed some examples,
22 one of which was service territory assignments.
23 Can you expand on that for me, please?

24 MS. MEEKS: Yes.

Page 162

1 COMMISSIONER DUFFLEY: Or give an
2 example.

3 MS. MEEKS: And I'll say that I'm not a
4 distribution planning expert, but what I can say is
5 that our service territory assignments have created
6 locations where there is enclaves, where we serve a
7 load pocket at the tail end of the feeder, we're
8 surrounded by non-Duke Energy territory, and we
9 can't expect that non-Duke Energy customers would
10 provide us the encumbrances in order to cross
11 through that territory and provide a traditional
12 transmission or distribution solution that would
13 solve that same reliability need.

14 COMMISSIONER DUFFLEY: Okay. Thank you.
15 Any other questions?

16 (No response.)

17 COMMISSIONER DUFFLEY: Thank you,
18 Ms. Meeks.

19 MS. MEEKS: Thank you. Let me turn it
20 back over.

21 MR. GUYTON: So I'll close us up here.
22 We shared a lot of information today in the
23 technical conference, as well as our prefiled
24 materials highlighting energy storage,

Page 163

1 transmission and distribution projects. The
2 projects both maintain and work together
3 complimenting each other, building the foundation
4 for an increasingly dynamic grid that supports
5 two-way power flow, increased automation, as well
6 as situational awareness, enabling the clean energy
7 transition.

8 The projects we highlighted today will
9 increase grid resiliency, safely expand renewables
10 and distributed energy resources, and provide
11 equitable access to benefits for customers. We do
12 appreciate your time today.

13 COMMISSIONER DUFFLEY: Well, thank you
14 for coming today. We appreciate all of your
15 presentations. One last call for questions?

16 (No response.)

17 COMMISSIONER DUFFLEY: Seeing none,
18 thank you again. You-all may step down.

19 PANELISTS: Thank you.

20 COMMISSIONER DUFFLEY: Okay. And there
21 are no other presentations. However, CIGFUR III
22 filed a notice of intent to participate today.
23 However, in lieu of a presentation, CIGFUR III
24 requests that the Commission accept the documents

Page 164

1 attached to its October 17, 2022, filing labeled as
2 CIGFUR III's Technical Conference Exhibit A and
3 Exhibit B.

4 The Commission shall accept the
5 documents attached to CIGFUR III's
6 October 17, 2022, filing labeled as CIGFUR III's
7 Technical Conference Exhibit A and Exhibit B as
8 CIGFUR III's presentation today.

9 So are there any other matters before we
10 adjourn?

11 MR. JEFFRIES: None that I'm aware of,
12 Madam Chair.

13 COMMISSIONER DUFFLEY: Okay. So we've
14 come to the end of the day. Thank you, and we are
15 adjourned.

16
17 (Technical Conference concluded at
18 4:09 p.m. on November 2, 2022.)
19
20
21
22
23
24


CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA)

COUNTY OF WAKE)

I, Joann Bunze, RPR, the officer before whom the foregoing technical conference was conducted, do hereby certify that the foregoing proceedings were taken by me to the best of my ability and thereafter reduced to typewritten format under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 18th day of November, 2022.



JOANN BUNZE, RPR

Notary Public #200707300112

