

1 PLACE: Dobbs Building, Raleigh, North Carolina

2 DATE: Monday, January 13, 2020

3 DOCKET NO.: E-100, Sub 164

4 TIME IN SESSION: 1:03 p.m. to 3:12 p.m.

5

6 BEFORE: Chair Charlotte A. Mitchell, Presiding

7 Commissioner ToNola D. Brown-Bland

8 Commissioner Lyons Gray

9 Commissioner Daniel G. Clodfelter

10 Commissioner Kimberly W. Duffley

11 Commissioner Jeffrey A. Hughes

12 Commissioner Floyd B. McKissick, Jr.

13

14 IN THE MATTER OF:

15 Investigation of Energy Storage in North Carolina

16 Presentation by:

17 Dr. Imre Gyuk, Director of Energy Storage Research,

18 Office of Electricity, U.S. Department of Energy

19 and

20 Patrick Balducci, Chief Economist,

21 Pacific Northwest National Laboratory

22

23 Volume 3

24

1 P R O C E E D I N G S

2 CHAIR MITCHELL: All right. Let's go ahead and
3 get started, please. Good afternoon and welcome. I'm
4 Charlotte Mitchell, the Chair of the North Carolina
5 Utilities Commission, and with me this afternoon are my
6 colleagues Commissioners ToNola D. Brown-Bland, Lyons
7 Gray, Daniel G. Clodfelter, Kimberly Duffley, Jeffrey
8 Hughes, and Floyd McKissick.

9 This is the third in a series of presentations
10 pursuant to the Commission's September 4th Order
11 Initiating Investigation in Docket Number E-100, Sub 164,
12 in which the Commission has initiated a series of
13 educational presentations by experts on energy storage
14 related topics.

15 We're happy to have with us today Dr. Imre Gyuk
16 and Patrick Balducci. Dr. Gyuk is the Director of Energy
17 Storage Research, Office of Electricity, with the
18 Department of Energy, the United States Department of
19 Energy. Mr. Balducci is a Chief Economist for PNNL.

20 Our speakers will be working from slide decks
21 that will be displayed on the monitors here in our
22 hearing room, and the slides have also been posted on the
23 Commission's website in Docket Number E-100, Sub 164.

24 Our court reporter, as she has done in the

1 past, is creating a transcript that will be filed in the
2 docket and available on the Commission's website. These
3 sessions are structured for the benefit of the
4 Commission's learning and understanding, and the speakers
5 will be asked to share their expertise and answer the
6 Commissioner's questions as they arise. People in the
7 audience won't have the opportunity to ask questions;
8 however, if you want to file information in this docket
9 in response to what you hear today or if you would like
10 to suggest additional speakers who could appear before
11 the Commission, please do so.

12 Okay. If it's okay with our presenters, we'd
13 like to ask questions as we proceed, and I will ask Dr.
14 Gyuk to proceed to the chair. I will turn it over to
15 you. Thank you for being here today.

16 DR. GYUK: Distinguished Commissioners, it's a
17 pleasure to be here in North Carolina, a state that
18 frequently I only come to in the summer in the Outer
19 Banks, but I am well aware that there are many other
20 things North Carolina has to offer, and some of them
21 right here. The Research Triangle, distinguished science
22 going on. I used to work with NIH at one time and have
23 pleasant memories of being here in Raleigh.

24 So today I'm going to talk about grid scale

1 energy storage, particularly for resilience, stability,
2 and, well, a greener grid.

3 I direct the Energy Storage Research Program at
4 the Department of Energy, the Office of Electricity, and
5 I've done so, well, for the last 20 years. In fact, we
6 started this energy storage thing when basically nobody
7 else was thinking about it. You'd mention it to
8 utilities and their eyes would glaze over and say, well,
9 storage, why would we want to do that, except, of course,
10 for utilities that pumped hydro because those know the
11 importance of storing energy. So energy storage -- the
12 Energy Storage Program, and I'm going to talk from the
13 program, although I'm going to look nationwide as well.

14 In our office we do a broad range of research
15 and development, deployment, and analysis. And the
16 reason for that is because, well, when we started, there
17 was nothing else there, so we had to do the entire
18 spectrum and it's all integrated together.

19 We start with materials, we go to devices, on
20 to systems, analysis, standards, policy, finance, safety,
21 and various other things. We team with Sandia, Pacific
22 Northwest Laboratory, Oakridge, and also with Argon and
23 Los Alamos National Laboratory, and we work with
24 industry, states, and utilities.

1 We're pretty good at what we are doing. Among
2 other things, we have 10 R&D 100 Awards, which are sort
3 of the Oscars of the technology world, and recently we
4 have gotten two EPA Green Chemistry Awards.

5 Next one, please. The way the program and, if
6 you wish, the entire field of storage is organized, it
7 starts with materials, and we specifically are interested
8 in sodium-based materials, aqueous soluble organics, and
9 zinc technologies. Now, you don't see lithium there
10 because lithium is pretty much an established sort of
11 technology, so there's not much point in doing research
12 except when it comes to recycling and various -- and
13 safety. Okay. Then we also do power electronics,
14 safety. Reliability is very important because not all
15 devices are as reliable as you might wish them to be.
16 And then we are very much interested in providing state
17 regulatory support, dealing both with state regulatory
18 agencies and public utility commissions. Use case
19 evaluation, this is the thing -- this is a new
20 technology, a new science, if you wish, and we really
21 have to still find out what it's good for. Okay. And
22 increasingly we know what it's good for, but it started
23 simply with a conviction that something like this ought
24 to be done and ought to work. And so we're developing

1 more and more use cases, and we're evaluating them and
2 making sure that they really provide value. Performance
3 protocol, and then above all, safety.

4 So when you design a business case, there are
5 two things you have to keep in mind, the cost and the
6 value. And it's very important to realize that these are
7 not the same thing. Okay. Cost and value, eventually,
8 hopefully they will meet in the middle so that, you know,
9 you have value for cost. But at the beginning there is a
10 lot of incentives, you know, money put into the thing
11 simply to find out what -- whether we can make it work.
12 But I, in my program, am always looking for getting a
13 business case that pays out, monetary -- it's got to
14 balance monetarily.

15 So the cost. The cost has three main
16 components. The first one, of course, is the energy
17 storage device itself, the battery, if you wish, but
18 there are other devices as well that could do it. But
19 interestingly enough, that's only about 40, 50 percent,
20 sometimes as little as 25 percent. Okay. So the battery
21 is essential, but it's not the be all and end all,
22 because then you have to take -- think of the power
23 electronics. The power electronics and the control
24 system is what makes this thing perform properly.

1 And then there is the balance of plant, the
2 facility, which is at least 20 to 25 percent. And you
3 have to think of this, you've got your batteries. You
4 have to put the batteries into a pack. Then you have to
5 put the packs into a rack. Okay. The racks will go into
6 a building. Now you have to have air conditioning,
7 particularly with something like lithium which will warm
8 up too much. You have to have fire suppression
9 equipment. You then have to put your building on a pad,
10 on a place for which you have to pay rent, essentially.
11 And then come the building inspectors, the lawyers, the
12 cost of money, the insurance, the reinsurance. So all of
13 that together -- the commissioning -- all of that
14 together is a lot of money, and the cost of that is not
15 going down as fast as the cost of the batteries.

16 Okay. Let's look at the value. The value will
17 generally depend on multiple benefits. Okay. You can't
18 do storage on one benefit alone, in general. You've got
19 to take a number of benefits into account. And some of
20 those are monetized or easily monetized and some of them
21 are unmonetized. Monetized ones, for example, are
22 arbitrage, you know, buy low, sell high, essentially;
23 frequency regulation, which is one that we worked -- that
24 my group worked out in the very beginning; demand

1 charges, which can come by the month or by the year.
2 Now, in a vertically integrated utility you don't have
3 these market values, but you have the equivalent. I
4 mean, the values are still there; you just don't have
5 them written down as a standard thing. And then come the
6 unmonetized ones like resiliency. Very difficult to work
7 with and -- but very important. So how do you build
8 business cases on resiliency, sustainability, and grid
9 stability? These are the main things that you're looking
10 for.

11 Values such as resiliency, military energy
12 assurance, emergency preparedness, these are all very
13 difficult to monetize, but often these are the primary
14 reason why you want to put a project into place because
15 you want to have reserves, okay, or because you want to
16 be safe when the -- to make sure the lights don't go out.
17 It's very difficult to monetize.

18 We know that microgrids, together with
19 renewables and storage, provide good solutions for
20 resiliency and military energy assurance, et cetera, but
21 they don't provide the monetary justification. If we do
22 a business case like this, it has to be -- has to rest on
23 the monetizable part of the situation. There's usually
24 one part that you can monetize, and that's the one that

1 you have to rest on, and then the others are sort of side
2 benefits.

3 One way, of course, to deal with unmonetized
4 one is to monetize them by mandating them. Okay. If you
5 say you shall do this, then that automatically provides a
6 value.

7 So I'm going to give a few examples, all of
8 them different, of how these values can be established; a
9 very nice example, Sterling, Massachusetts. Now, that's
10 within ISO New England, so nice market values, et cetera.
11 What happened there is the Massachusetts Department of
12 Energy Resources gave out grants to 11 cities of about a
13 million, million and a half dollars for resilience. And
14 then all of these cities said, well, yeah, what do we do
15 now, okay, because the expertise to deal with this is
16 simply not there in small towns in general.

17 So what we did at the Department of Energy, we
18 sort of adopted one of these towns that seemed to be
19 particularly promising, and we saw them through the whole
20 process. Okay. And the first thing we did is we said,
21 okay, you would like to put storage into your police
22 department. That's very good. It's a dispatch police
23 department. It can serve the community. You'll know
24 what's what and, you know, they can -- they can do this.

1 But wouldn't you like to make money on this? And, well,
2 the answer, of course, is always yes.

3 And so what we did is we brought the situation
4 to Sandia National Laboratory. We took all the data. We
5 put it on the big computers and built a model, and we
6 showed them that by utilizing the monthly and yearly
7 demand charges, as well as arbitrage and optionally
8 frequency regulation, they could make the system not only
9 pay for itself, but do it in six and a half years which
10 is pretty neat. So the thing goes from being a
11 government sinecure to being something that actually pays
12 for itself.

13 So I'm showing here what the prediction was,
14 and it turns out that the yearly peaks are the biggest
15 thing. The way it works is that during peaking
16 situations, the storage kicks in and brings the peak
17 down. In the first year the actual recorded savings were
18 11 million for arbitrage, 143 million for -- sorry --
19 \$11,000 for arbitrage, \$143,000 for monthly peaks,
20 240,000 for the annual peak, for a total of about
21 \$400,000, which is exactly what we had predicted.

22 And since then, if you look at the -- at the
23 graph, this is ongoing. I mean, you profit every time.
24 By April 2019, two and a half years into the project, we

1 had produced \$1 million in avoided cost. Since then the
2 place has become rather famous, and delegations from
3 Germany, Switzerland, Denmark, Sweden, England, Ireland,
4 Australia, blah, blah, blah, blah, and Thailand have
5 visited there to see how you can do storage and do it the
6 right way and make it pay for itself. Next.

7 Another project that we did, completely
8 different situation, is a small town, Cordova, in Alaska.
9 This is isolated -- in order to do -- they are based on
10 hydro, which is a good thing, because they have plenty of
11 hydro. However, the hydro -- run of river hydro is very
12 difficult to control and they have -- when they have too
13 much hydro, they can just spill the water, that's okay,
14 but when they have too little, then they have to kick in
15 diesel, and diesel is very expensive. So at the moment,
16 the generating capacity is 6 MW plus 1.25 MW of hydro and
17 twice a megawatt of diesel. And half a megawatt is
18 always deflected as spinning reserve.

19 This is expensive because the hydro is very
20 inexpensive at 6 cents a kW and the diesel is 60 cents a
21 kW. So you want to change from diesel to hydro, and we
22 did that by installing a megawatt of storage. It works
23 well. It does exactly what it is supposed to do. And we
24 are now exploring to see whether we can find other uses

1 to make it even more so. We have the ribbon cutting
2 here, the unit here, and the commissioning was just
3 recently, June 7th, 2019.

4 One other nice thing is you can put up a
5 megawatt of storage very quickly. If you know what
6 you're doing, you can -- after the study has been done,
7 you can put up a megawatt of storage in three months.
8 That's what we did in Sterling, unlike a power plant
9 which takes considerably more, if you take into account
10 the siting and, well, the building as well and so on.

11 Then there's an example in Nantucket, and the
12 situation they had there is they had two cables that
13 serve Nantucket Island. Well, what with a lot of
14 tourists, the two cables are beginning to be not enough
15 for peak situations when the tourists are using up --
16 using up all the electricity. So it was contemplated to
17 do a third underwater cable. Very expensive. Okay.
18 Instead, a storage solution was proposed, and Pacific
19 Northwest Laboratory, Patrick Balducci and his group, did
20 the analysis, and it turned out that the storage is much
21 more cost effective than putting in a cable. And that is
22 just going with basic cost. Okay. I have the data
23 there. Patrick may talk more about this.

24 But worked very well, and this is a big one,

1 the deferral value amounts to about \$110 million, plus
2 \$36 million in operational benefits, with 6 MW of eight-
3 hour storage installed.

4 Again, the ribbon cutting, you may see me over
5 there instructing them on how to cut the ribbon which
6 turned out to be very difficult because it was a plastic
7 ribbon, and using those big scissors was very difficult
8 to cut, but we managed. Okay.

9 PNNL worked out the financial benefits,
10 technical impact, and the control strategies. Now, they
11 did not yet do a lot of other benefits which are hiding
12 in there and which we will look to in the future. This
13 was a system, by the way, with Tesla. And it has a very
14 good return on investment of about 1.55 -- well,
15 investment. Ribbon cutting in October.

16 Okay. We have a lot of other projects, and the
17 point is to have a different business case for each of
18 these projects. We work with the Albuquerque Public
19 School System. If one of those works well -- it's one of
20 the biggest school systems in the country. If we manage
21 to do well on one, we get all 140 campuses. And they are
22 -- they are very interesting. They have a control room
23 where they keep track of all of their water, gas, and
24 electricity. And if they have a little bit more than

1 customary water out of one of the schools, they call the
2 school up and say, hey, one of your toilets is flushing
3 too much. Anyway.

4 We have a project with Picuris Pueblo. This is
5 interesting. We work with a number of Indian tribes, and
6 the goal there is energy independence because they have
7 realized that they have to rely on their own -- on their
8 own framework if they want to be -- have a certain
9 measure of independence, they have to be energy
10 independent as well as independent otherwise.

11 By the way, I forgot to mention, obviously, the
12 Nantucket example might have very nice applications in
13 places like Ocracoke and the Outer Banks.

14 We have three projects involved in rural co-ops
15 and military reservations, again, military assurance,
16 very important. Another Alaska project. And we are
17 taking on a really big one, three -- five towns in Puerto
18 Rico that have formed the consortium for a Central
19 Mountain microgrid powered by 250 MW of solar and hydro,
20 with 75 MW of storage backup. If that works, then that
21 entire mountain district is going to be electrically
22 independent and, well, as you may know, we had not only
23 the hurricanes, but recently there have been earthquakes
24 and whatnot. And the electricity system is always one of

1 the first ones to go. So if you want to be secure, you
2 need to do something along that line.

3 But what I'm really after is not just little
4 projects, but to do this nationwide, and what is emerging
5 is a number of storage ecologies, states that are paying
6 attention that are adopting storage, developing the art
7 of applying storage further from where it is. And
8 generally what you'll need to do this, you need some
9 congressional and state support, you need a regulatory
10 structure that is friendly to storage. It helps to have
11 a national laboratory, universities, perhaps, that will
12 champion this, utilities that are in the forefront of
13 innovation, and real projects, as an example, in the
14 state.

15 So among the areas that are developing as such
16 storage ecologies, California, with its mandate, with
17 California Energy Commission, and industry. I'm not
18 personally necessarily in favor -- in favor of a mandate,
19 but for California it worked because it really
20 kickstarted this whole business. New York, who have BEST
21 and NYSERDA, and places like City College New York to
22 develop new technologies. The Northwest, Washington,
23 Oregon, Alaska. They have Pacific Northwest Laboratory
24 to help them with both technology and policy. Forward-

1 looking organizations like the Washington Clean Energy
2 Fund, the public utility commissions that have had --
3 where we have had input just like we have here now, and
4 the members in the Senate who are looking at storage very
5 seriously. New Mexico is coming up. New Mexico was
6 thinking of establishing goals, but they decided that
7 they didn't have enough storage yet, and it would be
8 silly to establish goals when you haven't got any good
9 examples yet, but we do have congressional support and we
10 are beginning to have projects there. And you've just
11 heard about Massachusetts, which works, too.

12 Now, some of the states have very big plans.
13 California wants to do a hundred -- a million, three
14 hundred MW by 2020 and another 800 MW on top. 2020 is
15 already upon us. Okay.

16 Massachusetts, little bit disappointing because
17 they are -- the study they did asked for 1,000 MW. Well,
18 they finally voted for 200 MW by 2020, but maybe it's
19 better to be conservative. Who knows? But they have
20 recently upped this to 1,000 Mwh which isn't all that
21 much because 200 MW for four hours would be about 800 MW,
22 so it's a relatively small increase.

23 New Jersey, a very big goal, 600 MW by 2021 and
24 2 GW by 2030, eventually. New York, 3 GW by 2030, also.

1 Arizona is an interesting case. They have
2 suggested 3 GW by 2030 proposed. Arizona Public Service
3 came up with plans for 850 MW and then they had a fire,
4 and so everything is up in the air now. We have a group
5 at Sandia National Laboratory that is helping them look
6 into that. It's very difficult because they are at least
7 -- well, it's full of lawyers nowadays, and it's very
8 difficult to get real information out of it because, you
9 know, each party in the picture is trying to make sure
10 that they didn't do anything wrong, but, you know, lives
11 have been lost there or at least jeopardized. It's a
12 very bad situation. But I trust that eventually they
13 will work it out and Arizona will have goals as well.

14 Little Maine has 300 MW planned by 2025.
15 Nevada does not have any official plans, but they are
16 setting up 380 MW of four-hour storage at a solar farm on
17 federal land. Okay. Solar farm on federal land is sort
18 of everybody wins a bit because, well --

19 So DOE is happy to provide technical
20 assistance, and those states that are interested we have
21 been visiting. We've held a Southeast Symposium with
22 states from Alabama up into Virginia. We've done half-
23 day workshop with New Mexico. That usually involves
24 Sandia National Laboratory and PNNL. Michigan, we've

1 done a one-day workshop. Arizona Public Service, we've
2 worked with the IRP workgroup to establish best
3 practices. CEC we work with regularly. We have worked
4 with the Energy Storage Commission in Maine.

5 Next week we are at the Nevada PUC on a one-day
6 workshop on policy and valuation, modeling,
7 interconnection, commissioning, safety, et cetera. And
8 we are planning a New England conference of PUCs for the
9 New England states.

10 Overall, we can say that energy storage has
11 become a resounding success, with big plans all over the
12 place. I'm not going to quarrel about the exact figures.
13 They change all the time, and they change depending on
14 whom you ask, but -- well, everybody has this exponential
15 sort of curve. Next.

16 But there are also issues. As you will know,
17 the lithium ion is the incumbent technology. Most of the
18 applications are lithium ion, and lithium ion has
19 problems. There are ecological and sociological issues.
20 The cobalt in most of your lithium storage is scraped by
21 little boys in the Congo. Not a very desirable thing for
22 a world technology. You know, that's got to stop. And,
23 of course, if that stops, prices will go up, you know.

24 The other ecological problem is that it uses a

1 huge amount of water and depletes the groundwater in
2 areas where it's being used to the point where -- well,
3 of course, mostly it's a desert, but it's water that
4 local people rely on, and the groundwater is just going
5 down now.

6 Serious issue, safety and reliability. The
7 thing -- well, chemical storage is almost by definition
8 unstable. Okay. It's just a matter of degrees. Some
9 are more unstable. Some are less unstable. Lithium is
10 quite unstable. Okay. You've got to be very careful
11 that you don't have a thermal runaway and fires can be
12 spectacular.

13 Serious problem is the lack of recycling. You
14 really can't recycle lithium very well. Once you have
15 used it, most of it goes on the trash heap.

16 So there are pros and cons for lithium ion.
17 The pro is it's low cost and it's market ready, and it's
18 the dominant technology and it's familiar. We know how
19 to work with this. We know how much it should cost.
20 There are companies that are well known that will be here
21 five years from now and, if necessary, can pay -- can be
22 responsible.

23 Contrary, the cons, cycle life is considerably
24 less than 20 years; more like 10 years or even eight

1 years in bad climates. It shows capacity fades. In
2 other words, the capacity of the battery goes down, down,
3 down before it abruptly fails.

4 Safety issues, well, I mentioned them. There
5 have been 15 MW -- 15 MW scale fires in Korea during 2017
6 which is where a lot of the material is produced.
7 Arizona had a big one in 2018. There have been 225
8 aviation incidents with lithium ion. So I don't want to
9 scare you, but it's there and it's to be considered, so
10 in any mandates you consider or any goals you consider,
11 you have to build in safety features as well.

12 And there is no real U.S. manufacturing. Yeah,
13 Tesla has a plant, but it's really a Panasonic plant.
14 You know, it's not really U.S. manufacturing.

15 And as I mentioned, no recycling. Recently,
16 Argon has taken on a serious study of recycling and, you
17 know, we have worked a little bit with reuse.
18 Particularly, electric vehicle batteries, when they are
19 down to about 80 percent and have to be retired from
20 automobiles, they could be used for, for example, low
21 income housing, for supporting solar, but there -- there
22 are a lot of issues in there. You can take them apart.
23 Finally, you can melt them down. But when you do that,
24 the only thing that you can really pull out of it cost

1 effectively is the cobalt which we would like to get out
2 of batteries in the first place. So hopefully five years
3 from now we will have cobalt-free batteries that do not
4 rely on this rare commodity which is being mined in
5 sociologically unacceptable ways. So it's being
6 considered, but it's far from resolved.

7 So we do a lot of materials research trying to
8 develop new technologies and looking into safety,
9 reliability, and recycling.

10 One thing that I want to call to your attention
11 is flow batteries. Flow batteries are quite different
12 from lithium-ion batteries. Basically, you've got two
13 big tanks with the chemical and the chemical pumps, and
14 when it meets in the electric chemical cell in the
15 middle, it generates electricity. And you can run the
16 whole thing backwards and put electricity into it and
17 charge up the tanks. And if you do this right, first of
18 all, you can build it as -- you can build it much bigger
19 and you don't have the degeneration that you have with
20 lithium. So it's something that a lot of studies have
21 going on. It's really analogous to a car, where the
22 power comes from the engine and the energy is in the gas
23 tank. A number of them are commercially available, but
24 not nearly in the scale that lithium ion is available.

1 And, of course, what we are looking at in flow
2 batteries as well as in other technologies that are being
3 concern -- concerned are earth-abundant materials, things
4 like sodium, vanadium even, manganese, magnesium, carbon.
5 These are the ones that we are looking towards that are
6 literally dirt cheap and where it depends on our
7 ingenuity to -- rather than the commodities market.

8 The cost goals for these technologies that DOE
9 is working with are somewhat lower than lithium-ion
10 batteries. Lithium-ion batteries, at least the cells,
11 we're probably not going below \$100 per kWh because they
12 have been very well searched -- searched out, and when
13 you -- considering the system, we may have to be -- we
14 may have to be spending more for things like fire
15 prevention equipment, larger boundaries to keep them
16 safe, air conditioning that's more carefully worked out.
17 These things -- higher insurance. These things may be
18 driving lithium prices up. So -- but for the cells
19 alone, let's say a hundred.

20 Vanadium flow batteries, we have driven them
21 down to 300. Technologies which we are now working at,
22 zinc manganese we might go down as low as \$50 per kWh,
23 low temperature sodium and sodium-ion based batteries \$60
24 per kWh, and very tantalizing, aqueous soluble organics

1 rather than metals use organic substances, maybe 125.

2 But if we do this, we will be independent of any imports
3 from elsewhere. In fact, all of these things are -- the
4 resources are abundantly available in the U.S.

5 And we have to keep an eye out for advanced
6 lead. There hasn't been much movement research wise in
7 advanced lead batteries, but we believe there are
8 considerable advances to be made as yet, and we may be
9 able to make it lower than anything else, like \$35 per
10 kWh. And lead acid batteries are fully recyclable to 98
11 percent or so, which is outrageously good. And they have
12 a complete industry that recycles these batteries, which
13 is more than any of the other technologies can say.

14 On the horizon we have non-lithium
15 technologies, better lithium like Innolith. We've got
16 vanadium redox, zinc-bromine, zinc-manganese, iron-
17 chlorine. DOE has worked with all of them. We have done
18 research in all of them. All of them were promising
19 ones. You know, they are promising, but that's all I can
20 say about them. And some of them are commercially
21 available.

22 Non-battery technologies are being considered.
23 Pumped hydro, after all, is a non-battery technology and
24 it works very well. Things like taking cement blocks and

1 a crane and stacking to make cement blocks on top of each
2 other, you know, you build up potential energy. When you
3 need it, you run the crane backwards by putting the
4 cement blocks on the ground. Could work, you know. They
5 are trying it in -- trying it out in Sweden. Compressed
6 air energy storage where you put large amounts of air
7 into the ground into a cavern such as abandoned gas wells
8 or oil wells. Thermal systems, including ice, phase
9 change materials, what have you.

10 Vehicle to grid is a possibility. Dominion
11 Energy, which has a small corner of North Carolina, is
12 experimenting with a fleet of buses. They're going to
13 replace the entire school bus fleet in Virginia by
14 electric buses, and they're going to use the batteries in
15 the electric buses as backup for their system. Okay. I
16 hope to work with them and see how that use case works
17 out.

18 Lots of interest in long-duration, long-term
19 storage; people looking at eight hours, 12 hours, and
20 even days. If you have a lot of solar, you may want
21 that. Difficult to make a business case here. Will
22 probably need a mandate to make that work.

23 Hydrogen, ammonia, these things can store
24 energy, too.

1 So we are winding up. Some resources for you.
2 We are working with the Energy Storage Technology Advance
3 Partnership which has many of the states under its --
4 under its -- in its group. And we are doing regular
5 webinars in order with the Clean Energy Storage
6 Association. These are available for free to anybody who
7 wants to learn more about the storage. Generally, when
8 we do something new or when a new project comes online,
9 we throw in a webinar and explain it and have the experts
10 in the field explain it. They are -- they are archived.
11 You can look them up on the internet. They are available
12 at all times.

13 DOE has established and maintains an
14 international energy storage database which has some
15 2,000 energy storage projects archived there from more
16 than 60 countries. It's a good resource to look at
17 projects that have actually been built and where they
18 are. Again, it's free and available on the internet.

19 Recently, we have started an energy storage
20 policy database where all the states that have policy
21 activities are -- they're all contained in there. And,
22 again, it's free and it's clickable. You just click on
23 the state and say what you want to look at. And the
24 original documents are all in there so you can -- you can

1 access whatever you need.

2 So with new technologies, I expect cost to go
3 down, and hopefully safety and reliability will increase.
4 With every successful project, the value proposition will
5 continue to be better understood and will increase and,
6 among other things, more jobs here in the U.S. will be
7 created.

8 Thank you. I appreciate your listening and
9 your interest in the field, and if you have questions, we
10 will be happy to try and answer them.

11 CHAIR MITCHELL: Questions from Commissioners?
12 Commissioner Hughes.

13 COMMISSIONER HUGHES: The various costs that
14 you presented, do they include disposal costs, and could
15 you talk a little --

16 DR. GYUK: In -- generally, no. What you
17 usually hear about is -- well, first of all, when you see
18 that wonderful curve of lithium getting cheaper and
19 cheaper, that's cells only. Okay. It doesn't have the
20 balance of plant and it doesn't have the power of
21 electronics in it. Okay. And those are not going down
22 so fast.

23 Disposal almost uniformly is not included.
24 Okay. I'm not aware that any company will -- now, they

1 will tell you that, oh, it'll be worked on. I mean, I
2 don't want to badmouth any company. If you find one that
3 gives you a contract and a number, wonderful for them.
4 And I hope in future they will do that routinely.

5 COMMISSIONER DUFFLEY: So about a year ago I
6 went to an Energy Storage Association meeting, and
7 Lockheed Martin mentioned that they had obtained some
8 patents and were working on a flow battery that contained
9 more environmentally friendly constituents. I didn't
10 hear you mention that, and I was just wondering if you
11 had a status on that.

12 DR. GYUK: I believe the Lockheed Martin one --
13 Lockheed Martin was the company that was running Sandia
14 National Laboratory, so I think it goes back to my
15 project or my group's project, vanadium redox battery,
16 which we have -- which we have worked on for almost six
17 years and which is now in a virtually commercial
18 position.

19 COMMISSIONER DUFFLEY: So it's almost ready to
20 go to market; is that what you're saying?

21 DR. GYUK: Well, let's put it that way. It
22 already went to market, and then they found some
23 glitches, so it's now being reengineered. And this is
24 true for a lot of different batteries. Okay. I mean, it

1 took lithium ion a long time to get to the market, you
2 know. And it's nice to get a Nobel Prize for it, but
3 that doesn't mean it's perfect.

4 CHAIR MITCHELL: I think I understood you to
5 say that at this point the resilience benefits associated
6 with energy storage are really unmonetized, but they
7 don't appear to be unquantifiable, at least in the
8 presentation or in the analysis or examples you've walked
9 us through. Is that the case? I mean, if you all are
10 quantifying resilience benefits, could you help us
11 understand how?

12 DR. GYUK: We try our best.

13 CHAIR MITCHELL: Okay.

14 DR. GYUK: Okay. You know, one way to do it
15 would be to say, well, you know, if you ask an insurance
16 company to guarantee that the lights won't go out, you
17 know, how much -- how much insurance would you have to
18 pay? And can you put in a storage unit for the same
19 amount? And if the answer is yes, then you have
20 successfully monetized it.

21 But the point is, you know, if you're talking
22 about, I don't know, coastal flooding or something like
23 that, you know, if the disaster occurs, it's a lot, but
24 everybody is figuring, well, it's not going to hit us yet

1 or I won't be hit or whatever it is. That's why it's so
2 difficult because there's a lot of probability worth into
3 the -- into resilience.

4 CHAIR MITCHELL: Okay. Thank you. You also
5 mentioned in your presentation discussing sort of the
6 building blocks that are critical for successful
7 deployment of energy storage. And one of them you -- one
8 of them was regulatory -- I'm going to find your exact
9 words -- hang on one second --

10 DR. GYUK: A benign regulatory environment.

11 CHAIR MITCHELL: Right. You said something to
12 that effect, but what do you mean by -- how do you define
13 that? What do you mean by it?

14 DR. GYUK: well, that's basically working out
15 tariffs that are not punitive for storage.

16 CHAIR MITCHELL: Could you elaborate on that?

17 DR. GYUK: I suggest you ask that question to
18 Patrick again, but the point is there are situations
19 where -- well, with renewables you know that in general
20 you get tax credits, you get -- you get all kinds of
21 things. With storage you don't. Okay. We had -- one of
22 our early projects we were -- there was a substation.
23 The substation needed to be enlarged. That's expensive.
24 Okay. Because they were customers that were -- that

1 needed more electricity than was coming through the
2 substation.

3 The trouble is the substation, you basically
4 have to double it. You know, you can't change it
5 incrementally. So what we did -- this was -- this was
6 with AEP -- we suggested putting a megawatt of storage.
7 A megawatt would have covered the extra requirement for,
8 let's say, three to five years and it would have solved
9 the problem, and then if you need yet more, you could
10 eventually build up the substation.

11 Well, we knew that we had benefits from
12 arbitrage, but we could not count the arbitrage benefits
13 because they were not allowed -- the market did not allow
14 them that. Okay. They could do the -- they could
15 recover expenses from deferring the, you know, deferring
16 the expenses, but not from the arbitrage, so direct
17 payment was not allowed. That's because of the PUC
18 structure. In other places you can.

19 CHAIR MITCHELL: Okay. Thank you.

20 DR. GYUK: You want multiple benefits, but you
21 want to make sure that all of those benefits can be
22 charged, or at least as many as you find suitable.

23 CHAIR MITCHELL: Okay. Any additional
24 questions from Commissioners?

1 MS. JONES: Hi, Doctor. I've got a quick one
2 for you. On the Sterling, Massachusetts project, if I
3 understood correctly, the grant money was so that -- was
4 to encourage resiliency type projects.

5 DR. GYUK: Yes.

6 MS. JONES: And the project ended up making
7 money with arbitrage and with hitting peaks.

8 DR. GYUK: Yeah.

9 MS. JONES: So if the project is being run to
10 do that, to do the arbitrage and to clip the peaks off,
11 how could you know that when the tornado comes through
12 and you really need it for resilience that the battery is
13 charged and ready to go, that it hasn't been depleted?

14 DR. GYUK: They usually tell you a day in
15 advance when the tornado is coming, so you make -- make
16 sure your battery is full. You get all the resiliency
17 benefits. You don't lose any.

18 MS. JONES: Thank you.

19 DR. GYUK: But it's a very good question
20 because, you know, you cannot run it blindly. You have
21 to pay attention to what's going on around you.

22 CHAIR MITCHELL: Okay. Any additional
23 questions from Staff?

24 (No response.)

1 CHAIR MITCHELL: Okay.

2 DR. GYUK: I might add that Staff or
3 Commissioners should feel free to get back to us whenever
4 they please. It doesn't have to be done formally; email,
5 you know. Our interest is to get storage deployed, and
6 if we can help with it, we'll be happy to do that.

7 CHAIR MITCHELL: Well, thank you very much.
8 And thank you again for being here today. We appreciate
9 your time.

10 DR. GYUK: My pleasure.

11 CHAIR MITCHELL: Okay. Mr. Balducci, you are
12 up next.

13 MR. BALDUCCI: Great. Good afternoon,
14 everyone. Good afternoon, Commissioners. Thank you for
15 inviting me to speak here today. I'm happy to come and
16 present some information on the fundamentals of energy
17 storage valuation, some of the work that we're doing at
18 Pacific Northwest National Laboratory under the
19 leadership of Dr. Imre Gyuk who just spoke.

20 There are roughly 5,000 employees at the
21 Pacific Northwest National Laboratory out in Oregon and
22 Washington, 5,000 scientists and engineers and support
23 staff. And I lead a team focused on energy storage
24 analytics at PNNL, and you can see some of their names

1 there. They include physicists and economists and
2 several different colors and flavors of engineers. So
3 it's not just me standing -- sitting here before you, but
4 an entire team that I represent, including Kendall
5 Mongird who is turning the slides and is a key
6 contributor on several of the projects that we're
7 undertaking at the moment.

8 So we are evaluating energy storage systems in
9 many different forms across the country. The models and
10 methods and tools that we are employing were paid for by
11 the U.S. Department of Energy under Dr. Gyuk's program,
12 but we are now bringing in much more funding from many
13 different organizations. We've received an enormous
14 amount of interest from states and utilities. Just
15 currently we're negotiating contracts with five private
16 utilities, and we're doing work with utilities across the
17 United States presently.

18 We're evaluating lithium-ion battery systems,
19 flow battery systems, pumped-storage hydro. We have
20 small-scale pumped-storage hydro, 5 MW, 30 Mwh, at five
21 locations across the United States for Shell Energy North
22 America and we're evaluating large scale pumped-storage
23 hydro systems, too, one in Wyoming and one in Washington
24 State. And so you can see collectively that we actually

1 have an enormous amount of power and energy capacities
2 for all the different systems that we're currently
3 evaluating.

4 You can see about 1.6 GW and 18.2 GWh of energy
5 stored at those sites, though as is typical of energy
6 storage system, the vast majority of the power and energy
7 capacity is tied to the two large scale pumped-storage
8 hydro systems that we're evaluating currently.

9 In addition, we're developing hydrogen
10 evaluation tools for the U.S. Department of Energy and
11 the Massachusetts Clean Energy Center, so taking energy
12 off the grid and transforming it into hydrogen using
13 electrolyzers power-to-gas systems, and then also having
14 the capacity to bring it back into the form of electrical
15 energy through hydrogen fuel cells as well. And all of
16 the sort of transportation uses and industrial gas uses
17 and interactions with the energy markets is built into
18 those tools as well.

19 We're effectively focused on four sort of sub-
20 thrust areas. The first one is the economic. So we're
21 defining the value associated with energy storage
22 services provided by energy storage systems of all shapes
23 and sizes and chemistries. And we are -- have built
24 these methods, models, and tools in a way that's quite

1 flexible, so they can be applied anywhere in the United
2 States, as Dr. Gyuk correctly mentioned. Markets are
3 fairly straightforward. You have price data, historic
4 price data and forecast price data you can rely on. It's
5 based on nodes or zones or locational marginal prices.
6 But even if you're not operating in a market, some unit
7 is providing the same service.

8 So frequency regulation is being provided by a
9 peaking turbine in many cases, and there's a marginal
10 cost associated with that, or you have to purchase more
11 capacity resources or resources to demonstrate resource
12 adequacy and there's a cost associated with that. So
13 these avoided costs can also be modeled, and so using
14 production cost models and relying on Integrated Resource
15 Plans and working with utilities we can define the value
16 associated with all of these services even when operating
17 outside of markets.

18 In addition to the economics, we've done a
19 great deal of work with respect to performance
20 characterization. I'll get into this in a bit more
21 later. And what we found is that while you may hear that
22 lithium-ion batteries produce 90 and 92 percent roundtrip
23 efficiencies, when deployed out in the field and
24 temperature effects are factored in and it's AC to AC, so

1 you figure out the losses associated with the power
2 conversion systems and you're engaged in economic
3 operation, so the duty cycles might not be ideal, then
4 the roundtrip efficiencies even for lithium ion can begin
5 to drop into the low 80s and sometimes into the 70s.

6 The flow battery systems that hold a great deal
7 of promise in terms of reliability and their number of
8 cycles, so their ability to survive for long durations
9 for many years, the round-trip efficiencies are even more
10 -- there's more deviation there and they can actually get
11 down into the 40s in terms of the roundtrip efficiency,
12 which is to say when you charge and discharge the system,
13 under some conditions you could lose 60 percent of the
14 energy in the roundtrip.

15 So understanding this and then building it into
16 your economic models is extraordinarily important. You
17 don't want to bid into a market thinking you're getting
18 90 percent roundtrip efficiency when, in fact, you're
19 getting 70 percent roundtrip efficiency. And so we're
20 building all of these lessons into our economic modeling.

21 The next area is distribution system
22 integration. These energy storage systems don't isolate
23 in a vacuum -- they don't operate isolated in a vacuum,
24 and so you have to factor in their impacts on the

1 distribution system, both positive and negative. So
2 there's improvements in resiliency, which for short
3 duration outages we do monetize. There's also
4 improvements in terms of hosting capacity for DERs and
5 photovoltaic and solar units, but there could be cost as
6 well because if you discharge a system fully, the feeders
7 may or may not be able to actually accommodate the full
8 discharge power of the energy storage system, and so all
9 of this has to be accounted for.

10 And then the last area is controls. And so,
11 you know, all the modeling work that we do and all the
12 simulations and all the economic assessments are really
13 planning tools. I mean, effectively we're defining what
14 we expect the values to be. We simulate their
15 operations. We try to make them as realistic as
16 possible. We've built in uncertainty, imperfect
17 foresight with respect to prices, but the reality is, is
18 that in real-time it's more complicated, and so capturing
19 those values in real-time requires tools and control
20 systems and so we help in the development of those as
21 well. So we've developed a taxonomy of energy storage
22 values.

23 And do please feel free to interrupt me at any
24 time if you have specific questions for each slide. And

1 so, you know, I was speaking with one of the
2 Commissioners before the hearing, and he raised the
3 question of distribution level value. And you're quite
4 right, most integrated resource planning processes, of
5 course, don't include distribution level values or don't
6 accurately capture them through that process, but they
7 are significant value, and they include benefits like
8 deferring investments in distribution systems, improving
9 resiliency, reducing outages, and also improving the
10 efficiency of the distribution system through Volt-VAR
11 control or conservation voltage regulation. You can
12 obtain both real and reactive power from energy storage
13 systems so they can effectively, you know, improve the
14 efficiency of the distribution system.

15 Similarly, at the transmission system, just
16 like in the case of Nantucket Island, there can be huge
17 benefits associated with deferring investment and
18 transmission assets like transmission cables, and then
19 also in reducing congestion. As each of you probably
20 know, in markets, congestion is built into the price of
21 energy, so to the extent that you're relieving congestion
22 along transmission networks, it allows power from
23 throughout the region to get to where it needs to be with
24 less limitations and at lower cost. And so that can

1 drive down cost throughout the region by alleviating
2 congestion along transmission corridors.

3 Bulk energy services, including capacity or
4 resource adequacy, and energy arbitrage which is, of
5 course, buying low and selling high in energy markets.

6 And then there's all the ancillary services
7 engaged in trading in market operations, including
8 regulation, load following, spin/non-spin reserve, the
9 standby reserves, and black start service, voltage
10 support, and those sorts of services.

11 Once again, even if operating outside of a
12 market, there is a cost associated with providing each of
13 these services to the utilities operating in your state.
14 And there are models, production cost models and capacity
15 expansion planning tools and other models that can be
16 utilized to assign a value in terms of avoided cost for
17 each of these services.

18 And then finally, behind the meter we have
19 customer services. Shifting of energy can result in
20 reduced demand changes, reduced time of use pricing and,
21 of course, outage cost reduction as well.

22 So we've conducted an extensive literature
23 review, about 40 to 50 studies of energy storage across
24 the United States, and we published this in the Energy

1 and Environmental Science Journal about a year ago. And
2 what we see here is that these values do vary greatly
3 from one location to the next, and so these values are
4 not uniform. The value here in North Carolina would be
5 quite different than the values that are evident in the
6 Pacific Northwest or in California or New York or New
7 England, depending on the availability of resources and,
8 of course, the profile of the generation fleet, load-
9 shifting patterns, the extent to which renewables,
10 intermittent renewables are expanding in your area.

11 In a place like the Pacific Northwest we have
12 very high renewable portfolio standards, but we have
13 legacy hydro, and so that legacy hydro drives down our
14 cost because it adds a great deal of flexibility and low-
15 cost generation capacity. But as those renewable
16 portfolio standards begin to impact our utility
17 investment decisions, as they will be in the coming years
18 -- Washington is going to a hundred percent RPS, and
19 California is, and Oregon's is quite high as well -- then
20 on the margin, these investment decisions will be much
21 more expensive. You can't just simply rely on the legacy
22 low-cost hydro.

23 And so higher cost renewables will come into
24 the fold, and then the intermittency associated with that

1 will generate balancing requirements -- we'll get more
2 into that in a few moments -- but those costs can be
3 quite significant as well. And so even in one location
4 they change over time.

5 In California you're probably aware of the so-
6 called duck curve. And so as the net load, you know,
7 soars in the afternoon, effectively there are these
8 significant ramping requirements, and battery storage
9 systems have been mandated for addressing that and there
10 is a new market product, the flexible ramping product,
11 that is generating significant opportunity and cost in
12 that region as well. So it varies by location.

13 And we can see that although arbitrage was the
14 first use case defined for energy storage system, it
15 makes the most sense, it tends to be one of the lowest
16 value of all the use cases for energy storage systems.

17 Frequency regulation is a higher value stream
18 for energy storage systems. And what we find is that
19 transmission and distribution deferral is extraordinarily
20 variable, but can be enormous locationally, but in many
21 locations is of very little value. Next slide.

22 So now I'm going to go through several of the
23 use cases and effectively how we assign value to each of
24 them.

1 So for capacity or resource adequacy,
2 effectively, this is ensuring that you have enough power
3 throughout the year to meet peak loads, plus a reserve
4 requirement. Capacity markets have been established in
5 several regions throughout the United States, including
6 California and New England, and so through a forward-
7 capacity auction and then ultimately a forward-capacity
8 market, the prices are set.

9 Note that, you know, energy storage systems are
10 very effective at addressing both capacity and frequency
11 regulation, and so when market prices are high, sometimes
12 energy storage services systems and new operators of
13 generators can actually be victims of their own success
14 because as they bid into these markets to absorb these
15 high prices, the supply curve shifts outward, the new
16 market equilibrium price falls significantly, and
17 effectively the bottom can fall out of these markets. So
18 for a place like ISO New England, it was trading at
19 roughly \$11 per kW per month, and then many more
20 generators and energy storage systems entered the market,
21 and the market has recently crashed down to about \$3.80
22 per kW per month.

23 Now, for the regulated utilities, the
24 vertically integrated investor-owned utilities, this is

1 capacity based on the cost of a new entrant or the next
2 best alternative which tends to be a peaking combustion
3 turbine. Now, those turbines cost about 150 to 200 kW --
4 dollars per kW per year, but you back out the flexibility
5 services associated with them, and then you have to
6 determine through a loss of load probability analysis the
7 incremental capacity equivalent of a battery system.
8 Know that it's not as capable of providing capacity as,
9 say, a traditional generator.

10 So if you have an energy-to-power ratio of say
11 2, and you only have to cover four hours, you're only
12 going to capture half or less than half, potentially, of
13 the value. So if the value is trading at \$120 per kW per
14 year, a two-hour battery may only capture \$60 of that
15 because it's not going to be quite as reliable as a
16 generator. Once again, it's -- it may not be fully
17 charged when called upon as necessary, and its energy-to-
18 power ratio only allows it to ride through for a couple
19 of hours, and you have to account for all of that. And
20 typically it's done through a testing process or through
21 the IRP process. Effectively, the incremental capacity
22 equivalent is defined.

23 The second use case is frequency regulation.
24 Energy storage, of course, starts here through FERC Order

1 755, the Pay for Performance Order. The full value of
2 energy storage was captured because there's a performance
3 component. And to the extent the generator cannot
4 provide the services effectively as the energy storage
5 system, the value is derated; whereas, an energy storage
6 system usually captures 95 percent plus of the benefit.

7 And in addition to the capacity that's bid into
8 the market for the hour, there's a mileage or service
9 component. So as energy is cycling in and out of the
10 battery system, think of it as string that's moving up
11 and down and then you pull the string taut, all of the
12 energy passing into and out of the system, the energy
13 storage system, is compensated for that as well. So it's
14 effectively the summation of all the green bars in the
15 chart that you can see there.

16 And once again, in PJM there was a REG-A and
17 REG-D signal that the energy storage systems followed
18 quite successfully, and some of the early entrants made a
19 great return on investment, but once again the PJM market
20 collapsed. And then the AGC signal was altered by PJM in
21 a way that has led to excessive degradation of the energy
22 storage systems, and so the return on investment for new
23 entrants is not nearly as promising as for old.

24 And so that's a challenge for energy storage

1 systems. You know, they're looking at current market
2 conditions, trying to predict the future to the extent
3 that long-duration contracts are through an integrated
4 resource planning process that can capture not only the
5 marginal value, but the long-term value of driving down
6 the cost associated with the frequency regulation is a --
7 is a great value to the energy storage providers or the
8 utilities purchasing energy storage systems.

9 The next benefit stream is renewable energy
10 time shift and capacity firming. I already mentioned the
11 CAISO duck curve. CAISO has implemented a ramping
12 product, because as all the solar comes offline in the
13 early evening and then folks come home and turn on their
14 lights and their appliances, we're seeing the net load
15 curve thrust upward quite quickly.

16 And so what CAISO realized was that through
17 traditional capacity, plus frequency regulation and
18 standby resources, that these resources collectively
19 might not have the ramping capability required to respond
20 to such an extreme event that was actually taking place,
21 you know, every day, every weekday during the summer
22 months. And so they implemented a flexible ramping
23 product that allows the bidder to not only bid in the
24 price of providing the service, but also the ramp rate,

1 so the megawatts per minute that they can actually ramp
2 up.

3 And so all of this is taken into account
4 through this product, and effectively a demand curve for
5 this extreme ramping capability is developed on a -- in a
6 real-time basis, and it's a real-time market at five and
7 15 minutes. And so that's a significant cost.

8 You know, we found that through a national
9 study that we performed for Dr. Gyuk there, that for
10 every, you know, megawatt of renewables that you put on a
11 system -- or excuse me -- for every 6 MW of renewables
12 that you on a system, it required 1 MW of balancing. And
13 so when you're comparing the cost of solar to a
14 traditional generator, that's not exactly an apples-to-
15 apples comparison because the intermittency associated
16 with renewables carries cost associated with that. And
17 so energy storage systems provide significant value in
18 this regard.

19 We evaluated nationwide. It was a 6 to 1
20 ratio. But then on the margin, because there's existing
21 balancing capacity, it was a 10 to 1 ratio. So for new
22 wind and solar coming on the system, and this is
23 national, we did evaluate it at a regional level, you
24 know, and I can provide that report to you, so it will

1 differ from one region to the next, but nationally it was
2 a 6 to 1 and 10 to 1 ratio.

3 And then, of course, renewable energy capacity
4 firming. There are some areas placing ramp rate
5 limitations. And I can tell you in the Pacific Northwest
6 that if you interconnect to the Bonneville Power
7 Administration transmission lines, you have to pay \$15
8 per Mwh in firming cost because of the intermittency
9 associated with that. And you can see the line without
10 energy storage, and then -- and then with it, if you can
11 add it. Effectively, it can smooth out the intermittency
12 associated with the generation, renewable generation, and
13 there's a significant value associated with that.

14 Okay. The next benefit is outage mitigation.
15 We can measure this from the perspective of the utility
16 or from the perspective of the utility's customers. And
17 when we evaluate it from the perspective of the
18 customers, it's in terms of what's called value of lost
19 load. And so when the lights go out, it doesn't mean
20 much to residential customers, about 3 to \$4 per hour, on
21 average, based on interruption cost studies performed by
22 the Lawrence Berkeley National Laboratories. Small
23 commercial industrial customers a bit more. Effectively,
24 they have to, you know, turn down their ovens and turn

1 off their lights and they lose their customers that are
2 restaurants. But for large commercial industrial it can
3 be tens of thousands of dollars, as high as \$150,000 per
4 hour on some of the cases that we've evaluated. So
5 significant value associated with loss of load.

6 And what we'll do is we will model it with
7 perfect foreknowledge and with no foreknowledge. So
8 without foreknowledge we would be operating in, you know,
9 all of our various use cases, and then whatever energy
10 happens to be available in the energy storage system on a
11 -- at a time when the outage strikes, and we -- in our
12 simulations we place the outages based on the value of
13 lost load for the customers that could be islanded with
14 this -- with this energy storage system, and then also
15 based on historical data around outages.

16 So on Nantucket Island there were 704 outages
17 over 10 years, so there it was a significant benefit
18 stream. Elsewhere, it's often, say, two to three outages
19 per year on a typical feeder, and we can effectively
20 create a statistically average year of outages.

21 Then we place those randomly throughout the
22 year, and then our model simulations attempt to address
23 them. And then we evaluate the value or the cost of the
24 outage with and without the energy storage system and

1 look at the change in terms of the value of lost load to
2 those customers.

3 The problem with resiliency and the reason why
4 it's not well known is that there are enormous costs when
5 there are long duration outages. An entire community
6 ceases to function. So there are direct -- indirect and
7 induced economic effects associated with all of the
8 factories shutting down or all of the businesses shutting
9 down. But there's also risk to life. There's the value
10 of a statistical life. There's injuries that take place.
11 There are public safety concerns.

12 And so, you know, the way we think about this,
13 at least when I've written about this, what I have
14 suggested is that it should be unexpected value analysis.
15 So it's a multi-hazard risk assessment. What are all the
16 things that could go wrong and what are the full costs
17 associated with each of those things? So we're doing
18 something like this for a study in Eugene, Oregon, but
19 it's quite incomplete because of the ability of the
20 energy storage system to keep the operations center open
21 and how that changes the outage duration, and who is
22 affected under these multiple hazard assessments is
23 incredibly complicated, and the utility doesn't have good
24 answers for that. No one does, really. And I know

1 there's a project at Sandia National Laboratories under
2 Dr. Gyuk's leadership, attempting to assign some values
3 to these key elements.

4 But for the Eugene system, you know, we're
5 looking at snow and ice, so on an average year there's
6 about 120 percent chance. So on average there would be
7 1.2 events that would cause sort of catastrophic outages
8 for this Eugene Modern Electric Board. With respect to
9 flooding, it's a very low probability for Eugene. And
10 then there's the Cascadia subduction zone earthquake
11 event that would be incredibly disastrous for the region.

12 But then the ability of the energy storage
13 system to keep the operation center open and its impact
14 under such an extreme scenario is quite challenging to
15 estimate, but we do have reasonable estimates, something
16 like one-tenth to one-fourth of 1 percent on an annual
17 basis of one of those catastrophic earthquakes hitting
18 Eugene. And so we're digging into it, but assigning a
19 full value associated with that is quite challenging.

20 Okay. The next slide is transmission and
21 distribution deferral. And effectively, you know, if you
22 defer an investment in a transmission line or a
23 distribution substation, you know, it's going to be about
24 2 percent more costly each year, so if you defer

1 investment in it, it's going to be a bit more expensive
2 10 years from now, you know, 1.02 raised to the 10th
3 power. But when accounting for it from a utility
4 perspective, and the denominator of the present value
5 perspective is something more like 1.06, it's going to be
6 based on their weighted cost of capital which is going to
7 be closer to 6 or 7 percent. So it's 1.06 raised to the
8 10th power.

9 And so we evaluated a distribution substation,
10 and we can see here that effectively by deferring
11 investment in this distribution substation by six years,
12 it reduced its cost by about 25 percent from 10 to 7.5
13 million. And for the submarine cable for Nantucket
14 Island it was closer to \$110 million because it was
15 roughly a \$200 million dollar investment that you could
16 defer for 13 years.

17 So that is highly location specific. In the
18 majority of cases there is zero value associated with
19 distribution or transmission value, but for a select
20 number of locations it is the number one use case and of
21 enormous value. We usually go through a screening
22 process, that there's 10 or 12 potential investments that
23 you can defer at the transmission and distribution level,
24 and this is how you defer it, does it apply here. And

1 most of the time it doesn't, but in some instances it's a
2 significant value. And, of course, this wouldn't be
3 captured in a traditional planning process, integrated
4 resource planning process. And so it's important to
5 think of these values more broadly.

6 Now, I've gone through all these use cases, but
7 you can't simply evaluate them individually and then add
8 them all together. You have to simulate operation of the
9 battery system. Effectively, there's multidimensional
10 competition for the energy in the storage system. If you
11 use it in this hour, there's less of it available in the
12 next hour and the hours that follow, and then you cannot
13 provide all services simultaneously. Sometimes you can
14 provide -- you can meet the needs of multiple services in
15 a given hour, but in many cases you cannot. And so, you
16 know, what we find is that, you know, when consultants
17 evaluate the benefits individually and add them together,
18 you're typically overstating benefits by roughly 30
19 percent.

20 Another thing we do is we don't assume perfect
21 foresight with respect to prices or with respect to load
22 and conditions. We assume imperfect foresight, and then
23 we predict what those prices will be, but then use the
24 actual prices for the clearing process. We find you

1 typically get an additional 10 to 15 percent of the value
2 when you do that. And so, you know, these additional
3 analytical steps are required to produce defensible,
4 scientifically defensible, and I think realistic numbers.

5 And so you can see here in this chart here to
6 the left, the energy prices in the first panel, if all
7 you were doing was buying low and selling high, in the
8 energy market you can see the duty cycle there for the 5
9 MW battery system. In the early morning hours it's
10 charging. That's why it's negative. You're pulling
11 energy off the grid. And then around lunchtime and in
12 the -- in the evening hours you're discharging to take
13 advantage of higher prices during those hours.

14 But then as you layer in each additional
15 benefit, balancing distribution deferral and Volt/VAR
16 control, the signal or charging and discharging duty
17 cycle changes, and so this is what the battery system
18 would be doing to optimally engage in economic operation.
19 And you can see that once it does that, some of the
20 arbitrage benefits would effectively melt away at that
21 point because you can no longer capture those. You are
22 chasing higher value frequency regulation benefits.

23 And effectively, what our models will do is
24 effectively have a running ticker each hour of the value

1 -- a buy value stream that it's being generated, and at
2 the end of the year tell you the number of hours you
3 would be optimally engaged in the provision of each
4 service and the value providing each of those services.

5 So the first case study I want to run through
6 is the Salem Smart Power Center. This was a shovel-ready
7 project that was funded under ARRA. At the time it was
8 extraordinarily expensive, about \$20 million plus. And
9 when you built in all the rate impacts, if it were to
10 have been built into the rates, it would have been closer
11 \$28 million. The cost of it today would be much lower,
12 closer to, I think, 6 or \$7 million, so that shows you
13 the significant degree to which we have been successful
14 at reducing the prices associated with, particularly,
15 lithium-ion battery systems.

16 Also, there were some components associated
17 with this project, you know, a \$3 million building that
18 today would be unnecessary. And so even with respect to
19 the power conversion systems, the balance of plant and
20 the interconnection costs, some of those costs have been
21 coming down, but not to the degree to which the battery
22 system costs have been coming down.

23 So you can see here it was a 5 MW 1.25 Mwh
24 system, so an incredibly shallow system with an energy-

1 to-power ratio of 0.25. It was to act as a -- the
2 provision of ride-through capacity in a high-reliability
3 zone to aid in the elimination of outages for a few high-
4 value customers, including a call center and the
5 headquarters of the local National Guard.

6 The utility identified a whole host of
7 potential use cases, but after we evaluated those use
8 cases, we broke them down to nine specific use cases and
9 then, in truth, there were fewer than that that were of
10 real value to the system. And so despite the fact that
11 we may have 15 to 20 use cases defined, typically the
12 number of use cases evaluated for each system is more in
13 the three to seven range. You can't simply -- once you
14 start providing more than that, it gets sliced quite
15 thinly and there's very little value that's remaining.

16 Now, what you'll see here is that if you simply
17 added all the benefits together, you would generate about
18 seven and half million, but when co-optimized, so
19 effectively simulating operation only taking advantage of
20 the technically achievable benefits, it falls to 5.8
21 million, so you can see that it's a much lower value.

22 The energy or the return on investment ratio
23 was quite low given the very high cost of the system, but
24 if you're investing today at the relatively lower costs

1 that are evident in the marketplace, you could, if sized
2 correctly, generate a positive return on investment
3 ratio. And so one of the points we make here is that
4 it's important to fully evaluate the technical potential
5 and the economic potential of an energy storage system
6 prior to deployment, prior to design, because as you can
7 see here, even with today's prices the return on
8 investment ratio was below 1, at about, I think, .78, but
9 if sized correctly with an energy-to-power ratio of 2.0,
10 they could have yielded a positive return on investment
11 at 1.24.

12 Effectively, at 0.25 there's such limited
13 energy that it really can't serve in the provision of
14 ancillary services. It has very little energy to provide
15 frequency regulation or spin on spin reserve. It cannot
16 provide hardly any capacity if it's a four-hour product,
17 for example. I mean, effectively you'd have to divide
18 the benefit by 16 in this case to make it an incremental
19 capacity equivalent. And so that has to be worked
20 through and should be worked through by the utilities
21 prior to building it into an Integrated Resource Plan or
22 deploying or designing the system.

23 So the Nantucket Island Energy Storage System
24 Dr. Gyuk already highlighted, and I will get into quite a

1 bit more detail here.

2 It's a small resident population of about
3 11,000. It's a playground for the rich during the summer
4 months and the load soars to 50,000 for about -- 50,000
5 MW during about a two-month period. But it's really just
6 a 2 to 300-hour period where you really have to focus to
7 ensure that the N-1 contingency requirement is met.

8 And so it's -- rather than investing in a third
9 cable that could cost upwards of \$200 million, an energy
10 storage system can provide that capacity, in this case
11 combined with a combustion turbine generator can provide
12 that service, but then be freed for the other 8,560 hours
13 in the year to perform other services. And so it was
14 just a very unique and powerful opportunity here for
15 energy storage. And so we evaluated a small number of
16 nonmarket and market operations to a very successful
17 degree in this case.

18 So the benefits of local operations, you can
19 see here to the right that we modeled load and then
20 predicted load out into the future, projected it out into
21 the future for a number of years. And so the load is
22 evaluated in sort of an extreme scenario as sort of a 95
23 percentile extreme scenario so that ensuring that we're
24 quite conservative.

1 What we found that basically in this year, the
2 first year in which the load would be expected to exceed
3 the N-1 contingency without the availability of the
4 energy storage system and that it would only require
5 energy from the battery system for four hours this year.
6 And then in future years we projected and then predicted
7 the hours during which the energy storage system would
8 need to be available to ensure that you're meeting that
9 N-1 contingency scenario.

10 So with that analysis and then projecting into
11 the future, you can see the number of deferral years
12 estimated at 13. The benefits of local operations was
13 estimated at 122 million. Most of that was the
14 transmission deferral benefit, but the other was outage
15 mitigation, 704 outages over 10 years. We went through a
16 screening process and reduced all the outages that the
17 energy storage system could not mitigate, and that
18 actually eliminated something like 80 percent of the
19 outages. We broke it down to a smaller number. We
20 modeled the entire distribution system for Nantucket
21 Island and then simulated the relevant outages with and
22 without the availability of energy storage.

23 And so we could show that under ideal
24 circumstances, that the battery system could eliminate

1 roughly 46 percent of the customer minutes of
2 interruption on that island, so an enormous benefit.
3 Now, I say ideal because when we performed the
4 distribution system analysis, we learned two things. One
5 is that you could not fully export both the combustion
6 turbine generator and energy storage system power
7 simultaneously. You would effectively overwhelm some of
8 the lines on the island. So we could target specific
9 investments in reconductoring to enable the full
10 discharge of the systems. And then the other thing was
11 that all the switching on the island had to take place
12 manually. And so we take about an hour to do all of
13 that, and through some automated switching you could
14 reduce that to five and potentially one minute of outage
15 before all the power is restored. And so an enormous
16 benefit in terms of showing the value of each of those
17 investments and the costs of them, showing that you could
18 effectively improve the economics by about 2 to \$300,000
19 annually through those investments which, of course, were
20 quite a bit lower than that, so a significant value.

21 Now, in addition to nonmarket operations,
22 National Grid wants to engage in market operations, so
23 some of you may rightly be recognizing that if they rate
24 based this asset, which they did, that currently they

1 would not be allowed to also participate in the energy
2 markets. But FERC has issued a memorandum suggesting
3 that it was open to operating rate-based assets in energy
4 markets and encouraging utilities to propose the use of
5 such systems in energy markets. And so National Grid
6 wants to use this as a test case and be the first one to
7 take advantage of this opportunity, then pull those
8 benefits back to their customers because the reality is,
9 is that they only need this asset for a very limited
10 number of hours each year.

11 For those of you who are also well schooled in
12 how markets operate, you'll also recognize that you can't
13 toggle into and out of markets. That's not allowed, and
14 you could face penalties for effectively what's called
15 economic withholding. But through a combination of rules
16 and ISO New England, they can use this system to provide
17 local reliability services and establish an opportunity
18 cost associated with not providing that service, build
19 that into their price and effectively make the battery
20 system economically unattractive to ISO New England.
21 That's all perfectly legal. And we're confident that if
22 they can predict when the N-1 contingency scenarios will
23 be occurring, that effectively they could pull the system
24 back for providing that service.

1 The other thing is in response to FERC Order
2 841, ISO New England is now offering something called a
3 CSF. And so this is a storage facility, a continuous
4 storage facility that acts as a generator would, as a
5 demand-side resource would, or as a regulating resource
6 would. So in markets across America, some of the
7 complaints are that energy storage systems are treated
8 like any other generator, but they have unique
9 attributes.

10 So, for example, an energy storage system, if
11 it's a 10 MW system, it can provide the full 10 MW of
12 regulating capacity because it can go 10 MW up and 10 MW
13 down, whereas a generator cannot. It effectively would
14 have to provide, you know, 5 MW up and 5 MW down. It has
15 to function at the 5 MW level of output and then cycle up
16 or down. But an energy storage system can provide twice
17 the regulating capability. It also can respond to the
18 subsecond level, so it's always spinning, effectively, so
19 it should be available for providing that spinning
20 reserve as well.

21 And so you can see these three signals here in
22 the top graph to the right, that if it was providing
23 services as a generator, you can see it discharging
24 there. If it's responding to as a demand-side resource,

1 you can see it absorbing energy down. And then in ISO
2 New England it can also follow an energy-neutral AGC
3 signal, and that's the one that's cycling up and down.
4 And those are all combined into a single signal and it's
5 compensated for all three market services. And so we bid
6 into that system.

7 So in the next slide you'll see when it's all
8 added together, it's \$146 million in present value
9 benefits, revenue requirements of the combustion turbine
10 generator plus the battery system. The battery system
11 was 6 MW, 48 Mwh system, at a cost of about \$31 million.
12 It's a Tesla battery system. The full revenue
13 requirements are about \$94 million, with a return on
14 investment ratio of 1.55.

15 So if you go to the next slide, you'll see the
16 results of several of our recent studies. You can see
17 the Salem Smart Power Center and how, as currently
18 constructed, that didn't function well. With the PSE
19 Glacier, the return on investment from the perspective of
20 the utility was quite poor at about 0.44, but when you
21 built in the value of lost load, it was an isolated
22 community with poor reliability in a mountain near the
23 Canadian border, and it almost penciled out at that
24 point. It really provided a great service, and there

1 demonstrated the capacity to island the entire downtown
2 core of that very small city. It's about 30 businesses
3 and about 40 residential customers, but the battery can
4 do that. It can effectively isolate an entire community
5 or a large segment of Nantucket Island in this case.

6 For OPALCO Decatur Island we're evaluating the
7 deferral benefits associated with reducing stress placed
8 on a submarine transmission cable. So this is a \$40
9 million cable, and effectively during peak periods we can
10 reduce voltages and stress placed on that cable. And we
11 built an electrothermal model to evaluate the benefits of
12 doing so, and by doing so you can defer investment in
13 that cable by about four years. And so those are
14 enormous cost assets, and so a great value there.

15 And then Avista Turner, I'll call your
16 attention to that. That is Schweitzer Engineering
17 Laboratories. It would be located effectively in the
18 parking lot of that facility. And when there's a voltage
19 sag of a significant enough degree and duration, the
20 machines shut off, and once they're off, they're off for
21 three hours minimum. And the cost of that is \$150,000 an
22 hour, and that takes place about twice a year on average,
23 plus there's -- even though they have two feeders serving
24 that site, there is an outage about every two to three

1 years, and so enormous savings to that high-end
2 manufacturer.

3 So moving on to the cost of storage, you've
4 heard about the lithium-ion prices and how they've been
5 falling. You know, with lithium ion, it's being deployed
6 in the consumer electronics area, in the automotive area,
7 and less so in the grid space, but because of those
8 advancements that are taking place, the manufacturing and
9 technology and the resource appropriation, the costs have
10 fallen significantly. And so you can see the costs
11 falling below, for an entire pack, below \$200 per kWh in
12 energy capacity. So if you have a 1,000 kWh or 1 Mwh
13 system, the cost of that would be -- would be \$200,000 in
14 this case.

15 But that's only roughly half of the cost.
16 There's also power -- a conversion system cost or the
17 inverter shifting the energy back and forth between AC
18 and DC, and then the balance of plant cost and then the
19 construction and commissioning cost. You still have to
20 build a concrete pad if you don't place it in an existing
21 substation or an existing building site. You still have
22 to build a fence. You still have to get the finance team
23 involved, the lawyers, the engineers. You have to
24 interconnect it. You have to control it. And all of

1 those have costs, and those costs aren't falling as
2 quickly as the costs associated with the battery systems.

3 Kendall there, Kendall Mongird, recently led a
4 study to evaluate the cost associated with six battery
5 chemistries broken out by those four components that I
6 just mentioned, and then also for non-battery
7 technologies, including pumped-storage hydro, compressed
8 air energy storage system, ultracapacitors, and one other
9 which I'm sure I'll remember in a moment. But, you know,
10 what we find is that, of course, lithium ion is the least
11 cost technology at this point for a 1 MW, 4 Mwh system.
12 You would expect to pay roughly, you know, 4 to \$500 per
13 kWh all-in cost.

14 But you'll see there two things. You know,
15 first of all, the roundtrip efficiency, it's higher than
16 the other technologies, so it's functioning very well,
17 but it also degrades quite a bit quicker, and if you
18 don't -- if you're not careful in how you operate the
19 system, it can degrade quite quickly. If you operate it
20 efficiently, it will degrade at about one-half of 1
21 percent annually. And its life cycle -- its life is only
22 about 10 years, and that's under sort of the best
23 possible conditions. Sometimes you'll get a 20-year
24 warranty, but when that takes place it's because there's

1 effectively interim investments that are included in
2 that, so they have to effectively address the degradation
3 throughout the life of the unit and replace the entire
4 battery pack after 10 years, typically. And so some of
5 that is built into those contracts that you receive.

6 For a flow battery system, you know,
7 effectively, you know, there's electrolyte in big tanks,
8 so if you're talking about a long duration storage
9 battery system, it is very promising because you just
10 have to make the tanks larger, more electrolyte, you
11 know, passing by a membrane that is, you know,
12 effectively energizing the electrolyte, and so you can
13 scale it at a very low cost. But its base system cost is
14 much higher. Also, its roundtrip efficiency is lower and
15 more variable than lithium-ion battery system costs, so
16 that's a concern as well.

17 With respect to pumped-storage hydro, I would
18 mention that, you know, this is 97 percent of the energy
19 storage capacity. Worldwide, these tend to be enormous
20 systems, very low cost in terms of the dollars per kWh at
21 about 165. The energy-to-power ratio tends to be much
22 higher, you know, something like 10 to 16 to 1. They can
23 -- they can operate for 50 years in some cases so they're
24 a very long-lived asset, but they are enormously

1 expensive, in the billions of dollars in terms of cost.

2 And so there have been no new large scale
3 pumped-storage hydro units built in the U.S. in the past
4 20 years. And there are significant permitting
5 requirements if it's an open-loop system because it's
6 interacting with the natural environment, and that is
7 enormously expensive. And so because it's not providing
8 baseload energy, it's difficult to demonstrate and ensure
9 the value of the system.

10 In addition to all the valuation and the cost
11 analysis that we're doing, we're also conducting
12 extensive battery testing at Pacific Northwest National
13 Laboratory. Typically, we start with electricity prices
14 and very specific conditions at a site, build in the
15 energy storage specifications, and we develop a series of
16 duty cycles that mirror the economic operation of the
17 battery system. So what does arbitrage look like at this
18 site for this system? What does the frequency regulation
19 look like? You know, what does capacity -- the provision
20 of capacity services look like for this energy storage
21 system at this location?

22 We go through the DOE -- OE test protocol, then
23 we mirror the economic operation, go back through the
24 test protocol sometimes multiple times. We collect 80 to

1 140 data tags per second in some cases, pass through a
2 filter where we're monitoring performance, and
3 effectively we have a number of parameters that we're
4 monitoring and our coefficients for each of those
5 parameters and how they affect roundtrip efficiency and
6 the state of health of the battery system is updated
7 continuously. And so we can predict with great accuracy
8 how different types of battery systems can perform, and
9 they perform quite a bit differently than you would
10 expect based on manufacturer specification and what you
11 read in industry literature.

12 So the next slide, Kendall. You'll see that we
13 recently evaluated four battery systems through the Clean
14 Energy Fund. Two were vanadium flow battery systems, a
15 technology that was developed at Pacific Northwest
16 National Laboratory and then was commercialized through
17 the UniEnergy Technologies' systems, and then two
18 lithium-ion battery systems, systems as small as 1 Mwh,
19 expanding out to 8 Mwh in energy-to-power ratios from 0.5
20 to 3.6.

21 The roundtrip efficiencies for the flow battery
22 systems were lower than the flow -- than that measured
23 for the lithium-ion battery systems and much less
24 variable, so we'll get on to that in a bit more in a

1 moment, but -- whereas, the lithium-ion battery systems
2 typically are in the high 70s to low 90s in terms of the
3 roundtrip efficiencies, the flow battery systems, in
4 fact, did fall into the 40s and 50s in terms of their
5 roundtrip efficiency based on how you're operating it.

6 So not only did the roundtrip efficiency differ
7 by chemistry, it will differ by duty cycle for the same
8 battery system. So for the Puget Sound Energy Glacier
9 lithium-ion battery system, basically these are the
10 roundtrip efficiencies. Each one of these little boxes
11 represent one week of testing in each of the various use
12 cases.

13 So for the lithium-ion battery system, as the
14 temperatures began to fall, you can see that the
15 roundtrip efficiencies also fell. And then depending on
16 the use cases, it varied quite a bit. So if there were
17 significant standby between the charging and discharging,
18 then it absorbed more standby losses. If the power
19 output level was quite low, then the auxiliary loads were
20 a larger share of the overall calculation. And so these
21 were some of the factors that influenced the roundtrip
22 efficiency factors.

23 So we've built this all into a single tool, and
24 what you'll see there in that chart to the right is as --

1 the lines converge over time, so when we initially
2 started testing battery systems, we would build duty
3 cycles for a one-week period, and then within two days we
4 would be outside of state of charge limitations. We'd
5 have to stop the testing and restart it after calibrating
6 to get the battery back to the state of charge that we
7 had expected.

8 After we developed this model and started using
9 it, then we found that we could go weeks without having
10 to recalibrate. And even if we were engaged in a very
11 complex duty cycle with a significant degree of ramping,
12 we could predict it quite accurately. We've also found
13 that this capability has allowed us to greatly enhance
14 the value from the services provided by the energy
15 storage system.

16 When it's charged, we charged it in the most
17 efficient way possible, and when we discharge, we know
18 exactly the roundtrip efficiency for each of our market
19 and nonmarket operations so we're not blindsided by poor
20 performance.

21 And effectively, the four -- the four variables
22 that were statistically significant in terms of
23 influencing roundtrip efficiency are power output level,
24 temperature, the state of charge range within which

1 you're operating, and whether you're charging or
2 discharging. And then over time, of course, degradation
3 also influences it.

4 So in this slide, effectively, as you can see
5 here, that for this one test for arbitrage, it was very
6 low value stream, but, you know, we obtained up to 50
7 percent more revenue when we could correctly predict the
8 performance of the battery system. So without enhanced
9 operational knowledge we were all over the place in terms
10 of operation, so we're bidding it in thinking we're
11 getting 90 and we're only getting 65.

12 And so with that enhanced operational knowledge
13 we really reduced the charging cost and could bid it into
14 the system more cost effectively. Even for a system
15 operating outside of the markets, you'll greatly enhance
16 the value with a -- with a large degree of real-time
17 operational knowledge. And we found that this value
18 proposition is even more enhanced through knowledge of
19 degradation. So we're going to be publishing something
20 very soon covering state of health. And what we found
21 there is that state of health matters a great deal. If
22 you over exercise the battery, you'll burn it out in
23 three or four years. So either you can operate it within
24 the limitations of the manufacturer's warranty -- that's

1 one way to limit degradation -- the other way is enhanced
2 operational knowledge. So with enhanced operational
3 knowledge you could push it a bit to obtain the maximum
4 amount of value, while not degrading the operation
5 capability of the system.

6 Let's skip ahead two slides, Kendall, please.

7 With respect to our controls work, I just wanted to
8 mention the optimization performance evaluation tool.

9 It's like a Monday morning quarterback. You operate the
10 battery system for a month. We then re-operate it for
11 another month and first simulate its operation and see
12 how much better we can do. And what we found is that we
13 can do typically much, much better than you did with your
14 control system for three reasons.

15 One is a prediction error. If you haven't
16 built in prediction properly into your accounting -- so
17 you're bidding it in, making some grand assumptions about
18 prices or not properly accounting for prices, you're
19 probably getting it wrong. If you don't have enhanced
20 operational knowledge associated with your system, you
21 may think you're getting 90 percent when you're getting
22 much lower than that.

23 And another thing is there's often a
24 signficatory of logic errors built in. You know, for a

1 utility in the Pacific Northwest they were using a
2 battery system to minimize these balancing payments that
3 they were paying to the Bonneville Power Administration
4 to avoid what were in most cases 10 percent penalties for
5 provision of balancing service, but absorbing 30 percent
6 roundtrip efficiency losses when doing so, so -- taking
7 30 percent losses to avoid a 10 percent penalty is not a
8 sound economic decision, and so our tool could catch that
9 and their control system didn't, didn't capture it.

10 So, you know, what we've learned is that siting
11 and sizing of energy storage system is incredibly
12 important. The consideration of a broad set of use cases
13 capturing, you know, optimal set of use cases, while
14 accounting for uncertainty, and accounting for
15 co-optimization based on the utility structure, the
16 benefits will vary quite considerably if you're operating
17 in and out of the market, and then battery
18 characteristics is important to capture those battery
19 characteristics correctly and efficiently.

20 Now, the future of energy storage at PNNL,
21 under the leadership of Dr. Gyuk and the Department of
22 Energy, we're expanding our models to include many forms
23 of energy storage, including non-battery storage. We
24 hope to work with Sandia National Laboratories and EPRI

1 to have a standard valuation -- industry standard
2 valuation model. We now have our competing models and
3 we'd like to have some collaboration there.

4 We're going to be developing optimal siting and
5 sizing of energy storage and balancing areas, so when
6 trying to answer the question how much and where for a
7 given balancing area, balancing authority, we're going to
8 be working on that over the next couple of years to have
9 a model to enable that -- utilities to answer that
10 question, increasing the performance, safety, and
11 reliability of grid-scale storage.

12 And then with respect to our policy work --
13 this is the equitable regulatory treatment -- we're
14 working with states like Hawaii, Nevada, Oregon, and
15 Washington, and addressing some of their challenges,
16 while implementing mandates and new legislative
17 requirements. We've built the DOE Energy Storage Policy
18 Database and we're developing an evaluation handbook, all
19 supporting Dr. Gyuk's program.

20 And then finally I'd like to acknowledge Dr.
21 Gyuk and Bob Kirchmeier who leads the Clean Energy Fund
22 work. I'll be meeting with your staff this afternoon and
23 my contact information is on the final slides.

24 And I have a few minutes, and I'd be happy to

1 take any questions you have.

2 CHAIR MITCHELL: Thank you very much, Mr.
3 Balducci. That was very helpful information you shared
4 with us. Are there any questions from Commissioners?
5 Commission Staff?

6 MR. BALDUCCI: We do have a few minutes, so --

7 MS. JONES: And it's Public Staff that you're
8 going to be meeting with --

9 MR. BALDUCCI: Yeah. I'm quite happy to --

10 MS. JONES: -- when we're done. Help me
11 understand the one chart -- let's see -- page 26, I
12 think, seems to indicate that when ambient temperature is
13 high, the battery efficiency is high. Am I getting that
14 right?

15 MR. BALDUCCI: Let me see here. So -- which
16 number is that? That's --

17 MS. JONES: Twenty-four (24). I'm sorry.

18 MR. BALDUCCI: Twenty-four (24). Okay. So
19 let's see here. Yes. The temperature -- did I say the
20 reverse? I thought I said as the temperatures fall,
21 yeah. Yeah. So as the temperature -- lithium-ion
22 battery systems perform well under higher temperatures to
23 a point, but they also have HVAC systems that allow them
24 to keep them from overheating and then had draws on

1 energy, of course. But up to a point they can -- yeah,
2 it would typically -- yeah.

3 MS. JONES: So how high is high? And if you
4 could help us understand, I mean, North Carolina is sort
5 of known for long, hot, humid summers.

6 MR. BALDUCCI: Right. Uh-huh.

7 MS. JONES: Is that a good thing or is that a
8 bad thing?

9 MR. BALDUCCI: I think it would be a good thing
10 up to a point, but it could ultimately be a bad thing.
11 Now, if the -- if the -- if my staff who work on this
12 were here, they could answer this question more
13 intelligently. But I will tell you this, that the
14 temperature at this site I don't think ever went above,
15 and this is the temperature in Celsius there, so I don't
16 think it ever went above the low 80s. So this is on the
17 Canadian border here, so there were very few cases where
18 if it approaches a hundred, and I'm speaking a bit out of
19 turn, but I would expect the roundtrip efficiency to fall
20 as the HVAC systems kick into a higher gear to ensure
21 that you maintain a satisfactory cooling level for those.
22 The auxiliary loads would rise.

23 And so there's chemistry effects that are
24 improving their roundtrip efficiency, but then there's

1 going to be thermal effects that I think drive it down
2 ultimately once you get into those very high
3 temperatures. I think that's what they would tell you.
4 Yeah. But we never -- we never reached them there.

5 MS. JONES: Sure.

6 MR. BALDUCCI: This was North Washington State
7 on the Canadian border, effectively.

8 And the other thing I was going to say -- so
9 let me make sure I cover this. So some of the barriers
10 -- you asked a question of Dr. Gyuk and he said ask
11 Patrick, but so with respect to states, you know, with
12 Integrated Resource Planning processes, you know, they're
13 not capturing sub-hourly benefits. Oftentimes they're
14 not capturing locational benefits as well. So either
15 it's being treated as a distribution asset and it's
16 comparing this to, let's say, a substation upgrade, you
17 know, a new transformer or something, but not capturing
18 all of the system level benefits that it can provide. Or
19 in the IRP it's capturing all of the system level
20 benefits, but not any of the location-specific benefits.
21 And also from state to state the interconnection
22 standards can differ quite significantly and there can be
23 barriers there.

24 With respect to markets, once again, you know,

1 the question is, is it a generator, is it a demand-side
2 resource, is it a regulating resource, and the answer is,
3 yes, it's all of those things. It can provide all of
4 them. It has to demonstrate the capacity to provide all
5 of those services, and there are ways to do it, and FERC
6 841 is now requiring it of all the regulated markets
7 throughout the United States.

8 Also, there can be sort of high thresholds, so
9 you can't bid into the market unless you have 1 MW or 2
10 MW of capacity. And, of course, there are smaller
11 battery systems that are yielding location-specific
12 benefits that could also provide market-level benefits,
13 but it's -- but it cannot participate because of the
14 requirements of the system, the sort of threshold levels.

15 And then once again, if it's rate based, then
16 FERC historically has not allowed for market
17 participation, despite the fact that it may only be
18 required for the specific service there locally very
19 infrequently. So if it can demonstrate its ability to
20 provide that local -- location-specific service and bid
21 into the market, so you have to do any sort of deration
22 through a performance test or something, it should be
23 allowed to get into those markets. And so With Nantucket
24 Island sort of leading the way, utilities are very

1 interested in pursuing that.

2 CHAIR MITCHELL: Commissioner Clodfelter.

3 COMMISSIONER CLODFELTER: I'm going to give
4 this a try, and we'll see if I can get it out. Sort of a
5 summary type question for you, and it's going to be a
6 specific case, our case.

7 MR. BALDUCCI: Yes.

8 COMMISSIONER CLODFELTER: Okay. So I'll get to
9 the question, but let me sort of lay out the parameters
10 first of sort of what the case entails. Say we've got
11 just south of 4 GW of installed or interconnected PV
12 solar third-party owned, third-party operated.

13 MR. BALDUCCI: Uh-huh.

14 COMMISSIONER CLODFELTER: The grid owner and
15 operator does not own and operate the solar PV.

16 MR. BALDUCCI: Uh-huh. Yeah.

17 COMMISSIONER CLODFELTER: Okay. The only price
18 signal that exists in this case is the contract price
19 negotiated between the grid owner and operator, that's
20 our regulated utility, and the solar PV generator.

21 MR. BALDUCCI: Uh-huh.

22 COMMISSIONER CLODFELTER: The -- assume that we
23 add storage or that storage is added to a substantial
24 chunk or maybe even all of that installed PV.

1 MR. BALDUCCI: Uh-huh.

2 COMMISSIONER CLODFELTER: The regulated grid
3 operator has no control over what kind of storage is
4 added, what technology, what the characteristics are
5 technically or economically, what the costs are of that
6 storage.

7 MR. BALDUCCI: Uh-huh.

8 COMMISSIONER CLODFELTER: Assume that that
9 storage is really opaque to the grid operator --

10 MR. BALDUCCI: Yeah.

11 COMMISSIONER CLODFELTER: -- in terms of
12 control. There's no control. Grid operator has no
13 control of that storage. It's charged off grid. It's
14 charged on the generator side of the inverter. It never
15 interacts with the grid directly except at the point of
16 the inverter. Should I conclude from that -- and that's
17 really the model, that's the case, that's going to be
18 that way. Assume that's going to be the way the case
19 goes forward. Should I give up trying to value any
20 service or value stream from that storage other than
21 arbitrage, pure arbitrage? Is there any other way I can
22 in that case -- again, the only price signal I've got is
23 the contract price of what's paid for the energy.

24 MR. BALDUCCI: Uh-huh.

1 COMMISSIONER CLODFELTER: Is there any other
2 way I can sort of effectively value any other stream of
3 value from that storage?

4 MR. BALDUCCI: Yeah. So --

5 COMMISSIONER CLODFELTER: And if so, what
6 tinkering or what modifications to the case do I need to
7 do?

8 MR. BALDUCCI: Yeah. Well, I'll try my best to
9 answer that question.

10 COMMISSIONER CLODFELTER: Okay. Well, I tried
11 my best to phrase the question. I don't know if I got it
12 to you --

13 MR. BALDUCCI: I totally understand it.

14 COMMISSIONER CLODFELTER: -- in an intelligible
15 way.

16 MR. BALDUCCI: Yeah, yeah, yeah. No. I'm
17 definitely following you. Now, why would the third party
18 invest in the storage? Why are they doing that, in terms
19 of is it a requirement of the utility? Are they going to
20 use it for --

21 COMMISSIONER CLODFELTER: Well, let's just say
22 I don't have an answer to that question other than the
23 fact that we have people pounding on our door who are
24 those generators who say they want to add storage.

1 MR. BALDUCCI: Well, would they otherwise --
2 would some of the energy produced by the PV effectively
3 be curtailed or not compensated, or is there a higher
4 compensation rate for --

5 MR. McDOWELL: Could be curtailed, but the
6 avoided cost that they are paid is very granular now and
7 has a higher value during those peak hours. So
8 potentially it's part of the arbitrage opportunity, but
9 they could -- it would be a value proposition to them.

10 MR. BALDUCCI: Right, right. And there is a --
11 there is a regional energy market, but no ancillary
12 services -- ancillary service market or -- yeah. Right.

13 COMMISSIONER CLODFELTER: Either.

14 MR. McDOWELL: Yeah. Either.

15 MR. BALDUCCI: Well, okay. Or there's a just a
16 time of use component to the --

17 MR. McDOWELL: Right.

18 MR. BALDUCCI: -- to the energy price.

19 MR. McDOWELL: Right.

20 MR. BALDUCCI: Okay. All right. Yeah.

21 COMMISSIONER CLODFELTER: The question is
22 should I just give up trying to sort of value anything
23 other than arbitrage?

24 MR. BALDUCCI: Yeah. I don't -- you know, I

1 don't know if -- so just a few things. So, you know,
2 sometimes it's a requirement the solar, you know, the
3 storage with the solar would be a requirement because it
4 has a grid impact if you just have intermittent energy
5 hitting the system. Similarly, in the Pacific Northwest
6 they will have to pay \$15 per MWh for that solar that
7 they produce if it's above like 1 MW or something like
8 that because the Bonneville Power Administration is
9 effectively balancing that resource.

10 I would say this, that there is additional
11 value that could be generated. How it would be captured
12 typically is through third-party agreements with the
13 utilities as opposed to, you know -- because, you know,
14 it could provide some form of frequency regulation or it
15 could provide a capacity benefit, right, because firming
16 up that wind enhances its capacity.

17 So there are -- there are a number of values
18 that could be generated. How you capture those values
19 from a regulatory perspective, I mean, enabling the
20 utilities to work with this third party to monetize it, I
21 guess, and build it into their rates I suppose would be
22 the way you do it.

23 MR. McDOWELL: Well, and you hit on part of
24 that formula --

1 MR. BALDUCCI: Yeah.

2 MR. McDOWELL: -- earlier when you were talking
3 about the intermittency and what role storage can play --

4 MR. BALDUCCI: Yeah.

5 MR. McDOWELL: -- in mitigating that, and
6 that's real here in North Carolina as well in terms of --

7 MR. BALDUCCI: Right.

8 MR. McDOWELL: -- recognizing that.

9 MR. BALDUCCI: But no one is penalized for
10 making the situation worse?

11 MR. McDOWELL: In the avoided cost for the
12 standard contracts, yes, there is a -- you could call it
13 penalty or an opportunity there that --

14 MR. BALDUCCI: I see.

15 MR. McDOWELL: -- storage could play in.

16 MR. BALDUCCI: Uh-huh. So could the Utility
17 Commission work with the utilities to allow them to
18 structure those avoided cost agreements differently to
19 take advantage of those other value streams more
20 extensively?

21 MR. McDOWELL: I think that's part of the
22 formula.

23 MR. BALDUCCI: Yeah.

24 COMMISSIONER CLODFELTER: I think that's really

1 what the gist of the question was looking for, is where
2 do we enter -- where do we enter this to try to sort of
3 tinker? Do we enter it at the regulatory policy stage?
4 Do we enter it at the contractual stage, which is really
5 all we've got because we don't have markets?

6 MR. BALDUCCI: Right.

7 COMMISSIONER CLODFELTER: So all we've got is
8 the contract negotiation instead of the market. Or is it
9 something that requires technological retrofitting? Or
10 does it require all of those?

11 MR. BALDUCCI: Yeah. I mean, I guess, you
12 know, I'm not a regulatory expert. Those were the last
13 two people that were here. But, I mean, it's generally
14 -- my conclusion is that there is more value that could
15 be generated, but from a regulatory perspective you have
16 to enable the contracts to capture those values. So if
17 you can do that, it seems like that would be the way to
18 go.

19 MR. McDOWELL: So Patrick, obviously, there's
20 some robust modeling tools available --

21 MR. BALDUCCI: Yeah.

22 MR. McDOWELL: -- to you that have evolved over
23 time and are utilized to do these assessments that you've
24 highlighted here, whether it's at Portland General or

1 some of these others.

2 MR. BALDUCCI: That's right.

3 MR. McDOWELL: Part of what's advanced, you
4 mentioned operational knowledge --

5 MR. BALDUCCI: Uh-huh. That's right.

6 MR. McDOWELL: -- as contributing to that. I
7 read with interest on slide 27 the key lesson there, I
8 think, is of interest, development of control strategies
9 is required to obtain value in real time.

10 MR. BALDUCCI: That's right.

11 MR. McDOWELL: We should not compete in
12 developing real-time control systems; rather, we should
13 propel the industry forward through development of
14 advanced algorithms and this optimization performance
15 enhancement tool. Is that your tool or is that just a
16 general --

17 MR. BALDUCCI: That's our tool, yes --

18 MR. McDOWELL: Okay.

19 MR. BALDUCCI: -- that we developed under Dr.
20 Gyuk's program.

21 MR. McDOWELL: So a lot of these algorithms you
22 have in place, you want to advance those and continue to
23 utilize those both in these specific projects that you're
24 contracted to. Is that knowledge transferable to all of

1 the states in terms of what the models can produce or do
2 you have to go through your own pilot programs to
3 understand this to develop models of what --

4 MR. BALDUCCI: Yeah. So, you know, all the
5 work we do is publicly available. We're a national
6 laboratory. We have to make it publicly available. We
7 can't withhold the -- after all, the taxpayers paid for
8 it. Some of our tools are readily available in the
9 public space, and you can sign an agreement, you know,
10 just a legal agreement, it doesn't cost anything, but --
11 and utilize them, those it's challenging, of course.

12 You know, all these projects were -- almost all
13 of these projects were funded through public entities,
14 either the Department of Energy or through states, so
15 there's interaction that way.

16 And then finally, you know, we do have, you
17 know, regulatory funding as well to support, you know,
18 states quite directly. So Jeremy Twitchell was here
19 previously. He leads that space. So through that
20 program if you wanted to access our capabilities and, you
21 know, we come back, we share more information, we share
22 the algorithms, we work with you, that can be done. And
23 I think that there's probably funding available to do
24 that sort of thing. I mean, that's what we're here for,

1 really, is to improve conditions throughout the country,
2 level the analytical playing field, you know, demystify
3 how these systems operate and help, you know, more
4 widespread development to more efficiency on the grid, so
5 yeah, we -- I'm confident we could help.

6 CHAIR MITCHELL: One question for you. You
7 mentioned in this -- I'm looking at your -- I guess it's
8 page -- slide number 7, but you mentioned for every 6 MW
9 of renewables requiring at this point in time 1 MW of
10 balancing. How developed is that ratio? Can you tell us
11 just a bit about --

12 MR. BALDUCCI: It was -- it was a single study
13 that we did --

14 CHAIR MITCHELL: Okay.

15 MR. BALDUCCI: -- about six years ago,
16 actually. And what we did was we modeled a 20 percent
17 nationwide renewable portfolio standard. So the idea was
18 what if we had 20 percent renewable portfolio standard?
19 Then we scanned the country. Where would you put, you
20 know, wind and solar to take maximum advantage of the
21 wind speeds and the irradiation and all of those things.
22 And then if you place that in those grids -- and we had,
23 you know, WEC wide, Eastern Interconnect wide, and ERCOT
24 wide production cost models, you know, what would you

1 have to do to maintain grid conditions at current levels,
2 and then we established balancing resources required and
3 then evaluated several different balancing resources,
4 pumped-storage hydro, various battery systems, and
5 combustion turbines. And the battery systems then didn't
6 fair as well, but then forecast out to 2020 and, if
7 anything, our forecasts were conservative. They
8 performed quite well. So battery systems are very
9 efficient doing that.

10 But that was effectively -- so it was a
11 nationwide study that we developed based on a modeling
12 technique and an assumption of a 20 percent renewable
13 portfolio standard.

14 CHAIR MITCHELL: Okay.

15 MR. BALDUCCI: Yeah.

16 CHAIR MITCHELL: Thank you very much.

17 MR. BALDUCCI: Uh-huh. And once again, it was
18 6 to 1 if you were starting from nothing, but given
19 existing resources it was more like 10 to 1 because we
20 had some balancing resources that weren't fully called
21 upon to provide this balancing, right, so on the margin
22 we were saying 10 to 1, and that's nationally, but it was
23 broken down by region. You'd have to look for the
24 Southeast.

1 CHAIR MITCHELL: Thank you. Any additional
2 questions from Commissioners?

3 (No response.)

4 CHAIR MITCHELL: Well, thank you, Mr. Balducci.
5 We appreciate your time today.

6 MR. BALDUCCI: Yeah. Thank you very much.

7 CHAIR MITCHELL: Okay. And with that we will
8 be adjourned for today. We will convene again on
9 Tuesday, January 21st, in this same room at 1:00 for our
10 next series of presentations. Thank you very much.

11 (The proceedings were adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24

STATE OF NORTH CAROLINA


COUNTY OF WAKE

C E R T I F I C A T E

I, Linda S. Garrett, Notary Public/Court Reporter,
do hereby certify that the foregoing hearing before the
North Carolina Utilities Commission in Docket No. E-100,
Sub 164, was taken and transcribed under my supervision;
and that the foregoing pages constitute a true and
accurate transcript of said Hearing.

I do further certify that I am not of counsel for,
or in the employment of either of the parties to this
action, nor am I interested in the results of this
action.

IN WITNESS WHEREOF, I have hereunto subscribed my
name this 8th day of April, 2020.



Linda S. Garrett

Notary Public No. 19971700150