

1 PLACE: Via Videoconference  
2 DATE: September 30, 2021  
3 DOCKET NO.: E-100, Sub 165  
4 TIME IN SESSION: 2:00 P.M. TO 4:47 P.M.  
5 BEFORE: Commissioner Daniel G. Clodfelter, Presiding  
6 Chair Charlotte A. Mitchell  
7 Commissioner ToNola D. Brown-Bland  
8 Commissioner Lyons Gray  
9 Commissioner Kimberly W. Duffley  
10 Commissioner Jeffrey A. Hughes  
11 Commissioner Floyd B. McKissick, Jr.

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

IN THE MATTER OF:  
Technical Conference  
2020 Biennial Integrated Resource Plan Reports  
and Related 2020 REPS Compliance Plans by Duke Energy  
Carolinas and Duke Energy Progress

Volume 2

1     A P P E A R A N C E S:  
2  
3     FOR DUKE ENERGY PROGRESS, LLC AND  
4     DUKE ENERGY CAROLINAS, LLC:  
5     Jack Jirak, Esq.  
6     Deputy General Counsel  
7     Duke Energy Corporation  
8     410 South Wilmington Street  
9     Raleigh, North Carolina 27602  
10  
11    Brett Breitschwerdt, Esq.  
12    McGuireWoods LLP  
13    501 Fayetteville Street, Suite 500  
14    Raleigh, North Carolina 27601  
15  
16    FOR VIRGINIA ELECTRIC AND POWER COMPANY d/b/a  
17    DOMINION ENERGY NORTH CAROLINA:  
18    Andrea Kells, Esq.  
19    McGuireWoods LLP  
20    501 Fayetteville Street  
21    Raleigh, North Carolina 27601  
22  
23  
24

1     A P P E A R A N C E S   (Cont'd):  
2     FOR CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY  
3     RATES II:  
4     Christina Cress, Esq.  
5     Bailey & Dixon, LLP  
6     434 Fayetteville Street, Suite 2500  
7     Raleigh, North Carolina 27601  
8  
9     FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:  
10    Benjamin Smith, Esq.  
11    Regulatory Counsel  
12    4800 Six Forks Road, Suite 300  
13    Raleigh, North Carolina 27609  
14  
15    FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY, THE SIERRA  
16    CLUB, AND NATURAL RESOURCES DEFENSE COUNCIL:  
17    Gudrun Thompson, Esq.  
18    Senior Attorney  
19    Nicholas Jimenez, Esq.  
20    Staff Attorney  
21    Southern Environmental Law Center  
22    601 West Rosemary Street, Suite 220  
23    Chapel Hill, North Carolina 27516  
24

1    A P P E A R A N C E S   (Cont'd):  
2    FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION AND  
3    TECH CUSTOMERS:  
4    Craig D. Schauer, Esq.  
5    Marcus Trathen, Esq.  
6    Brooks Pierce  
7    150 Fayetteville Street, Suite 1700  
8    Raleigh, North Carolina 27601  
9  
10   FOR CAROLINAS CLEAN ENERGY BUSINESS ASSOCIATION:  
11   John D. Burns, Esq.  
12   General Counsel  
13   811 Ninth Street, Suite 120-158  
14   Durham, North Carolina 27705  
15  
16   FOR NC WARN AND THE CENTER FOR BIOLOGICAL DIVERSITY:  
17   Matthew D. Quinn, Esq.  
18   Lewis & Roberts, PLLC  
19   3700 Glenwood Avenue, Suite 410  
20   Raleigh, North Carolina 27612  
21  
22  
23  
24

1    A P P E A R A N C E S    (Cont'd):  
2    FOR THE USING AND CONSUMING PUBLIC AND THE STATE OF  
3    NORTH CAROLINA AND ITS CITIZENS:  
4    Margaret A. Force, Esq.  
5    Special Deputy Attorney General  
6    Teresa L. Townsend, Esq.  
7    Special Deputy Attorney General  
8    North Carolina Department of Justice  
9    Post Office Box 629  
10    Raleigh, North Carolina 27602  
11  
12    FOR THE USING AND CONSUMING PUBLIC:  
13    Lucy E. Edmondson, Esq.  
14    Layla Cummings, Esq.  
15    Robert B. Josey, Esq.  
16    Public Staff - North Carolina Utilities Commission  
17    4326 Mail Service Center  
18    Raleigh, North Carolina 27699-4300  
19  
20  
21  
22  
23  
24

1 P R E S E N T E R S  
2 Duke:  
3 Coal Retirements Panel:  
4 Glen Snider Michael Quinn  
5 Dan Donochod Robert McMurry  
6 All Source Procurement Panel:  
7 Glen Snider George Brown  
8 Jim Northrup Bill Quaintance  
9 Grid/Transmission Panel:  
10 Glen Snider Bill Quaintance  
11 Sammy Roberts Nick Wintermantel  
12 Mark Byrd  
13  
14 Southern Alliance for Clean Energy, Natural Resources  
15 Defense Council, the Sierra Club, Carolinas Clean  
16 Energy Business Association, and the North Carolina  
17 Sustainable Energy Association:  
18 Rachel Wilson Jeremy Fisher  
19 John Wilson Steven Levitas  
20 Jay Caspary  
21  
22 Attorney General's Office:  
23 Edward Burgess Maria Roumpani  
24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R E S E N T E R S (Cont'd.):

Public Staff:

Dustin Metz

Jeff Thomas

Bob Hinton

1 P R O C E E D I N G S

2 COMMISSIONER CLODFELTER: When we broke, we had  
3 completed the presentations and we were ready to deal  
4 with questions, so we'll start first with any questions  
5 from Commission Staff. Mr. McDowell? Mr. McDowell is  
6 taking a late lunch. I know he has questions. Let's go  
7 ahead and see --

8 MR. McDOWELL: I am back and I do have just a  
9 couple of questions.

10 COMMISSIONER CLODFELTER: Okay.

11 MR. McDOWELL: This is for the team in total,  
12 I'm not sure which individual specifically, but on this  
13 slide 10 it was mentioned that PacifiCorp subsequently  
14 rejected endogenous retirement. What's the -- what's the  
15 subject matter there?

16 MR. FISHER: I'm sorry. When you say "What's  
17 the subject matter" --

18 MR. McDOWELL: Yeah. Well, just --

19 MR. FISHER: -- in terms of what they reject?

20 MR. McDOWELL: -- that decision. Do you have  
21 any insights into that?

22 MR. FISHER: Yeah. So PacifiCorp didn't  
23 necessarily explain its reasoning in full, but subsequent  
24 to this IRP it started looking a little bit more closely



1 at its Regional Haze obligations, and at least it made  
2 the case that the complications of looking at its  
3 Regional Haze obligations and the potential to -- at  
4 least within the West -- trade off between units with  
5 different Regional Haze obligations made it too difficult  
6 to look at an endogenous retirement scenario and, rather,  
7 look at more explicit tradeoffs between plants that could  
8 allow for environmental compliance.

9 MR. McDOWELL: So that would have been with  
10 tools such as System Optimizer?

11 MR. FISHER: That's right. It continued to use  
12 System Optimizer and it continued to look at unit  
13 retirements. It just took into account a series of  
14 additional considerations that have tradeoffs that were  
15 more difficult to implement within the modeling  
16 structure.

17 MR. McDOWELL: Okay. Thank you for that. So  
18 PacifiCorp apparently uses PLEXOS now; is that correct?

19 MR. FISHER: I believe so.

20 MR. McDOWELL: And PLEXOS and EnCompass have  
21 similar capabilities or functionality?

22 MR. FISHER: I'm going to turn to Rachel to  
23 discuss this if she's a part --

24 MS. WILSON: Sure. They're --

1 MR. FISHER: -- on this one.

2 MS. WILSON: They're generally similar  
3 capabilities, though the two use different algorithms,  
4 and so you wouldn't necessarily expect that you might get  
5 exactly the same results if you were to put the same  
6 inputs into the two models.

7 MR. McDOWELL: Okay. But they work in this --  
8 in a similar direction or --

9 MS. WILSON: That's correct. Yes. They have  
10 many of the same capabilities.

11 MR. McDOWELL: So on your last slide, your  
12 recommendation for Duke is to revise the coal assessment  
13 methodology and update the coal retirement study. I  
14 think I read that correctly.

15 MS. WILSON: That's right.

16 MR. McDOWELL: And in an earlier slide -- and I  
17 don't know whether to connect these or not; I wrote this  
18 -- as you stated on an earlier slide, increasingly  
19 sophisticated energy system models can endogenously  
20 evaluate and optimize unit retirements and cost effective  
21 replacement. So was -- is that what the recommendation  
22 is, for Duke to move to a model that -- to model the coal  
23 retirements endogenously in what you are proposing, or is  
24 it --

1 MS. WILSON: I think our recommendation is a  
2 combination of approaches, and --

3 MR. McDOWELL: Okay.

4 MS. WILSON: -- this is -- modeling unit  
5 retirements is as much an art as it is a science, and so  
6 oftentimes it involves doing a model run, going back and  
7 making a change, doing another model run, and comparing,  
8 you know, the results of all of those runs.

9 So I think that our recommendation would be to  
10 use endogenous retirements where you can. When you can,  
11 make sure that you're taking into account the limitations  
12 to endogenous retirements, and then also performing a  
13 unit-by-unit analysis where it could be informative or  
14 when you're dealing with specific constraints like Mr.  
15 Fisher mentioned that don't lend themselves well to  
16 endogenous retirements exclusively.

17 MR. McDOWELL: Okay. Thank you for that. I  
18 appreciate that clarification. Are you familiar with  
19 PacifiCorp's 2021 IRP and the report that was published  
20 earlier this month?

21 MR. FISHER: So this is Jeremy. To be honest,  
22 I actually have not been following as closely for this  
23 year's PacifiCorp process, and I believe that AG  
24 consultants may be speaking to that process.

1 MR. McDOWELL: I glanced through the report and  
2 read on page 221 that -- and I'll quote here -- "New to  
3 this IRP is using the long-term model to consider the  
4 retirement of coal endogenously." So that's a quote from  
5 their IRP report that was just released in early  
6 September.

7 What is discussed as new to the PacifiCorp IRP  
8 sounds very similar to part of the recommendation that  
9 you would have Duke take or others might suggest, other  
10 parties might suggest. Is that your take on that?  
11 Again, I can read this statement from the IRP. "New to  
12 this IRP is using the long-term model to consider the  
13 retirement of coal endogenously," which is a -- sounds  
14 like an evolution from what they were doing earlier and  
15 the position they had taken.

16 MR. FISHER: Yeah. And I apologize. I don't  
17 mean to get us down into the weeds for how PacifiCorp's  
18 IRP process has evolved over the years. It has --

19 MR. McDOWELL: Please don't.

20 MR. FISHER: I won't. It has evolved  
21 substantially, and Sierra Club and other Intervenors have  
22 had substantial concerns with many of the ways that those  
23 analyses have either been conducted or ultimately  
24 determined at the end of the day. So I believe that

1 coming off of the last resource planning process there  
2 was a concern amongst Intervenors and Staff from selected  
3 states that PacifiCorp should probably return to an  
4 endogenous mechanism or include an endogenous mechanism  
5 in the way that it's looking at its coal retirement  
6 assessment. I don't think that the statement that it is  
7 completely new to their system is actually accurate. It  
8 was --

9 MR. McDOWELL: Okay.

10 MR. FISHER: -- in 2013.

11 MR. McDOWELL: All right. I appreciate that.  
12 I may ask Mr. Burgess about that same statement. He may  
13 be more familiar.

14 Thank you. That's my final question.

15 MS. WILSON: So I'll also just add that their  
16 use of a new model might have influenced that decision as  
17 well. System Optimizer has specific limitations in the  
18 way that it does its optimization, and so that might also  
19 constrain somewhat its ability to do endogenous  
20 retirements. The shift to PLEXOS might have enabled  
21 PacifiCorp to -- and this is speculation on my part --  
22 might have enabled PacifiCorp to, you know, revitalize  
23 that methodology for its IRP going forward.

24 MR. McDOWELL: Okay. Thank you very much.

1           COMMISSIONER CLODFELTER: I think we'll turn to  
2 Commissioners. Commissioner Brown-Bland?

3           COMMISSIONER BROWN-BLAND: Thank you. I don't  
4 have any questions.

5           COMMISSIONER CLODFELTER: Commissioner Gray?

6           COMMISSIONER GRAY: Thank you as well. I have  
7 no questions.

8           COMMISSIONER CLODFELTER: Chair Mitchell?

9           CHAIR MITCHELL: I do have a few. And you all  
10 just bear with me here because remember I'm a lawyer, so  
11 the technical stuff is difficult for me, so just forgive  
12 kind of questions that may be -- that may sound just  
13 stupid.

14           But help me understand -- I mean, I've listened  
15 to you all's presentation today, followed along as you've  
16 described your recommendations. And I think I get them  
17 for the most part and the limitations that you all have  
18 described with respect to the tools that Duke used and  
19 the way that Duke employed its analysis, but at the end  
20 of the day, what is going to be -- let's assume for a  
21 minute that Duke took -- followed your recommendations  
22 and performed its analysis as you would have liked them  
23 to. Where does that lead? What's the outcome?

24           MS. WILSON: So I'll start. I think it leads

1 to, first off, an assessment of, or a conclusion, rather,  
2 of which econo--- which units, rather, are providing  
3 value to the system and which are not at this point. And  
4 in addition to that, looking forward, if there are units  
5 that are providing value today, is there a date at which  
6 Duke anticipates those units are no longer going to be  
7 valuable, and if yes, what is that date.

8           They would provide backup to their analysis.  
9 We would be able to see workpapers that, you know,  
10 demonstrate their methodology, that we could follow  
11 through to see those calculations and see the evidence  
12 that that analysis was done. So that would be Step 1 is,  
13 you know, redoing this rank ordering of unit retirement  
14 dates to truly be economic.

15           And then the second would be an optimized  
16 replacement portfolio that allows EnCompass to select the  
17 resources that could most economically replace retiring  
18 coal. And we'd like to see a more diverse set of  
19 resource options that might include additional DSM  
20 measures, and then, you know, solar, both on and offshore  
21 wind and storage.

22           CHAIR MITCHELL: Okay. So thank you for that.  
23 And so just make sure I've got it. Were Duke to perform  
24 its analysis as you've recommended, what we have at the

1 end of that exercise is an understanding on a plant-by-  
2 plant basis as to when it -- as to when it would be --  
3 when it becomes uneconomical; is that --

4 MS. WILSON: That was a unit-by-unit basis, but  
5 otherwise, yes.

6 CHAIR MITCHELL: Okay. Unit-by-unit basis.  
7 Okay. I'm with you there. Okay.

8 MR. FISHER: Can I take it one step further, if  
9 that's okay, because I think I might be interpreting your  
10 question as well as what kind of outcome would we expect  
11 to see that's different from what we've seen.

12 And I suspect that part of the process of using  
13 the sequential peaker method in the way that Duke has  
14 used it has resulted in additional value being put into  
15 the later retired units in a way that is not necessarily  
16 consistent with what we'd actually see in the future. So  
17 what we'd actually expect to see is as we retire units  
18 today, we replace the performance requirements of those  
19 with a new portfolio, and then we have a new assessment  
20 that happens in a future year as to what the remaining  
21 value is of the units that are coming in place.

22 And while there might be some changes to the  
23 value of those future retire--- of future retired units  
24 that changes by virtue of having changed our portfolio



1 today, it's not necessarily a substantially increased  
2 value on those on a go-forward basis. And it might  
3 actually be a substantially decreased value. If we have  
4 a really high renewable portfolio, you may, in fact, have  
5 a very low energy value to those coal units sometime in  
6 the future.

7 And so I think that running through the process  
8 that we're recommending, you'd actually see a  
9 substantially different portfolio of units retiring, and  
10 we think probably earlier than Duke has put forward right  
11 now.

12 CHAIR MITCHELL: Okay. Okay. All right.  
13 That's very helpful. I appreciate your follow up there.

14 Okay. And then Ms. Wilson, you indicated sort  
15 of second that you would -- that the actual model would  
16 optimize the resource mix going forward. And so how is  
17 that --

18 MS. WILSON: Well -- and let me clarify.  
19 Optimize the resource mix going forward in conjunction  
20 with that unit retirement date because Duke did optimize  
21 its resource mix, but only after it had determined the  
22 economic retirement path.

23 CHAIR MITCHELL: Okay. So that -- you kind of  
24 anticipated, you know, where I'm going. So just explain

1 that to me in a very basic way, sort of what Duke did  
2 versus what would happen were they to conduct the  
3 analysis as you have suggested.

4 MS. WILSON: Sure. So the economics of unit  
5 retirement have to do with two things. The first is the  
6 cost to actually operate your coal-fired unit, and then  
7 the second thing would be the cost of any replacement  
8 resources that are -- that would fill in after that unit  
9 retires.

10 And so, you know, today or even five years ago  
11 the cost of those replacement resources that we would  
12 suggest that Duke would consider, so solar, wind, battery  
13 storage, are higher than what the expectation is that  
14 those costs will be in the future. And so if you are  
15 overlooking the capacity optimization as it goes along  
16 with unit retirement, you are not considering the fact  
17 that those costs will be falling over time and taking  
18 into consideration when the cost of those replacement  
19 resources might become cheaper than the cost to operate  
20 your -- continue to operate your coal unit.

21 CHAIR MITCHELL: Okay. Okay. So a little bit  
22 more, help me understand what Duke did specifically  
23 versus what you would do, what you would have them do.

24 MS. WILSON: So when Duke was looking at its

1 replacement resources, it was looking at the cost of a  
2 CT. That's a relatively mature technology. There can be  
3 some decrease in cost associated with commodities, but  
4 generally that's expected to be relatively flat over  
5 time, particularly in comparison to solar and wind and  
6 storage which have been and will be continuing to fall.

7 And so when Duke looks out at various unit  
8 retirement dates in the future, you might anticipate that  
9 coal is getting more expensive, the cost of that  
10 replacement CT is staying the same over time, whereas  
11 when you're comparing the cost of retirement, say, in  
12 2023 to a non-fossil portfolio, maybe the coal still  
13 looks good, but in 2024 coal might be getting a little  
14 more expensive, whereas your replacement portfolio is  
15 getting a little bit cheaper. And so you'll find that  
16 with those change in costs, maybe 2024 is then your  
17 economic retirement date for that particular unit.

18 CHAIR MITCHELL: Okay. Okay. All right.  
19 Thank you very much. That's very helpful. Okay. I have  
20 nothing further for these witnesses. Thank you.

21 MS. WILSON: Thank you.

22 COMMISSIONER CLODFELTER: Commissioner Duffley,  
23 anything?

24 COMMISSIONER DUFFLEY: Thank you for your

1 presentation. I have no further questions.

2 COMMISSIONER CLODFELTER: Commissioner Hughes?

3 COMMISSIONER HUGHES: Yes. Just one question,  
4 and it's kind of a preview for maybe the third topic  
5 we're going to discuss, but on one of your slides you did  
6 have this line tucked in. It's, you know, recognizing  
7 impacts on transmission loading and constraints as just  
8 one of the really hard things about all this modeling. I  
9 haven't heard you or anyone else elaborate on that and  
10 kind of give solutions to that. Does what you're  
11 proposing address that or just any -- you know, a few  
12 thoughts on where we are now with our modeling versus  
13 that constraint and where we should be.

14 MS. WILSON: Sure. Those things can certainly  
15 be incorporated into the current modeling in specific  
16 ways. And some of those are to set up different areas in  
17 the model that represent transmission constraints, so you  
18 can essentially set up the flows between different areas  
19 as being open or being somewhat limited to represent  
20 those constraints that might exist.

21 Other ways to do that within the model are to  
22 add interconnection costs to the cost of specific  
23 resources that might be added as replacements. There are  
24 a number of, I'll say, also transmission solutions, and

1 one of the benefits to technologies like solar and  
2 storage are that they are highly modular and you can  
3 construct them in any size essentially that you want. So  
4 they might be a solution to alleviate some of these  
5 transmission constraints, siting them in specific load  
6 pockets that could actually help power flow more  
7 efficiently.

8 And that's just, you know, a number of  
9 different things to consider. Duke would also have to  
10 use more sophisticated power flow models to map those  
11 constraints more accurately than what can be done in  
12 EnCompass or other similar types of models.

13 And if Jeremy has anything to add, I'd --

14 MR. FISHER: Yeah.

15 MS. WILSON: -- welcome his response.

16 MR. FISHER: Let me just add in one more step  
17 there, is that there are some circumstances in which  
18 either the retirement of a unit or the addition of new  
19 resources does cause a substantial change to the way that  
20 transmission is otherwise flowing. I think that's less  
21 likely overall in Duke's service territory where there is  
22 a substantial amount through interconnection than some of  
23 the utilities that we find in the West, where they're  
24 really quite long distances and singular transmission

1 lines between spaces where those constraints are both  
2 meaningful and highly expensive to potentially remedy.

3 I think for the most part what we've seen other  
4 utilities do, is they run these optimization models and  
5 then they look at the implications on their transmission  
6 system, see what kinds of remedies are required in order  
7 for people to go there and then tweak the results in  
8 order to be able to hit those remedies, and then you look  
9 at the final cost on the back side of that.

10 COMMISSIONER HUGHES: Just a quick follow up.  
11 Thank you for that, both of you. Your, I think, middle  
12 approach, Ms. Wilson, was adding the cost of transmission  
13 somehow into the model, and that's the one I'm  
14 particularly interested in because I was under the  
15 impression that there could be some very substantial  
16 transmission cost in Duke's territory depending kind of  
17 their resource mix moving forward, and that just -- I  
18 just wondered if that's going to need to be modeled more  
19 accurately in the future. And so, I mean, you know, to  
20 me it seems like you're second approach would make sense,  
21 and my gut feeling is that that could have significant  
22 impacts on the model, but I may --

23 MS. WILSON: So Duke does do this, as do most  
24 utilities to some extent, in calculating a transmission

1 adder that gets included with the capital cost of a  
2 specific resource that's selected. You know, the  
3 challenge there is that each of the resources, depending  
4 on where they're being cited, could have a very different  
5 transmission adder that needs to be associated with them.

6 Some of them, that interconnection cost might  
7 be zero, and for others it might be quite a bit higher,  
8 so depending on where the resource is sited, you know.  
9 Duke may need to get more granular with respect to that  
10 to take into consideration those differing  
11 interconnection costs.

12 COMMISSIONER HUGHES: Thank you for that. I  
13 appreciate it.

14 COMMISSIONER CLODFELTER: Anything further?

15 COMMISSIONER HUGHES: Nothing further.

16 COMMISSIONER CLODFELTER: Commissioner  
17 McKissick?

18 COMMISSIONER McKISSICK: Commissioner  
19 Clodfelter, just one or two questions. Of course, you  
20 heard Duke today talk about, you know, moving to the use  
21 of the EnCompass system or modeling, you know, in 2022  
22 and beyond. It's come up also in the course of your  
23 presentation. And, of course, that's supposed to provide  
24 additional capacity -- capacity expansion module, a

1 production cost module, and it's supposed to help in  
2 cooptimizing, you know, early retirement of the coal  
3 fleet, but what is it that you would state or suggest or  
4 recommend that EnCompass could do more than what they are  
5 articulating and stating that they intend to use it for?  
6 I mean, if you were to today sit back and look into that  
7 crystal ball to say what additional capacities that it  
8 needs or should evaluate in terms of attributes and  
9 concerns or costs, what would they be?

10 MS. WILSON: So in contrast to what Duke is  
11 doing now, which is a two-step or I'll say a two-model  
12 process, they use System Optimizer for the capacity  
13 expansion component and then ProSim for the production  
14 cost or dispatch component, which involves transferring  
15 the buildout that comes from System Optimizer to a  
16 different model for a whole new analysis. EnCompass has  
17 the ability to do both of those functions, and so there  
18 is no transfer of data from one model to the other.  
19 You're bringing everything under one platform,  
20 essentially.

21 The second thing that I would say that  
22 EnCompass has the ability to do better than System  
23 Optimizer is to model resources at a higher level of  
24 granularity. So the dispatch patterns for solar, wind,



1 and battery storage, there can be quite a bit of hourly  
2 variation. And I'm sorry, my husband is talking to  
3 someone behind. The pleasures of working from home.

4 COMMISSIONER McKISSICK: I understand. I get  
5 it.

6 MS. WILSON: EnCompass is able to better model  
7 those hourly patterns as well as any subhourly  
8 adjustments. System Optimizer uses something called a  
9 load duration curve, where it stacks its hours from  
10 periods of high load to low load and does the dispatch  
11 that way. So you might get an overestimate of the amount  
12 of energy that's coming from fossil-fired units,  
13 particularly coal, because you're representing something  
14 -- and I apologize for the hand motions -- something that  
15 looks like this (indicating) as opposed to something that  
16 looks like this (indicating), and varies, you know, day  
17 to day or hour to hour.

18 So, you know, there are certainly capabilities  
19 that EnCompass has that are an improvement over System  
20 Optimizer and allow for better integration of the types  
21 of variable resources that Duke is going to be adding to  
22 its system.

23 COMMISSIONER McKISSICK: Okay. And you  
24 mentioned earlier, I believe, in your comments about the

1 fact that one thing that isn't appropriately taken into  
2 consideration in methodology that's presently being used  
3 is decreasing costs that will occur in the future when it  
4 comes to wind, solar, battery storage. How do you  
5 appropriately analyze today what the rate and amount of  
6 decline will be in the future with any degree of accuracy  
7 beyond it being mere speculation?

8 MS. WILSON: So the only certainty that we have  
9 about the future is that it's going to be very uncertain.  
10 That being said, there are a number of publicly available  
11 forecasts that look at these costs over time in some  
12 detail. Most of them are largely in agreement about the  
13 direction of these decreases, though they vary somewhat  
14 in terms of magnitude. And so I think it's important to  
15 survey all of those sources. Duke also likely subscribes  
16 and purchases forecasts from third-party vendors. So  
17 it's important to survey the landscape of what people are  
18 saying about costs and to adjust their resource costs  
19 accordingly.

20 It's also useful to do -- we mentioned this and  
21 it's a topic for a later time period, but an all-resource  
22 procurement. It often occurs that the costs that actual  
23 vendors come forward with are much lower than what the  
24 utilities were expecting, and I think that's been the

1 utility experience in a number of different  
2 jurisdictions.

3           You know, when industry press is reporting on  
4 these procurements that different utilities have done,  
5 then it always seems like there's a buzz online about,  
6 oh, did you see this very low cost for wind or wind  
7 paired with storage or solar paired with storage. And so  
8 it's always helpful to survey the market and find out  
9 exactly what these resources are going to cost now to  
10 implement on your system.

11           COMMISSIONER McKISSICK: Thank you.  
12 Commissioner Clodfelter, I don't have any further  
13 questions. I appreciate you sharing your thoughts and  
14 perspective.

15           MS. WILSON: Thanks.

16           COMMISSIONER CLODFELTER: Okay. Thank you.  
17 Ms. Wilson, I think you answered the one question I had  
18 when you were answering the Chair's questions, but just  
19 to be sure I've got it fixed in my head correctly, the  
20 reason you say that Duke's process inflates the value of  
21 the later retired units is because it uses a benchmark  
22 that's fixed at the present point in time and not a  
23 benchmark that evolves over time. Did I get it  
24 correctly?

1 MS. WILSON: I think you're talking about two  
2 separate things.

3 COMMISSIONER CLODFELTER: Then correct me.  
4 Then why does Duke's process inflate the value of the  
5 later units retired?

6 MS. WILSON: Yeah. Okay. So when Duke is  
7 doing its analysis -- and there's a nice table in the  
8 IRP; I believe it's Table 11B that details, via many  
9 lines that go back and forth across the page, the  
10 direction that its analysis takes. And so as we know,  
11 Duke establishes a rank order, and then it retires those  
12 units over the course of time for over the analysis  
13 period.

14 The Allen units retire first. And in Duke's  
15 analysis, when the Allen units retire, that retirement  
16 date is locked in, so Duke's modeling then proceeds,  
17 assuming that the Allen units no longer exist, that  
18 they're no longer providing energy to the system. So  
19 that energy that would have otherwise been provided by  
20 Allen needs to be provided by some other unit further  
21 down the line.

22 And this continues to be true as Cliffside  
23 retires, as Mayo retires. And so again, those other  
24 larger units that retire later are forced in Duke's model

1 to pick up the slack because there's nothing else,  
2 there's no replacement resource that's been included in  
3 its modeling to generate that energy.

4 So if you look at Duke's analysis, you might  
5 assume because these later units are generating more  
6 because they're picking up the generation of these other  
7 units, that they are therefore higher value to the  
8 system, but if we'd been replacing those resources over  
9 time as they retire, as happens in reality because you  
10 have to be able to meet your reserve margin and serve  
11 your customers' annual energy requirements, that value  
12 would change because we might be getting more energy from  
13 solar, more energy from wind, and we don't need the coal  
14 units to be generating as much as we do in Duke's  
15 analysis.

16 And so what Duke is suggesting, that you add  
17 value to your remaining coal units as other units retire,  
18 and I would say that that's not correct. The operations  
19 will almost certainly change because of both the  
20 retirement and the replacement resources on the system,  
21 but that doesn't necessarily mean that those later  
22 retirement units are more valuable to Duke.

23 Oh. You're on mute, Commissioner.

24 COMMISSIONER CLODFELTER: Thank you. I'm glad

1 I asked because that was much different than my  
2 understanding and you've cleared me up. I suppose, in  
3 fact, if I'm thinking about it, if what's required as  
4 units retire is that the later units, the remaining units  
5 have to cycle more frequently, they could actually  
6 operate less efficiently at a higher cost potentially,  
7 could they not?

8 MS. WILSON: That's one possibility, certainly.

9 COMMISSIONER CLODFELTER: So there are a number  
10 of possibilities. Okay. I thank you for clearing that  
11 up for me. And that's all I had, so --

12 CHAIR MITCHELL: Commissioner Clodfelter, I  
13 have another question.

14 COMMISSIONER CLODFELTER: Okay. Go right  
15 ahead.

16 CHAIR MITCHELL: All right. Ms. Wilson, then  
17 -- so Commissioner Clodfelter asked you a question,  
18 and you said I think you're sort of mixing up two things.  
19 So you answered the question about the value of the sort  
20 of remaining units, but to his question about the Net  
21 CONE, using the Net CONE, just walk me through one more  
22 time your opinion as to that.

23 MS. WILSON: So Net CONE can be useful in  
24 certain regulatory dockets, and Duke mentioned that they

1 use it for avoided cost. The avoided cost docket is a  
2 value for capacity, and so that Net CONE is used to  
3 determine essentially the price for a new unit entering  
4 the market, so how much we pay to PURPA generators, or in  
5 PJM, you know, the price that someone looking to come  
6 into the market might receive. That's quite a bit  
7 different from the analysis that we're doing here where  
8 it's not just about capacity, but it's also about the  
9 energy that's being provided to the system.

10 And so the use of Net CONE as a benchmark  
11 doesn't take into account that energy value that you  
12 might be getting from other replacement resources, which  
13 can be much greater and I would expect to be much greater  
14 than a CT.

15 CHAIR MITCHELL: Okay. And so does the use of  
16 Net CONE preclude the system from -- just kind of walk me  
17 through the practical implication there, what -- because  
18 I just want to make sure I'm understanding exactly what  
19 your issue with the use of Net CONE is beyond what you've  
20 just told me.

21 MS. WILSON: So we talked about one use of Net  
22 CONE which is that it's not as dynamic as the cost of  
23 other resources. And so continuing to use a CT might  
24 push back a retirement date later in time because the

1 costs are staying relatively constant over time than  
2 might using the optimization with a different set of  
3 lower cost resources.

4 CHAIR MITCHELL: Okay. All right. I think I  
5 finally get -- I know you've now said that a couple  
6 times --

7 MS. WILSON: That's okay.

8 CHAIR MITCHELL: -- so thank you.

9 MS. WILSON: And I was going to ask if Jeremy  
10 wanted to chip in --

11 CHAIR MITCHELL: Okay.

12 MS. WILSON: -- in case we interpret things  
13 differently, which happens all the time.

14 CHAIR MITCHELL: All right. Finally got it.  
15 All right. Jeremy, you're up.

16 MR. FISHER: No. I was hoping to maybe give --  
17 maybe a tangible example of this might be you can expect,  
18 for example, a resource like solar provides a substantial  
19 amount of energy relative to its capacity valuation,  
20 right, and so a replacement portfolio for a coal plant  
21 that includes, for example, a substantial amount of  
22 solar, say, paired with storage may, in fact, have a  
23 better value to Duke's system overall than a CT alone  
24 would.



1           So even once that CT is netted out for its  
2 energy value so that it becomes Net CONE rather than its  
3 Gross CONE cost, there are substantial elements that that  
4 replacement energy coming from solar plus storage bring  
5 to the system that you're not otherwise realizing from a  
6 gas CT alone.

7           So if we are really just comparing capacity to  
8 capacity, then maybe it's a reasonable benchmark to  
9 consider in that space, but we're not just comparing  
10 capacity; we're doing integrated capacity plus energy  
11 mechanism.

12           CHAIR MITCHELL: Okay. That helps, too. Thank  
13 you very much, both of you.

14           COMMISSIONER CLODFELTER: Thank you both for  
15 those last series of answers to several questions. They  
16 have been very helpful. I appreciate it.

17           MR. McDOWELL: Commissioner Clodfelter?

18           COMMISSIONER CLODFELTER: Yes. Mr. McDowell.

19           MR. McDOWELL: I would like to hear from Ms.  
20 Wilson again on her response to you. I was a little bit  
21 confused by it. She was suggesting -- all right. Let me  
22 talk to her, I guess. I guess you were suggesting in  
23 your response that the way Duke went through the process,  
24 the first retired unit, say it was Cliffside 5, is taken

1 out of the mix, that energy has to be made up by units  
2 already there, it's not replaced, and so automatically  
3 that adds value to all the existing units, including all  
4 the coal units.

5 So that kind of suggests that in their  
6 modeling, their run doesn't provide for the -- for  
7 reliability or their reserve margin requirement in that  
8 year that it was retired. Can you answer that again,  
9 because I was a bit confused by the response?

10 MS. WILSON: Sure. And this is why it's  
11 important that Duke separates into Steps 2 and Step 3.  
12 Step 2 is just the determination of what it calls its  
13 economic retirement date, and so it uses cost and prices.  
14 It is not building a reliable system. You are right.  
15 That step doesn't occur until Step 3.

16 MR. McDOWELL: Sure.

17 MS. WILSON: And so we're suggesting that those  
18 steps need to occur simultaneously, both the economic  
19 retirement date and the replacement resources, because  
20 they exert some influence over each other.

21 MR. McDOWELL: Okay. That's helpful. Thank  
22 you. I appreciate it.

23 COMMISSIONER CLODFELTER: Okay. Thank you  
24 both. We'll go back to Ms. Thompson and Mr. Smith, and

1 let me know if you had -- you only used about 35 minutes  
2 of your allotted hour in the presentation, so I don't  
3 know if you have other presenters.

4 MS. THOMPSON: No. Thank you, Commissioner  
5 Clodfelter. That concludes the presentation from our --  
6 from SACE, et al., and CCEBA and NCSEA on this topic.

7 COMMISSIONER CLODFELTER: Then thank you.  
8 Thank you all.

9 And with that, we'll then move to Ms. Force for  
10 the Attorney General's presentation.

11 MS. FORCE: Yes. Good afternoon. Again, my  
12 name is Margaret Force. And for the Attorney General's  
13 Office I'd like to introduce you to Edward Burgess, who I  
14 don't see yet, but we will shortly. He has worked on the  
15 reports that were filed in this docket, along with our  
16 comments, and is the Senior Director for Strategen  
17 Consulting. He has extensive experience working with  
18 economic analyses, tech--- regulatory support, and  
19 resource planning, among other things. There are more  
20 details about his experience and qualifications in  
21 attachments that are already in the docket. So without  
22 further adieu, I'd just like to turn it over to Mr.  
23 Burgess.

24 COMMISSIONER CLODFELTER: Mr. Burgess, glad to

1 have you with us.

2 MR. BURGESS: Thank you, Ms. Force, and thank  
3 you, Commissioners. Can you hear me okay?

4 COMMISSIONER CLODFELTER: (Nods affirmatively.)

5 MR. BURGESS: Okay. And now I will attempt to  
6 share my screen, if I can be given permission to do so.  
7 Okay. All right. Can you see the presentation now?

8 COMMISSIONER CLODFELTER: Yes.

9 MR. BURGESS: All right. First, just a little  
10 bit about myself and my firm, Strategen. We're a  
11 professional services firm where I've worked for about  
12 six years, and I have about a decade of experience  
13 working as a consultant in the energy industry on a lot  
14 of leading-edge energy issues, including resource  
15 planning. We've worked with public and private sector  
16 clients around the country on technical modeling issues,  
17 strategic planning, and regulatory and public policy  
18 issues.

19 We've been fortunate to work with the Attorney  
20 General's Office on this Duke IRP proceeding over the  
21 last year and a half or so, and I will be presenting on  
22 two of the segments we have lined up, the first one  
23 being, of course, coal retirements, and then later on the  
24 grid impacts.

1           Regarding the coal retirements panel, what I  
2     want to cover in this presentation is a little bit about  
3     what we observed in Duke's modeling and some of our own  
4     recommendations regarding economic coal retirements and  
5     the use of endogenous selection which we recommend as a  
6     way to optimize resource additions and requirements at  
7     the same time through a comprehensive modeling process.  
8     We'll talk a little bit about some of the critiques we  
9     had of Duke's sequential peaker approach which had  
10    shortcomings in terms of the arbitrary groupings and  
11    rankings that we think made, you know, the results of  
12    that potentially suboptimal, and then we'll talk a little  
13    bit about some of our recommendations and recommended  
14    directives going forward.

15           So first, just to give a little bit of a review  
16    of what Duke's approach was in the 2020 IRP and what our  
17    recommendation was in evaluating coal retirement  
18    decisions, you know, of course Duke has the sequential  
19    peaker method which was conducted as a separate analysis,  
20    you know, prior to the core resource selection process.  
21    And, you know, this process, you know, I think as Duke  
22    has mentioned, is one that they developed internally.  
23    It's not, you know, sort of a standardized methodology.  
24    It was not integrated into the core IRP optimization

1 model. And in our view, it also introduced a lot of  
2 unnecessary steps that, you know, could introduce bias  
3 into the retirement date selection and so, you know,  
4 we'll talk a little bit about some of those.

5 In contrast, you know, Strategen and the  
6 Attorney General recommended a different approach that  
7 incorporates endogenous selection and optimizes the  
8 resource additions and the retirements within the same  
9 comprehensive modeling process. And so, you know, this  
10 allows for those decisions to be evaluated  
11 simultaneously. It doesn't, you know, require us to  
12 worry about, you know, some kind of hypothetical proxy  
13 unit like a peaker -- a CT peaker plant, and it doesn't  
14 necessarily presume, you know, what the replacement  
15 resource would be. You know, in some cases, you know,  
16 the coal retirements assume that there would be a default  
17 replacement of natural gas. And, you know, we think it  
18 also avoids some suboptimal outcomes that would be more  
19 likely in a sequential approach.

20 So what exactly does an endogenous retirement  
21 analysis correctly do and what are some of the  
22 limitations? I think we've heard a little bit about that  
23 with the last presentation, but, you know, I want to  
24 reiterate some of these issues. And an endogenous

1 approach does correctly optimize for a lot of the key  
2 cost categories that you would encounter at a coal plant,  
3 so that would include 100 percent of the ongoing fuel  
4 costs, 100 percent of the ongoing variable O&M costs, and  
5 it also does model, you know, most of the incremental  
6 capital investments and ongoing fixed O&M costs over many  
7 years or the plant's life, except for a small fraction of  
8 these which, you know, we see in the final years of the  
9 plant's life, you know, prior to its retirement date  
10 where, you know, there are some limitations in terms of  
11 how the modeling has to work.

12           So the limitations, you know, it may not  
13 correctly model that small fraction of incremental  
14 capital investments in the final years of the plant life.  
15 You know, this is due really to some computational issues  
16 in terms of how these optimization software tools work  
17 and are very difficult to, if not impossible, to resolve,  
18 but in our view this is kind of a small discrepancy that  
19 can be corrected through other avenues. And, you know,  
20 Strategen has recommended some of these other avenues  
21 that can be pursued to provide a more accurate result.

22           You know, one sort of note. You know, we're  
23 talking about some of the incremental capital costs. I  
24 want to make sure this doesn't get confused with what we

1 often refer to as subcosts or potentially stranded costs.  
2 You know, they're already incurred and, you know, it's --  
3 our view is it's not appropriate to include any of those  
4 subcosts and stranded costs in a forward looking  
5 retirement analysis, and that's true regardless of  
6 whether it's endogenously modeled or not.

7 So the basic point is that, you know, the vast  
8 majority of these ongoing costs at the coal plants would  
9 be correctly optimized under an endogenous approach. You  
10 know, there are some minor limitations, but we don't  
11 think that necessarily outweighs the benefits of taking  
12 that approach in modeling, you know, most of the coal  
13 plant costs through the single-step optimization process.

14 We also heard a little bit about this, so I  
15 won't reiterate it too much, but, you know, there are  
16 other utilities that are taking a similar approach to  
17 modeling their coal retirements. PacifiCorp we heard  
18 about, and I think Mr. Fisher mentioned he wasn't as  
19 familiar with the 2021 IRP, but I do want to confirm  
20 that, you know, PacifiCorp is now using an endogenous  
21 modeling approach to its coal retirements in the most  
22 recent process.

23 They -- you know, they do have some  
24 simplifications that I want to highlight in terms of how



1 they do it. So, you know, rather than just letting the  
2 model select retirement dates in any possible year, they  
3 do sort of limit it to a few discrete years that could  
4 occur. So, you know, for example, Unit 2 of that  
5 hypothetical plant might be able to retire in 2023 or '26  
6 or '29, you know, usually kind of coinciding with when  
7 they might have a major overhaul of that unit. And so,  
8 you know, that would ultimately be when you intend to see  
9 the model select retirement anyways to try to avoid some  
10 of those overhaul costs. You could look at every year.  
11 You know, that would be more precise. But, you know,  
12 that also increases the, you know, the computational  
13 requirements of doing it that way.

14 We also have been involved with the current  
15 Xcel Energy resource planning process, and so they don't  
16 have quite as a sort of granular approach, but they do  
17 have what's sort of an integrated model that actually  
18 uses EnCompass, and so they look at, again, not every  
19 year, but different potential retirement dates and that  
20 -- and, you know, fully model the different kind of fixed  
21 cost scenarios that would emerge from those different  
22 dates. And so to do that they have set up the model in a  
23 way that can sort of have each retirement date as sort of  
24 a different option to select, while sort of making sure

1 that that individual unit is only at -- you know, only in  
2 there one time in the model. It's not duplicating the  
3 unit in the model.

4           You know, Duke raised some, you know, valid  
5 concerns about endogenous selection, you know, as we sort  
6 of had our back and forth here with the comments and  
7 discovery. And, you know, for the 2020 IRP, I'll just  
8 note that, you know, they did -- they used System  
9 Optimizer, as we've discussed, you know, to optimize  
10 their resource selection except for the, you know, the  
11 large amount of resources that were preselected or forced  
12 in under some of the scenarios.

13           And I just want to point out that System  
14 Optimizer, it can do endogenous modeling of retirement  
15 dates. Duke chose not to use this capability, and the  
16 main reason why that they expressed was these ongoing  
17 capital and fixed O&M expenses of retirement candidate  
18 varies, you know, with that date, so it becomes this  
19 dynamic problem that -- I think is how they characterized  
20 it, and that the System Optimizer tool just can't do that  
21 sort of dynamic change to those expenses. And so, you  
22 know, I think while that's true, as we mentioned, you  
23 know, I'll explain in a minute, you know, there are some  
24 workarounds to this that could be explored either with

1 System Optimizer or with EnCompass or any other tool.

2 To just give you sort of a bit of an  
3 illustration of what we sort of mean, you know, why we're  
4 sort of leaning towards this endogenous approach, you  
5 know, we think it's important not to sort of throw the  
6 baby out with the bath water, if you will, in terms of  
7 these modeling choices and that, you know, the endogenous  
8 approach can still capture a lot of the important  
9 details.

10 And so just as an illustrative example, you  
11 know -- and this is a graph. It's just hypothetical.  
12 You know, what if we looked at sort of year-over-year  
13 costs of continuing to operate a coal plant. These are  
14 made up numbers. They're not, you know, reflective of  
15 any particular unit. But in this case we're looking at,  
16 you know, what if the model looked at an accelerated  
17 retirement in the year 2026 versus the year 2030, and  
18 sort of what, you know, this is trying to illustrate is  
19 that in that sort of 2026 case you still capture, you  
20 know, a lot of the cost savings from the retirement in  
21 the later years, which is shown by the red outlined bars.  
22 And then there's still, you know -- but there's a small  
23 fraction of savings that are not necessarily captured by  
24 the model, and that's sort of yellow over orange outline

1 in, you know, in those final years due to the  
2 computational limit.

3 So, you know, this is actually a discrepancy in  
4 the model and -- but we still think it's close to an  
5 optimal date because it reflects, you know, a lot of  
6 those important costs and benefits in those later years  
7 before they're, you know, after the retirement.

8 You know, if the model selects this 2026 date,  
9 you know, in fact, the actual cost savings could be  
10 higher than what the model showed, and so that actually  
11 leads us to believe this is a somewhat conservative  
12 approach to finding the date, and then these additional  
13 savings could then later be subtracted from the final  
14 result to give a more precise net present value for the,  
15 you know, subsequent portfolio analysis.

16 And so that was our recommendation, is, you  
17 know, you could sort of address these dynamic issues in  
18 the post-modeling step and still capture, you know, a lot  
19 of the cost and benefits of an earlier retirement.

20 So as I mentioned, you know, we offered a few  
21 solutions to addressing, you know, these concerns over  
22 endogenous modeling. You know, we came up with at least  
23 three strategies and provided some of these in a response  
24 to one of Duke's data requests, so I won't go into a lot

1 of detail here just because it quickly gets technical and  
2 in the weeds. I did include an appendix slide that folks  
3 can take a look at. But, you know, we outlined a  
4 scenario-based approach, a multiple resource method which  
5 would be similar to Xcel or PacifiCorp's approach, and  
6 then finally our sort of post-modeling adjustment which  
7 was what we recommended.

8           You know, all these approaches could be used to  
9 comprehensively model the retirement of all the coal  
10 units in Duke's fleet simultaneously. They would all,  
11 you know, automatically factor in reliability  
12 constraints. And, you know, as I mentioned, there's some  
13 more information about these in the appendix slide.

14           Just a few notes on Synapse's approach and the  
15 -- you know, using the EnCompass model. You know, we did  
16 want to note that Synapse used Duke's coal retirement  
17 dates rather than endogenous selection. Now, EnCompass  
18 is technically capable of doing endogenous retirements,  
19 as I mentioned. You know, it's our sort of understanding  
20 that part of the reason Synapse took that approach is to  
21 do more of an apples-to-apples comparison to try to mimic  
22 Duke's portfolio with as few changes as possible. That  
23 may not necessarily reflect, you know, what is truly  
24 optimal, but did want to note that and that, you know, if

1 EnCompass is used going forward, I think it would be  
2 worth ensuring that the endogenous capability would be  
3 used going forward.

4           Let's see. Just shifting gears a little bit,  
5 you know, back to some of the issues that we identified  
6 in Duke's sequential peaker method, I mentioned this  
7 briefly, but what's worth reiterating, that, you know,  
8 Duke included these groupings in its analysis and  
9 basically grouped units together in the sequential peaker  
10 approach and when it was coming up with its initial  
11 ranking methods. And so, you know, this really, I think,  
12 is an issue because it decreases the flexibility that the  
13 model has to choose a least cost pathway. You know,  
14 you're basically looking at much larger size of  
15 generation resources when you're thinking about  
16 retirement decisions, so rather than having the  
17 flexibility to maybe stagger retirement dates, you know,  
18 over a period of time, you have, you know, a big chunk  
19 coming off the system all at once, and that really  
20 increases, you know, the lumpiness of these -- of the  
21 replacement generation and I think has some distorting  
22 effects in the modeling.

23           So, you know, our recommendation was to look at  
24 the, you know, retirements on an individual basis rather

1 than these arbitrary groupings, you know, and recognize  
2 that, you know, I think, you know, Duke brought up some  
3 issues around how we might consider the costs that are  
4 common to some of these plants and, you know, I think  
5 that there could be some solutions there, but that  
6 shouldn't hold us up from looking at a unit-by-unit  
7 analysis.

8 I did want to comment, too, on the -- you know,  
9 not only the sort of economic dates that Duke ultimately  
10 selected, but the earliest practicable dates that were in  
11 their analysis and in Portfolio C. Their retirement  
12 dates there were based -- you know, several of the plans  
13 were based on a presumed natural gas replacement which,  
14 you know, it's not clear to us that that would  
15 necessarily be the optimal solution. You know, for 10 of  
16 the coal units the earliest practicable retirement date  
17 was set based on that presumed need to construct onsite  
18 natural gas capacity.

19 So, you know, the notion that that these new  
20 gas resources are necessary and optimal was more or less  
21 predetermined even before the model could identify what  
22 an optimal portfolio might look like. And I think this  
23 is increasingly relevant, these earliest practicable  
24 dates, since Duke has, you know, recently filed a

1 modification in South Carolina to its IRP which used  
2 these earliest practicable dates for its preferred  
3 portfolio. And so I think it's really important that we  
4 get a handle on, you know, how these dates are being  
5 selected and, you know, are they really necessary, or  
6 what are the limitations that driving those earliest  
7 practicable dates.

8           So the recommendation here as to the model, you  
9 know, when we're doing the economic modeling, you know,  
10 to allow it to sort of freely select any retirement date  
11 based on those economics alone, and then we could take a  
12 look later to say, you know, what are the -- what might  
13 an earliest practicable date be that's -- and then we  
14 could specify if there is some sort of true, you know,  
15 engineering limitation that prevents, you know, the units  
16 from retiring before a certain date, then we can look at  
17 that later. But it's still good to understand, you know,  
18 on an economic basis, you know, what the model would  
19 choose.

20           So just to kind of get to the conclusion here,  
21 in terms of some of the recommended directives that we  
22 would suggest, you know, one would be for -- to require  
23 Duke to implement endogenous selection of its coal  
24 resources in EnCompass or any other tool that ends up



1 being used as part of the core optimization process. If  
2 Duke believes that there are limits in the software, you  
3 know, regarding these ongoing capital expenditures, then,  
4 you know, there may be ways to address that, some of  
5 which we suggested. We recommended the Commission to  
6 require Duke to allow each unit to be retired  
7 independently in the model without these groupings or  
8 rankings. If --

9           You know, and I should mention, you know, it  
10 was brought up that the -- you know, one of our  
11 suggestions maybe was to look at the larger units first,  
12 and that didn't make sense to Duke because they didn't  
13 have -- because those were more efficient units or more  
14 valuable.

15           You know, I think it's important to think about  
16 -- I mean, the overall cost is still important in this  
17 case and, you know, we can think about, you know, which  
18 units are more efficient, but, you know, they all might  
19 be sort of less efficient relative to a replacement, so I  
20 think you really have to think about not only the  
21 marginal cost of these units, but what is the sort of  
22 magnitude of the generation that we're replacing to get  
23 to really the least cost in terms of the net present  
24 value perspective.

1           Third, if adjustments to retirement dates are  
2 made due to, you know, sort of certain practical  
3 engineering limitations, then I think that still it would  
4 be good for Duke to provide the results of the economic  
5 modeling before and after those adjustments. And then in  
6 addition, it may be beneficial to -- in addition to the  
7 sort of portfolio-wide modeling, to have that be  
8 accompanied by a unit-by-unit analysis, sort of similar  
9 to, I think, what we heard about in the last  
10 presentation, but that, I think, helps us really dial  
11 into, okay, which are the -- which are the kind of least  
12 efficient units on the system that we really ought to  
13 focus on, you know, getting off the system because they  
14 can -- you know, they're costing ratepayers more than we  
15 need to be paying. And so that would be helpful, I  
16 think, you know, as a sort of an accompanying step.

17           And then finally, you know, for additional  
18 transparency, this whole process allowing, you know,  
19 Intervenors the opportunity to conduct their own model  
20 runs. And there could be a few different ways to do  
21 that. One would simply be have Duke provide all the data  
22 and assumptions and their EnCompass model runs and that  
23 -- so others could basically have that at the same  
24 starting point and then make their own tweaks. That

1 presumes that Intervenors have the resources and  
2 expertise to do their own modeling. But, you know, as we  
3 have seen, there are some that have run EnCompass in this  
4 proceeding, and so that might be a possibility.

5 The other would be to require Duke to provide  
6 those, you know, model, license, and training to the  
7 Intervenors so that they can do their own runs.

8 And then third, you know, would be simply to  
9 allow Intervenors to make a request to Duke to conduct a  
10 model run with different input assumptions, and they  
11 would -- and Duke would produce those results on behalf  
12 of the requestor.

13 So those are just some of our thoughts on some  
14 possible recommendations going forward into this. And I  
15 think with that, I -- yeah. That's the end of my  
16 presentation on this topic, and I'd be happy to answer  
17 any questions you may have.

18 COMMISSIONER CLODFELTER: Thank you for that,  
19 Mr. Burgess. We'll start questions with Commission  
20 Staff.

21 MR. McDOWELL: Commissioner Clodfelter, I have  
22 just one question, I think, of Mr. Burgess, and it's  
23 basically the same question I had for Ms. Wilson. It's  
24 related to PacifiCorp's 2021 IRP which Mr. Burgess made

1 reference to.

2           The statement that I read to her out of that  
3 IRP was "New to this IRP is using the long-term model to  
4 consider the retirement of coal endogenously." Do you  
5 have any insights as to the value that PacifiCorp  
6 approved to making that change to do that endogenously?  
7 It may be in the IRP. I admit I did not read the whole  
8 IRP from early September, but I don't know, maybe you did  
9 and maybe they've made a comparison of what it was under  
10 the old techniques versus the new techniques. Do you  
11 have any insights there?

12           MR. BURGESS: Yeah. And I -- I've not followed  
13 the whole history going back to when it was, I think,  
14 2013 that Mr. Fisher mentioned. But, you know, I think  
15 that -- and I've been involved with this cycle, but they  
16 did -- my understanding is that they have now returned to  
17 or implemented in this cycle the endogenous modeling  
18 approach in PLEXOS, the model that they're using. And  
19 so, you know, I don't know all the reasons why they maybe  
20 stopped doing that and went back to it, but, you know,  
21 maybe it has something to do with them now moving to this  
22 PLEXOS modeling platform or, you know.

23           But in any case, that is what they're doing.  
24 There are limitations to that, as I mentioned. You know,

1 they sort of have these kinds of discrete time steps that  
2 they use. There's other factors, like they have  
3 basically, you know, forced in some resources I think,  
4 you know, similar to maybe what Duke has done, so not all  
5 of the resource additions are sort of endogenously  
6 selected by the model, but I think that, you know, it is  
7 in many respects sort of going in that direction to, you  
8 know, an endogenous remnant that we'd like to see.

9 MR. McDOWELL: So you don't know when this 2021  
10 cycle for them, if they did the analysis the old way and  
11 the new way and then compared them in the IRP, do you?

12 MR. BURGESS: I don't believe so. I -- you  
13 know, they had indicated pretty early on in the beginning  
14 of the sort of stakeholder process leading up to them  
15 releasing the final plan that they were going to use an  
16 endogenous approach. I think that was -- you know, they  
17 indicated that as -- in early 2020 and I think -- yeah.  
18 I mean, I think part of the reason is that they're just  
19 simply looking at, you know, the history from the last  
20 cycle where they did these unit-by-unit analyses, and  
21 there was -- it became pretty clear I think to a lot of  
22 the parties that there was a lot of uneconomic coal on  
23 the system, and so, you know, how do you sort of evaluate  
24 an orderly retirement to some of those units, and I think

1 the best way to do it is really through that  
2 comprehensive endogenous approach, so --

3 MR. McDOWELL: Okay. Thank you.

4 MR. BURGESS: -- I don't understand why they  
5 might have done it now, but that probably was part of the  
6 thinking.

7 MR. McDOWELL: All right. That's all I have,  
8 Commissioner.

9 COMMISSIONER CLODFELTER: Thank you. We'll  
10 turn to the Commissioners, starting with Commissioner  
11 Brown-Bland.

12 COMMISSIONER BROWN-BLAND: Thank you,  
13 Commissioner Clodfelter. No questions at this time.

14 COMMISSIONER CLODFELTER: Okay. Commissioner  
15 Gray?

16 COMMISSIONER GRAY: Thank you. No questions.

17 COMMISSIONER CLODFELTER: Chair Mitchell?

18 CHAIR MITCHELL: I have no questions. Thank  
19 you.

20 COMMISSIONER CLODFELTER: Commissioner Duffley?

21 COMMISSIONER DUFFLEY: Thank you. No  
22 questions.

23 COMMISSIONER CLODFELTER: Commissioner Hughes?

24 COMMISSIONER HUGHES: Yes. I have one

1 question. A couple of you have mentioned how to treat  
2 some costs in your analysis, and I'm trying to wrap my  
3 brain around whether the revenue requirement treatment of  
4 some costs makes a difference because we -- there are  
5 different options for dealing with some costs. It's not  
6 a pure economic from a private company that invests in  
7 something. There is a process for recovering some costs.  
8 And is there a way of dealing with undepreciated coal  
9 value that could impact an analysis where Duke might have  
10 justification for including some cost?

11 Sorry if that wasn't clear. I'm still trying  
12 to wrap it around my head, the difference between the way  
13 the accounting for revenue requirements is dealt with and  
14 just a pure economic some costs can never be recovered,  
15 because they can be recovered under some circumstances.

16 MR. BURGESS: Yeah. That's a good question. I  
17 -- you know, as far as these models go, I mean, really  
18 the goal is to figure out what decisions do we need to  
19 make going forward, right? So we look at future costs,  
20 operating costs, incremental capital. But, you know, the  
21 presumption is that all those subcosts, those are  
22 decisions that were made in the past; we're not going to  
23 change those now. You know, there is the question of  
24 what does that mean for cost recovery of those resources

1 if they retire early. I mean, in some respects that's  
2 partly a decision, you know, the Commission will have to  
3 make about, you know, do you do something different in  
4 terms of accelerated depreciation or securitization. You  
5 know, there's different avenues for that.

6 I think, you know, one thing, though, I would  
7 -- to keep in mind is that I think from a utility's  
8 perspective, there -- you know, there is some potential  
9 risk that they would face, you know, under an early  
10 retirement scenario about whether or not those costs are  
11 recoverable, and so that may be leading them to want to  
12 find a modeling outcome that fairly closely matches the  
13 retirement dates with the depreciation schedules because  
14 otherwise, you know, it's a little uncertain what's going  
15 to happen. More kind of that -- those kind of choices  
16 can be laid out. Maybe there's, you know, more room for  
17 flexibility on how we treat, you know, different  
18 retirement dates.

19 COMMISSIONER HUGHES: Interesting. Thank you.  
20 No further questions.

21 COMMISSIONER CLODFELTER: Thank you.  
22 Commissioner McKissick?

23 COMMISSIONER McKISSICK: No questions.

24 COMMISSIONER CLODFELTER: Thank you. And Mr.



1 Burgess, I have nothing for you, either. Thank you for  
2 your presentation. Ms. Force?

3 MS. FORCE: I just want to thank you for the  
4 opportunity for our participation.

5 COMMISSIONER CLODFELTER: We appreciate it. We  
6 appreciate it. We'll hear from you on a later topic.

7 MS. FORCE: Okay.

8 COMMISSIONER CLODFELTER: And that means Ms.  
9 Edmondson, you're batting cleanup.

10 MS. EDMONDSON: Yes. Last, but not least, we  
11 have our panel. Let's see when they'll come on. Here  
12 they go. Jeff Thomas, Dustin Metz. Both are engineers  
13 with our Energy Division. And then Bob Hinton who is  
14 Director of our Economic Research Division. And Jeff is  
15 going to drive the presentation.

16 COMMISSIONER CLODFELTER: Great. Good  
17 afternoon, gentlemen. Take it away.

18 MR. THOMAS: Okay. Are you able to see this  
19 all right? See if everyone can see me and hear my  
20 presentation?

21 COMMISSIONER CLODFELTER: You're coming through  
22 loud and clear.

23 MR. THOMAS: Great. Okay. So one of the  
24 benefits of going last is that much of the material has

1 been covered already, so I will hopefully be brief and  
2 focus on the unique perspective that the Public Staff is  
3 bringing to this, so as the Public Staff has identified  
4 in our comments, has been -- my name is Jeff Thomas with  
5 the Energy Division.

6           And so the difference between exogenous and  
7 endogenous coal retirement is essentially just how that  
8 retirement is treated, whether it's done within the model  
9 or whether it's specified outside the model and input  
10 into the model. And so the Public Staff thought we  
11 believe that there's value in determining those  
12 retirement dates within the model based upon, obviously,  
13 some considerations that have to be taken into account.  
14 And Duke has -- and the Intervenors and the AG have  
15 addressed many of these, such as, you know, the  
16 complexity as you consider these multiple permutations of  
17 retirement dates and timing. These models can get very  
18 complex to solve and take hours or even days to run.

19           And then whether or not you retire just coal,  
20 or some models are actually able to look at endogenous  
21 retirement of even new units as they come in, or natural  
22 gas or existing solar or battery, so you really have to  
23 focus on the types of units that you believe could be  
24 economically retired, and then also how important those

1 retirement dates and what external factors affect those  
2 dates. So, you know, practical limitations are not  
3 always captured by the model. I'll get into that a  
4 little bit more, and it's already been addressed to some  
5 extent. But, you know, the model is an imperfect  
6 representation of reality, and oftentimes the model just  
7 doesn't know things that system planners know, and those  
8 -- sometimes those complications and those factors can't  
9 always be translated into linear optimization, which is  
10 the basis of all of these models.

11           So we've been through this several times now  
12 and I'm starting to memorize this diagram, but the coal  
13 retirement obviously in Duke's 2020 IRP is this four-step  
14 process, with Step 1 and Step 2 kind of happening  
15 separate -- it's this sequential peaker method -- to  
16 establish those dates, and then the output of that  
17 analysis is fed into the portfolio optimization. And so  
18 this is the exogenous portion that I'm speaking of, when  
19 you take those outside results and then you put them into  
20 your portfolio.

21           Now, this is the sequential peaker method, the  
22 Step 2. It's very iterative, and Duke in their IRPs did  
23 a great job of explaining exactly how they ranked those  
24 coal units for the sequential peaker method, the statute

1 -- the standards by which they evaluated them. But for  
2 each unit that date is, you know, locked in and then the  
3 model is run and this analysis is completed to finally  
4 arrive at that date, and then that unit is locked in and  
5 then it's repeated.

6           And so the Public Staff in our comments, we  
7 really identified two main concerns with this. First, as  
8 as other Intervenors have noted, is only combustion  
9 turbines are considered as replacements. I think Ms.  
10 Wilson did a great job in explaining why that is not  
11 optimal because the cost of a CT is relatively standard,  
12 it's relatively steady, it's a mature technology, versus  
13 alternative replacements such as storage or solar, those  
14 can -- those costs curves are declining much faster, and  
15 so the date that you have to build those retirement units  
16 obviously affects the cost of that retirement. And so if  
17 you're evaluating your net benefit and your retirement  
18 date based upon a CT, this could result in a less than  
19 optimal retirement date.

20           And then also another, you know, thing to note  
21 is, you know, the retirement -- this method really just  
22 looks at each plant in isolation. And so, for example,  
23 you know, in general, the retirement dates that Duke  
24 found in this method aligned with their ranking of the

1 units in terms of usefulness, except for the Roxboro 3  
2 and 4 were retired before Units 1 and 2.

3 Now, what this does is now you've locked in a  
4 Roxboro 1 and 2 retirement date, assuming that 3 and 4  
5 are operating to the end of their depreciable life, but  
6 now you've run the Roxboro 3 and 4 sequential peaker  
7 method and you've actually retired it before 1 and 2. So  
8 now that does call into question whether the Roxboro 1  
9 and 2 retirement date was accurate and whether it was not  
10 -- in fact, there was some interaction between 1 and 2  
11 and 3 and 4 operating simultaneously that maybe caused  
12 the suboptimal result. So these are all just concerns  
13 with the sequential peaker method.

14 Certainly, the Public Staff believes that the  
15 sequential peaker method was generally reasonable for  
16 planning purposes and there was a lot of analysis that  
17 went into these dates. By no means is it a -- is it an  
18 unreasonable methodology, but we believe that the  
19 endogenous retirement methodology where you are able to  
20 find both the when and the what simultaneously could  
21 provide benefits to ratepayers in terms of establishing  
22 those truly economic retirement dates.

23 So many models that actually include endogenous  
24 retirement, does include it as an option, a toggle you

1 can turn on and off. And as I've already spoken to,  
2 there are benefits with using that option and that's one  
3 of those that you're using the same assumptions to pick  
4 your retirement date as you are to pick your resource  
5 replacement. That can be fuel, capital cost, and in  
6 general I believe Duke used many of the same assumptions,  
7 but there are some external assumptions that conflicted  
8 with the capacity expansion model, primarily, you know,  
9 the sequential peaker method, assuming that Roxboro would  
10 be replaced with a CT. And, in fact, Roxboro was  
11 replaced with a combined cycle in the capacity expansion  
12 model. So endogenous retirement would attempt to resolve  
13 some of those with some -- obviously, there are some  
14 trade-outs there which I will get to.

15 And then it does require -- the benefits of  
16 endogenous retirement is it does allow you to select from  
17 a suite of resources that can replace that, and you're  
18 able to take into account build schedules, how much time  
19 it takes to deploy some of these resources, if there's  
20 any included interconnection costs that must be  
21 considered, and then as well as your unit commitment  
22 during the replacement process.

23 That was some of the challenges, as I've  
24 already spoken to, the complexity, and the model solve

1 time is one factor. And then, you know, as I've said,  
2 there are some practical factors that the model is --  
3 sometimes it doesn't know that unless you teach the  
4 model, is if you just let the model solve with economic  
5 retirement of coal units, it can ignore important factors  
6 such as the transmission support or ancillary services  
7 that are provided by those coal units if those are not  
8 constraints within your model, timelines to build and  
9 obtain permitting.

10 As we saw -- for example, as we saw in  
11 Dominion's 2021 IRP update, their Plan A utilized an  
12 endogenous retirement option. And while the Public Staff  
13 has not yet filed its comment on that plan, it didn't  
14 open -- that that plan actually retired 2,500 MW of  
15 mostly coal in 2023 almost immediately upon the model  
16 starting. And, obviously, that's -- if that's truly  
17 economic, the Public Staff still has some investigation  
18 to do on that and as -- other Intervenors as well, but  
19 obviously that -- we have concerns with that much coal  
20 being dropped off the system all at once and whether it's  
21 practical to be able to replace that and keep the system  
22 reliability to a level that customers expect.

23 And, also, some of the challenges here are  
24 simply untested results. It's one thing to go from using

1 a model that the utility is familiar with and turning on  
2 the endogenous retirement option, but at the same time,  
3 if Duke is attempting to transition entirely from System  
4 Optimizer and ProSim into a single model that has both  
5 capabilities of expansion planning and production cost  
6 modeling, and so the utilities have to become comfortable  
7 with that model as well.

8           You can't just type in all your inputs and  
9 press run and then go shut down Allen the next day  
10 because that's what the model tells you to do. You  
11 really need to understand what -- why this model is  
12 making these decisions, and you need to be able to see  
13 into the black box, as it were, and do additional  
14 analysis based on those results, like detailed unit-by-  
15 unit analysis of, you know, the first few retirements  
16 that are selected by the model just to ensure that those  
17 dates are robust under a variety of planning assumptions,  
18 price scenarios, and that you can maintain system  
19 reliability perhaps using even more advanced models such  
20 as SERVVM, the Astrape model that was used to calculate  
21 some of the load following under additional solar  
22 scenarios in the avoided cost docket.

23           And then also endogenous retirement, as I've  
24 said, added a lot -- adds a lot of complexity and model



1 solve time and obviously tradeoffs, but sometimes this  
2 may not be necessary. Maybe they're -- maybe retirement  
3 dates have already been set by legislation or maybe  
4 there's only a couple handful of plants to retire and  
5 you've already retired most of the older coal units, so  
6 the utility has to, and regulators have to look at, you  
7 know, how important it is to economically select these  
8 dates as well when they're considering the added  
9 complexity.

10           And so we've kind of been over this a little  
11 bit, but I just wanted to, from our perspective as well,  
12 there are some plans, you know, that don't use endogenous  
13 retirement. Obviously, System Optimizer, one that does  
14 not. The DIEM model which was used in the Clean Energy  
15 Plan from Executive Order 80, this also did not use  
16 endogenous retirement. The retirement dates for coal  
17 units were selected based upon a variety of scenarios for  
18 retirement that were proposed and used in that plan, but  
19 those were selected outside the model and input into the  
20 model.

21           And then there are many national models, large  
22 models that use endogenous retirement or at least have  
23 the option such as the ReEDS model, which is a well-known  
24 model maintained by the National Renewable Energy

1 Laboratory, as well as NEMs, which is used by the Energy  
2 Information Administration. That is the underlying model  
3 for the annual energy outlook. And so that has an option  
4 to retire endogenously most thermal units, although most  
5 new technologies do stick around for their entire  
6 lifetime.

7           Obviously, EnCompass has the ability to use  
8 endogenous retirement, and Duke is considering now  
9 whether to use that -- although some utilities have used  
10 the EnCompass model, such as Xcel Minnesota. We spoke to  
11 the Minnesota staff, who also has EnCompass license, to  
12 analyze those IRPs, but, you know, those coal retirement  
13 units are set by -- have to be approved by MISO and often  
14 have to meet certain MISO requirements, and so they did  
15 not use their endogenous retirement option in the last  
16 IRP that they ran, despite having the capability.

17           PLEXOS obviously has the capability, as  
18 PacifiCorp in 2021 used in their P02 portfolio, and the  
19 Dominion 2021 update used endogenous retirement, but only  
20 in Plan A. It's also referred to in Dominion's plan as  
21 economic retirement, but essentially they're the same  
22 thing here in terms of the modeling and how the model  
23 selected those dates.

24           And then also the Brattle Group, who has done a

1 lot of analysis in the utility industry, has an Xpand  
2 model, and that model also has the capability to model  
3 coal retirements endogenously.

4       Okay. And so finally, I was not able to build  
5 any slides off this, but the Public Staff is -- we're  
6 exploring actually obtaining an EnCompass license as well  
7 in advance of the 2022 IRP, and so we sat down with  
8 Anchor Power Solutions' staff for a training session on  
9 the 28th to better understand some of the retirement  
10 functionality. I was unable to get those slides into  
11 this presentation, but I just wanted to kind of explain  
12 some of the features that we found interesting in the  
13 EnCompass model and some of the limitations found.

14       So obviously, you know, Duke's noted the  
15 complexity of the what/when decision, but, you know, we  
16 feel that the -- at least from our short experience  
17 working with the training in the EnCompass model, that  
18 there are some guardrails there that can help provide  
19 additional accuracy to endogenous retirement, while  
20 addressing some of Duke's concerns about dynamic -- the  
21 dynamic capital CapEx in coal plants, as well as the  
22 selection of resources and the many different  
23 permutations.

24       So first, the -- as Ms. Wilson specified, you

1 know, EnCompass works by essentially comparing the  
2 benefits provided by a particular unit to the cost of  
3 operating that unit. And so depending on the unit of  
4 time in which you optimize over, you look at net benefit  
5 over that entire period. So if you're only looking at a  
6 single year or two years, it's very easy for a coal unit  
7 to be endogenously retired because it just takes a mild  
8 weather winter for that unit to not generate much  
9 benefit. Meanwhile, the CapEx and the O&M can be  
10 substantial.

11 So generally, if you use a longer optimization  
12 period, you'll really capture when those units truly do  
13 fall outside of their net benefit to the ratepayer to the  
14 system. But, you know, using a shorter time period can  
15 also provide additional granularity and you can -- a  
16 shorter time period allows you to specify more time  
17 periods. Instead of using, say, a three-season model  
18 with 12 representative hours, you might be able to use a  
19 four-season model with a full 24-hour day of the week,  
20 weekday/weekend granularity.

21 And so really, you know, you would expect that  
22 the endogenous retirement of coal in EnCompass would be  
23 multiple model runs, perhaps a longer capacity expansion  
24 run to truly find when those get in the ballpark and then

1 shorter runs to kind of narrow down on what really is the  
2 best date for retirement.

3 And so obviously, as I've already talked about,  
4 the models don't always capture constraints that exist in  
5 the real world, such as transmission constraints,  
6 planning, regulatory constraints, interconnection, queue  
7 reform, things like long -- outage schedules for  
8 transmission upgrades, and we see that in Dominion's plan  
9 where a lot of capacity was immediately retired in 2023.

10 But EnCompass does allow you to put in certain  
11 guardrails in that to address those concerns, such as  
12 limiting the amount that can be retired in one year, with  
13 the recognition that it's difficult to build enough  
14 replacement generation in a certain year. And you can  
15 also, you know, place reasonable restrictions on the  
16 amount of new capacity that can be built to replace that,  
17 which also would have the effect of limiting retirement.  
18 If your model wants to build 10,000 MW of solar in a  
19 single year to help replace retiring 2,500 MW of coal,  
20 obviously you're going to have to put reasonable bounds  
21 on the amount that you can -- of solar that you can  
22 interconnect each year.

23 You can also place restrictions on specific  
24 units. So you might say that certain units have to be

1 retired by a date certain if you had, say, legislation  
2 that set an end date. You could also say we know that we  
3 can't retire this unit until 2025. And the model can  
4 handle that as well; it can exclude a certain unit from  
5 retirement until a certain year based upon practical  
6 considerations.

7           You know, you have to make sure, though, that  
8 those restrictions that you place are reasonable and  
9 based in reality, because the model is simply selecting  
10 the most economic retirement dates that it can, and so  
11 you want to make sure that any constraint you add on the  
12 model is going to increase costs, and so you want to make  
13 sure that those constraints are reflecting reality.  
14 Otherwise, they're going to themselves produce an  
15 uneconomic portfolio.

16           So the model -- so Duke did adjust the dynamic  
17 CapEx schedules, and that is a legitimate concern. The  
18 dynamic CapEx spending on existing coal, that feature  
19 does not exist in EnCompass. You can put in discrete  
20 CapEx expenses that you have in particular years that are  
21 above and beyond any fixed O&M, but generally the model  
22 will then respond by trying to avoid those costs. And so  
23 you can't then -- the model won't, by itself, adjust that  
24 to go -- you know. to eliminate that spend or to have

1 some sort of ramp down of CapEx.

2 So these are things that probably could be  
3 addressed through iterative modeling of these retirement  
4 dates to play with that feature and to better understand  
5 it, but the Public Staff recognizes that that is a  
6 concern, but at the same time we want to make sure that  
7 we're not missing the forest for the trees. And if that  
8 dynamic spend is capturing, you know, a certain amount of  
9 \$10 million of cost that may not have been included, but  
10 at the same time we're saving \$1 billion by retiring  
11 these -- by using endogenous retirement dates, obviously  
12 we need to put things in perspective and do what's  
13 benefi--- what's best for ratepayers over the long term.

14 A couple other interesting things that  
15 EnCompass can do is they can actually create so-called  
16 retirement projects where the retirement of a unit might  
17 be set by a certain date, but the model can optimally  
18 select from various options, such as an example that was  
19 shown to us was three options for a coal unit, either  
20 keep the coal unit running, retire the coal unit by a  
21 certain date, or convert the coal unit to natural gas.  
22 And then you could also include, say, a carbon caption  
23 sequestration scenario for the right type of  
24 circumstances. So that kind of alternative scenario

1 analysis is already embedded in EnCompass and can be used  
2 to help facilitate the endogenous retirement by providing  
3 the model with different options which can then be  
4 selected and the most optimal option selected.

5           In addition, EnCompass can also, through  
6 sensitivity analysis, can explore the benefits of  
7 securitization by creating different retirement --  
8 different rates for the different debt and equity ratios  
9 and different rates for debt and equity. The model can  
10 actually explore that, okay, it can pick a retirement  
11 date based upon no securitization, but then it can also  
12 -- now you can explore what would happen if you had a  
13 certain amount of securitization, maybe that changes the  
14 optimal retirement date, maybe it simply reduces the net  
15 present cost of an entire portfolio through less debt  
16 payments.

17           So this is something that -- another feature of  
18 the model that I think could play into the endogenous  
19 retirement feature and provide a better picture of the  
20 optimal way to retire the fleet. Not just the dates and  
21 the replacement, but what we do with the unamortized  
22 balance, how we minimize rate shock on customers who, you  
23 know, who might be simultaneously paying for both the  
24 replacement resource as well as the retired coal unit.



1           So overall, you know, the -- implementing an  
2    endogenous retirement in EnCompass, it is -- it seemed --  
3    it appeared fairly straightforward in that the demo that  
4    we went through, though obviously the full data set that  
5    Duke will be using will be more complex and there will be  
6    more interactions between these, and it will increase the  
7    amount of time that the model takes to solve, and  
8    obviously it will create -- it will have the effect of --  
9    and to a certain degree it will be a black box. You put  
10   your inputs in the model and the model spits out these  
11   retirement dates.

12           And so, you know, the Public Staff hopes that  
13    by having an EnCompass license and being able to explore  
14    deeply the assumptions that underpin those endogenous  
15    retirement dates, if used by Duke, and then we should be  
16    able to kind of peel back the layers of that black box.

17           And so endogenous -- just a closing remark.  
18    You know, endogenous retirement, it's -- in resource  
19    planning it's not new, but it is new to some utilities.  
20    And as I said before, you know, the utility has to become  
21    comfortable. The regulators have to become comfortable  
22    that the endogenous retirement is built upon a sound data  
23    set, a sound input data set, sound assumptions around  
24    both practical limitations and just the economic and

1 operational characteristics of the units that are loaded  
2 into EnCompass, but I believe it's a useful tool for  
3 holistically planning this system, and I believe that the  
4 benefits against the sequential peaker method or other  
5 exogenous methods could provide a much more ideal and  
6 optimal retirement schedule for coal for ratepayers. And  
7 that's my -- that's what I have.

8 COMMISSIONER CLODFELTER: Thank you. Mr. Metz  
9 and Mr. Hinton, I assume you're available for questions,  
10 but not presenting independently; is that correct?

11 MR. METZ: That is correct.

12 COMMISSIONER CLODFELTER: All right. I will  
13 tell you one thing, I'm very glad we made the decision to  
14 record this and transcribe it because Mr. Thomas, you  
15 covered an awful lot of material in a very short time, so  
16 I'm glad we have it -- we're going to have it down on  
17 paper so we can review it.

18 And with that, we'll see if we have questions.  
19 Unless there's any other presentation, we'll see if we  
20 have questions.

21 MR. THOMAS: No other presentation.

22 COMMISSIONER CLODFELTER: Mr. McDowell? Okay.

23 MR. McDOWELL: I think it's extremely valuable  
24 that Public Staff was able to attend the kind of overview

1 of that because I think Jeff's comments were very  
2 appropriate in this. I have one question. The Public  
3 Staff recommended that Duke consider implementing  
4 stochastic optimization in its expansion model,  
5 stochastic optimization.

6 Now, I have a -- I have a friend that got this  
7 doctorate in mathematics and statistics from Clemson  
8 College -- University, I guess, and I was going to ask  
9 him about stochastic versus deterministic, but ever since  
10 NC State won the football game last weekend that resource  
11 has dried up, so I would like to ask the Public Staff to  
12 explain that statement that they commented, recommending  
13 Duke consider implementing stochastic optimization. Can  
14 you explain that in very simple terms that even  
15 Commissioner Clodfelter can understand? What's different  
16 about this and the current modeling employed by Duke?

17 MR. THOMAS: Sure. So I'll start off first by  
18 saying that EnCompass does have the ability to use  
19 stochastic optimization. It's kind of the last envelope  
20 within their modeling paradigm. But essentially, right  
21 now I believe this comment was made in regards to carbon  
22 policy in our comments.

23 But essentially, right now Duke assumes, their  
24 model assumes that a carbon price will start their Plan

1 B, the Portfolios B and beyond, assume that a carbon  
2 price will start in 2026 and will escalate by \$5 a year  
3 and to infinity until the end of the modeling horizon.  
4 And that's a deterministic model. That is certain. The  
5 model knows it's going to happen, so the model can plan  
6 for that.

7 But the problem is, as we all know, we've all  
8 been anticipating this carbon price since 2009, so we  
9 don't know when it will start and we don't know if it  
10 will be \$5 or \$20 or \$1, and we don't know what the  
11 escalation rate is. There's a lot of uncertainty there.  
12 And so stochastic optimization is essentially you're  
13 building a portfolio considering that uncertainty, okay,  
14 but you may not produce an optimal portfolio for any  
15 particular final -- what actually happens, but you're  
16 trying to minimize your regrets, right? If we assume  
17 that a \$5 carbon price is going to be enacted in 2026,  
18 and Duke plans its system for that based on that  
19 deterministic modeling, and then there's a carbon price  
20 of \$100 implemented in 2024, obviously, the system that  
21 we've built is not going to be optimal anymore. We'll  
22 have regrets. All those natural gas plants will have to  
23 be shuttered, and we'll really have a lot of costs that  
24 are going to linger because of that.

1           And so stochastics tries to -- essentially, one  
2 way to test stochastics is to do what's called a Monte  
3 Carlo simulation where you run many, many, many scenarios  
4 with many, many different outcomes from that carbon  
5 pricing, and then you try to find an optimal portfolio  
6 that's most optimal for most of those scenarios.

7           Oftentimes stochastic optimization you'll build  
8 a scenario tree where if this happens, then we assume the  
9 next choices are, you know, if A happens, then our next  
10 choices are B or C, but if A doesn't happen, then our  
11 next choices are D or E. And you try to optimize over  
12 that entire suite of choices to give you a single  
13 portfolio that best positions you more to respond to that  
14 uncertainty.

15           MR. McDOWELL: That was an excellent  
16 explanation. So does that have implications on the  
17 retirement analysis that we're focused on here?

18           MR. THOMAS: So certainly. So if you were to  
19 -- so that's a great point, actually, because let's say  
20 Duke were going to do stochastic optimization based on  
21 uncertainty only in carbon policy. Well, if they did  
22 their sequential peak method, then they're going to pick  
23 retirement dates for those coal units based on that  
24 outside analysis. Then they're going to put those dates

1 in and they'll be unchangeable. Those dates will not be  
2 able to be adjusted based upon the carbon pricing.

3 But if you were to do endogenous retirement and  
4 the stochastic optimization based upon carbon policy,  
5 then your retirement dates of your coal units are going  
6 to adjust on the fly based upon the carbon price that's  
7 actually used in each determinant age stochastic  
8 scenario.

9 So the hope is that if you couple both of those  
10 techniques, the endogenous retirement and the stochastic  
11 modeling, that your model would select for you retirement  
12 dates that are -- that put Duke in the best position to  
13 respond to both a delay in carbon pricing or an  
14 acceleration. And the thing to remember there is that,  
15 you know, let's say you run that model, you build a 10-  
16 year plan based on that stochastic optimization. In 10  
17 years you might look back and say, well, now that we know  
18 what happened, what we did, the dates that we retired  
19 those plants, well, it wasn't ideal, it wasn't totally  
20 optimal, but you built the most optimal plan for the  
21 uncertainty.

22 It's like carrying a rain jacket out with you  
23 when you don't know whether it's going to rain or not.  
24 You have to carry the jacket with you and it's not

1 optimal. You don't want to carry the jacket. And if  
2 it's sunny, you're going to wish you hadn't brought the  
3 jacket. But if it were to rain, you'd be glad that you  
4 brought it. And that's the type of least regrets of  
5 planning that can sometimes accompany that stochastic  
6 optimization.

7 MR. McDOWELL: Thank you very much. I better  
8 quit there while I'm still in good graces with  
9 Commissioner Clodfelter. Thank you.

10 MR. THOMAS: You're welcome.

11 COMMISSIONER CLODFELTER: If you ever were.  
12 Let's see if Commissioners have questions. Commissioner  
13 Brown-Bland? You're on mute. You're on mute. No  
14 questions?

15 COMMISSIONER BROWN-BLAND: (Shakes head  
16 negatively.)

17 COMMISSIONER CLODFELTER: Okay. Commissioner  
18 Gray?

19 COMMISSIONER GRAY: No questions, sir.

20 COMMISSIONER CLODFELTER: All right. Chair  
21 Mitchell?

22 CHAIR MITCHELL: Just a quick one. Mr. Thomas,  
23 thank you for the explan--- I mean, thank you for your  
24 presentation in general and thank you for your response

1 to Steve's question. That's very helpful for my  
2 understanding and I appreciate your thoroughness.

3 Help me understand sort of real-world  
4 implication here. If Duke were to transition to the type  
5 of modeling that you are -- sort of the type of process  
6 that you are advocating and sort of similarly that Ms.  
7 Wilson seems to be advocating, what does it do to sort of  
8 real-world ability to construct facilities that are going  
9 to be necessary to, you know, to meet the utility's  
10 needs? Do we -- and I just -- there may be a really good  
11 response to that question. I just wonder, you know, if  
12 it's -- you know, the utility needs lead time and, you  
13 know, sort of has to make certain choices at certain  
14 points in time to get those facilities constructed and  
15 into service. Do you all see any problems with the  
16 approach that you're advocating, problems specifically  
17 with the utility's ability to construct and meet its  
18 needs? Does my question make sense?

19 MR. THOMAS: Yeah. I think so, but I -- you  
20 know, I understand the, you know, the concern, right, is  
21 that we're going to layer all these complex modeling  
22 tools in there and then, you know, we're going to see  
23 drastic changes in the capacity expansion plan every two  
24 years based on, you know, whether or not some certainty



1 is resolved and things of that nature.

2 So I think -- just to take a step back, I  
3 think, you know, Duke has -- you know, you can't build a  
4 combined cycle in a year, so we have to understand that  
5 certain decisions have to be made in the face of that  
6 uncertainty. And so using endogenous retirement and, you  
7 know, specifically also the stochastic optimization, you  
8 know, that's going to give you in -- right now, when I  
9 run that model right now, it's going to say based upon  
10 the uncertainty that you're facing, this is the best  
11 plan. And if that plan says to build a combined cycle in  
12 four or five years, you kind of need to get started on  
13 that.

14 And if three years into the building when  
15 you're about to turn on that combined cycle, if that  
16 carbon pricing you thought was going to turn on suddenly  
17 doesn't or maybe it's stronger than you expected, your  
18 hope is that other aspects of the plan have kind of  
19 hedged your bets. Maybe you've built more of a certain  
20 resource to anticipate that carbon price moving one way  
21 or the other.

22 So I think there always is going to be a time  
23 at which a line in the sand has to be drawn and a  
24 resource has to be built, but the purpose of this

1 modeling is to build a plan that's robust enough in the  
2 face of that uncertainty, that once you've built the unit  
3 and turn it on, you don't have regrets because of the way  
4 you built -- the way you've optimized the rest of your  
5 system.

6 CHAIR MITCHELL: Okay. And that's a very  
7 helpful explanation. Mr. Metz, did you want to add  
8 something?

9 MR. METZ: I think the overall model aids in  
10 understanding of when I need to start planning new  
11 generation resources which would go into siting, and it  
12 also has to complement how the utilities have to plan  
13 their transmission system. So I think it's is it the  
14 chicken or the egg. But this is a first point where the  
15 utility can identify and say, hey, we need to retire a  
16 resource; if we retire it, what do we need to do in its  
17 absence? Where do we start building generation? How do  
18 we have to start building a transmission system?

19 CHAIR MITCHELL: Okay. All right. And  
20 listening to you explain this, Mr. Thomas, I realize you  
21 answered my question when you presented to us, so thank  
22 you for going through it again for me.

23 MR. THOMAS: Sure.

24 CHAIR MITCHELL: And thank you Mr. Metz.

1           COMMISSIONER CLODFELTER: All right. We'll  
2 move to Commissioner Duffley.

3           COMMISSIONER DUFFLEY: Thank you. I have one  
4 question, and it's with respect to your black box  
5 comments and your concerns about this black box, and  
6 other speakers have talked about the lack of visibility  
7 of this model when it spits out Allen needs to retire at  
8 this point in time. What suggestions do you have to  
9 combat that lack of visibility on how did the model come  
10 up with its choices, basically?

11           MR. THOMAS: Sure. So there's a couple  
12 different things that can be done. So the Attorney  
13 General made a great -- the Attorney General's  
14 presentation had a great suggestion just to allow  
15 Intervenors more insight into the model by Duke providing  
16 those inputs or somehow modeling licenses being made  
17 available, being able to just open up the model and look  
18 specifically at all of the -- all the inputs and  
19 assumptions. And what's nice about EnCompass is that all  
20 of that data can be exported to Excel in a way that  
21 wasn't really always the same with System Optimizer. So  
22 you could print out all of the fields, all the  
23 parameters, all the variables, and let people pour over  
24 that through Excel.

1           But I would say, you know, as these models get  
2 more complex, it's this black box method, and the problem  
3 is becoming -- it's just going to get worse. We've  
4 talked about that in ISOP stakeholder conferences. I  
5 would say, in my opinion, one of the greatest ways to  
6 peel back that problem, the black box layer, is through  
7 sensitivity analyses.

8           And so Duke often does these kind of high  
9 level, you know, low fuel, high fuel, low carbon, high  
10 carbon capital cost sensitivities, and really I think  
11 doing analysis on that and comparing those results can  
12 help you understand what's really driving particular  
13 retirements, you know, having multiple fuel forecasts  
14 embedded in there at different levels or changing capital  
15 cost of particular resources and -- will help show how  
16 the linear optimization models that are used to underpin  
17 EnCompass are making their decisions and where those are  
18 being -- where those choices are being made, because they  
19 are complex. But, you know, sometimes, you know, what --  
20 you know, the sensitivity analysis results that Duke has  
21 presented in the past are often presented kind of, now,  
22 we ran some sensitivities and here's a difference in NPV  
23 and then they move on. And that's fine, and we do our  
24 own kind of analysis of those results as well.

1           But I think really kind of digging deep into  
2 those and using those as a tool to explore why a coal  
3 unit was retired on a certain date, is it because gas is  
4 cheap -- so cheap in the future, is it because  
5 replacement resources are getting more -- are declining  
6 in cost faster than the -- than expected or -- and all  
7 those kind of features, and a little bit deeper dive into  
8 those results I think can help peel back some of that.

9           But it's always going to be a black box, but  
10 looking into the model and looking at how important  
11 variables change results can really help you kind of peer  
12 inside that.

13           COMMISSIONER DUFFLEY: Thank you. That was  
14 very helpful. I don't have any other questions.

15           COMMISSIONER CLODFELTER: Commissioner Hughes?

16           COMMISSIONER HUGHES: No questions. Thank you.

17           COMMISSIONER CLODFELTER: Commissioner  
18 McKissick?

19           COMMISSIONER McKISSICK: Just one or two  
20 questions. And first, I'd like to say I really  
21 appreciate your presentation. It was very thoroughly  
22 done. And I'm glad to see that the Public Staff does  
23 have a license and that they're getting the training they  
24 need to use EnCompass as a model.

1           Now, let me ask you this, you talk about the  
2           functionality of EnCompass and I've heard a lot about  
3           that today, but based upon your communications with Duke,  
4           to the extent there have been communications with Duke  
5           related to EnCompass, do you see them using the  
6           functionality of EnCompass to take into account the  
7           exogenous retirement type factors that you articulated a  
8           need for them to utilize moving forward?

9           MR. THOMAS: So I think Duke -- as they've  
10          shown today, Duke has talked today a lot about their  
11          method, the sequential peaker method, and I believe Duke  
12          believes that that was -- it is a very robust method and  
13          it required a deep analysis of operational cost and  
14          dynamic CapEx, so I'm not trying to disparage that  
15          method, and I think Duke may decide that they want to  
16          stick with that method going forward into 2022. They've  
17          not really said one way or the other I think what they  
18          plan to use, but I think from today's presentation, I  
19          believe that Mr. Snider and his team would prefer to use  
20          that methodology at least at first.

21          But, you know, as I said, you know, it does  
22          take additional effort to try that endogenous retirement.  
23          Dominion was able to present one scenario with endogenous  
24          retirement, and I think I would -- I would like, and we

1 still have to have conversations about this with Duke  
2 between now and September 2022, but I would like to see  
3 at least some portfolios or at least some sensitivities  
4 which do include this endogenous retirement with some of  
5 the practical considerations implemented and reasonably  
6 justified. And that will take extra time and effort on  
7 Duke's part, and I recognize that, but I do believe  
8 there's value in at least exploring it in 2022, and  
9 depending on how the Commission views it, perhaps having  
10 some of the primary portfolios rely on endogenous  
11 retirement instead of the sequential peaker method.

12 COMMISSIONER McKISSICK: My observation today,  
13 based upon the presentation we received, and I thought  
14 about asking them a question about it in particular, was  
15 whether with the adoption and moving forward with  
16 EnCompass they still plan to primarily use the sequential  
17 peaker method. But it sounded to me as if that was still  
18 the path they were headed down; it's just that they saw  
19 other potential uses and variables that could be utilized  
20 by moving that way.

21 Now, let me ask you this because, I mean,  
22 obviously you can go in and you can deal with things  
23 dealing with the, you know, exog--- my gosh, getting  
24 ready to mispronounce the word -- but what I'm truly

1 trying to drill down to is this, if you go out there and  
2 model all of this and you look at all the variables that  
3 are there, and even if you assume the same type of  
4 assumptions that Duke is making about moving toward, you  
5 know, combustion turbines, at any point in time in using  
6 EnCompass can you then also look at what potential  
7 stranded costs would be if you end up with these  
8 combustion turbine units out there at some point in the  
9 future? Obviously, you're extrapolating and going pretty  
10 far out in time, but does it have that functionality?

11 MR. THOMAS: That's a good question. I'm not  
12 entirely sure, to be honest. The EnCompass model is  
13 quite complex and we've had -- I believe Duke has  
14 probably had more conversations about the general  
15 functionality of the model with Anchor Power Solutions  
16 than we have. But our focus is particularly just focused  
17 on the endogenous retirement function. But if it's not  
18 something that's built into the model, certainly it's  
19 something that can be done post hoc after the model has  
20 been run.

21 But generally, when you're determining your  
22 optimal retirement dates, the sunk cost, the unamortized  
23 balance of plant, is -- it's typically not a factor in  
24 that decision. How do you deal with those costs going



1 forward, how you allocate them and how you recover them,  
2 whether you securitize them or you accelerate  
3 depreciation, those are more ratemaking questions because  
4 the assumption that the model has is that those  
5 unamortized plant balances or stranded costs, they're  
6 going to be paid by ratepayers one way or another.  
7 They're not going to be disallowed, in other words.

8 And so that assumption says, you know, don't  
9 make decisions now based upon money that you've already  
10 spent because that will lead to suboptimal solutions.

11 COMMISSIONER McKISSICK: So what you're  
12 indicating is that whether you securitize the debt for  
13 the early retirement of coal generating facilities or  
14 whether you look at potential stranded costs that could  
15 be involved if you moved the combustion turbine route and  
16 have to deal with how that impacts ratepayers at some  
17 point, those are all going to be separate independent  
18 matters that would not really come to play in utilizing  
19 EnCompass as a tool, is that correct, or that -- but at  
20 the same time you said it could be kind of layered on as  
21 a variable, but it's an independent decision that's  
22 probably made concurrently, but it's --

23 MR. THOMAS: I think --

24 COMMISSIONER McKISSICK: -- but it's not really

1 a part of what EnCompass would typically be used for. Is  
2 that what I'm hearing?

3 MR. THOMAS: I think so. And I just wanted to  
4 make sure, just to understand and make sure I'm  
5 understanding your question. So you're saying if -- not  
6 -- you're not so much talking about the stranded assets  
7 of coal once we retire; you're saying if we build a bunch  
8 of combined combustion turbines now and then in 15 years  
9 we find that we actually need to early retire those and  
10 build replacement resources then, you know, what happens  
11 then? Does EnCompass consider that?

12 COMMISSIONER McKISSICK: At the outset. That's  
13 correct. I mean, if --

14 MR. THOMAS: Yeah.

15 COMMISSIONER McKISSICK: -- you went out there  
16 and you built the combustion turbines, then how far out  
17 -- I mean, you're going 15 years in these IRPs, but how  
18 far out are you making these assessments? What I'm  
19 hearing you say, as it relates to EnCompass, you're  
20 basically looking at early retirement of coal and not  
21 thinking about the debt that's out there already invested  
22 that might need to be securitized with the coal  
23 generating facilities, nor would you be looking at  
24 necessarily the cost that could be stranded assets from

1 combustion turbine units going in at some point at a  
2 future date?

3 MR. THOMAS: Yeah. That's -- I recognize  
4 that's the coal stranded assets that's going to be  
5 addressed in build impact analysis, but, you know, as I  
6 was talking a little bit before about stochastics, and it  
7 is possible that kind of using that uncertainty analysis  
8 you might -- you know, you might see that -- that it's  
9 likely that some of these combustion turbines that you're  
10 building over the next 10 years might be retired early.  
11 You know, whether or not EnCompass can actually include  
12 that in their optimization algorithm, I'm really not  
13 sure. I'd have to speak a little bit with them and  
14 better understand how the model can do that. But  
15 typically when a new unit is built in EnCompass, it  
16 extends out through its life. The model would not retire  
17 that early, and so that's not really going to be a factor  
18 in its expansion plan.

19 There might be a way to make all new units that  
20 are built be eligible for endogenous retirement. I'm not  
21 sure if that's a possibility. And Ms. Wilson may know  
22 more. I believe she's worked with the model extensively.  
23 But, you know, that's obviously going to add significant  
24 computational time, where you have a model that's, you

1 know, building new units and immediately second guessing  
2 the build of that unit. I mean, you're -- you know, you  
3 might take what normally would be a three-day model run  
4 and stretch it into a three-week model run.

5 So certainly, I think it might be possible, but  
6 I don't know enough about the intricacies of the model to  
7 say whether or not it can do that.

8 COMMISSIONER McKISSICK: And so I know little  
9 about the intricacies of the model except for what I've  
10 read and heard. I thought I would look to you for  
11 additional insights. But I'm understanding your -- your  
12 characterizations of capability, functionality, and the  
13 way it most likely would be utilized, so I thank you for  
14 your presentation and for your feedback.

15 MR. THOMAS: Sure.

16 COMMISSIONER CLODFELTER: Okay. Gentlemen,  
17 thank you. And Mr. Thomas, I hope you get a prize for  
18 all the heavy lifting you did doing this presentation.  
19 Mr. Metz and Mr. Hinton, you two look good in suits and  
20 ties. Thank you all. Ms. Edmondson, is there anything  
21 else?

22 MS. EDMONDSON: That is all on this issue.

23 COMMISSIONER CLODFELTER: Okay. Thank you.  
24 Mr. Burns, don't go away. We're at 4:00. If we run to

1 5:00, can we take care of Mr. Levitas or not?

2 MR. BURNS: That would be fine.

3 COMMISSIONER CLODFELTER: Okay. We can do it?

4 MR. BURNS: Yes, sir. I believe we can.

5 COMMISSIONER CLODFELTER: Okay.

6 MR. BURNS: Mr. Levitas is here and can speak  
7 up on that if he feels like it, but based on our  
8 conversations, if we could push to 5:00 and finish him  
9 and the other Intervenor witness by 5:00, I think we'd be  
10 in good shape.

11 COMMISSIONER CLODFELTER: All right, because I  
12 know he's got problems tomorrow and that's why --

13 MR. BURNS: Yes, sir.

14 COMMISSIONER CLODFELTER: -- I want to be sure  
15 we get him in. But first I'm going to have to give our  
16 court reporter our afternoon break. I'm not going to  
17 push her through the afternoon break, so --

18 MR. BURNS: Understandable.

19 COMMISSIONER CLODFELTER: -- Mr. Breitschwerdt,  
20 I think given where we are, and we've heard an awful lot  
21 today and we've got a good -- good grasp on this issue,  
22 I'm not sure we really need rebuttal on this issue,  
23 especially given the constraints we've got with our  
24 witness availability right now. I'm going to sort of

1 plow ahead.

2 MR. BREITSCHWERDT: Press on. Sounds good.  
3 Thank you, sir.

4 COMMISSIONER CLODFELTER: All right.  
5 Understood. I appreciate your accommodating all we're  
6 trying to manage here. Thank you for that.

7 We'll break and come back at 4:10, and we'll  
8 start with the second topic, and we'll start first with  
9 the Intervenor presentation on the second topic. 4:10.

10 MR. BURNS: Thank you.

11 (Recess taken from 3:58 p.m. to 4:10 p.m.)

12 COMMISSIONER CLODFELTER: Let's go ahead and  
13 get started. And Mr. Burns, since you've got the witness  
14 here, I'm going to turn it over to you, and we'll start  
15 on Topic Number 2.

16 MR. BURNS: Thank you, Commissioner Clodfelter.  
17 I'm John Burns representing Carolinas Clean Energy  
18 Business Association. Thanks to Gudrun Thompson and Nick  
19 Jimenez for adjusting on the fly. We are going to  
20 present Steve Levitas as the first witness on the issue  
21 of all-source procurement, then we understand that  
22 Commissioners will -- the Commissioners will ask  
23 questions of Mr. Levitas, and then Mr. Jimenez will take  
24 over with another witness on the issue of all-source

1 procurement.

2 CCEBA is happy to sponsor the testimony of  
3 Steve Levitas, who is a member of the board of directors  
4 of CCEBA and Senior VP of Regulatory and Government  
5 Affairs at Pine Gate Renewables. Most importantly, Mr.  
6 Levitas was the Co-Chair, along with Jack Jirak of Duke,  
7 of the Competitive Procurement Subcommittee of Governor  
8 Cooper's North Carolina Energy Regulatory Process, or  
9 NERP, and he is going to discuss issues related to all-  
10 source procurement in the current docket. Mr. Levitas,  
11 take it away.

12 MR. LEVITAS: Thank you, John. Good afternoon,  
13 Commissioner Clodfelter and members of the Commission. I  
14 appreciate the opportunity to participate in this  
15 technical conference and share some thoughts with you  
16 about all-source procurement on behalf of CCEBA, and I  
17 personally thank you for accommodating my schedule.

18 As you consider the role of all-source  
19 procurement in the utility planning process, there are  
20 four primary points I'd like to share with you on behalf  
21 of CCEBA.

22 First, we believe that all generation resources  
23 should be competitively procured. Second, we believe  
24 that resource procurement, to the extent not

1 legislatively prescribed otherwise, should be directly  
2 linked to and driven by the integrated resource planning  
3 process. Third, we believe that competitive procurement  
4 should be open to all resource types and generation  
5 providers that can meet the identified resource need.  
6 Fourth, we believe that any new all-source procurement  
7 process should be implemented in connection with Duke's  
8 next IRP cycle and that in the interim, absent new  
9 legislative direction, the Commission should require  
10 immediate large-scale procurement of renewable energy  
11 pursuant to G.S. 62-110.8. CCEBA would strongly oppose  
12 delay in additional competitive procurement --  
13 competitive renewable procurement pending the  
14 implementation of a new all-source procurement process.  
15 We believe such delay would make it impossible to achieve  
16 Governor Cooper's decarbonization goals.

17           Beyond these four primary points, I'll share a  
18 few thoughts with you about the design of all-source  
19 procurement programs and how they are integrated into the  
20 planning process.

21           With respect to my first point, the benefits of  
22 competitive procurement are obvious and well understood.  
23 It drives cost down for ratepayers and spurs innovation.  
24 We have seen those benefits in Duke's implementation of



1 the CPRE program which has saved hundreds of millions of  
2 dollars for North Carolina ratepayers. CCEBA, as I said,  
3 believes that all generation resources should be  
4 competitively procured.

5 But assuming one agrees with that premise, how  
6 do we decide what resources should be procured? One of  
7 the primary goals of any integrated resource plan  
8 proceeding is to identify the current and future resource  
9 needs of a regulated utility. To understand the  
10 potential role of all-source procurement in the IRP  
11 process, one needs to start by considering the  
12 relationship between utility planning and procurement.

13 Under the traditional paradigm, which has been  
14 followed by the North Carolina utilities and this  
15 Commission in the past, planning and procurement are  
16 independent activities. Duke has described the IRP  
17 process as a continuous planning exercise that in any  
18 specific proceeding simply provides a "snapshot in time"  
19 of the utility's resource needs.

20 Under this view, the IRP does not necessarily  
21 determine what resources will be procured by the utility  
22 and it certainly doesn't directly drive the procurement  
23 process. Rather, when the utility decides that it has a  
24 need for a particular volume and type of new generation

1 resource, it typically files a petition for a certificate  
2 of public convenience and necessity to obtain permission  
3 to build, operate, and rate base that generation asset.  
4 In most cases one would expect the proposed resource to  
5 be consistent with the most recently approved IRP, but I  
6 don't understand that to be a requirement of law.

7 In approving a requested CPCN and making a  
8 finding that the proposed resource is reasonable and  
9 prudent, the Commission may well require the utility to  
10 demonstrate that the resource is cost effective relative  
11 to other alternatives, but that has not typically been  
12 done by requiring the utility to conduct a competitive  
13 solicitation in which multiple resources are able to  
14 compete to provide the identified resource need.

15 Among other problems with this approach, it  
16 doesn't lend itself to consideration of a portfolio of  
17 diverse resources, including, and this is of tremendous  
18 importance to CCEBA, ones owned and operated by parties  
19 other than the utility.

20 One way to link planning to procurement would  
21 be for the Commission to determine through the integrated  
22 resource planning process how much and what type of new  
23 generation should be procured. Under this approach,  
24 which is I think similar to what's occurring in South

1 Carolina, investor-owned utilities must meticulously and  
2 empirically evaluate resource needs and propose a  
3 specific preferred resource portfolio for the Commission  
4 to approve, modify, or reject. That approved resource  
5 plan would then presumably define the resources that the  
6 utility must competitively procure.

7 Alternatively, under all-source procurement,  
8 the IRP process does not initially produce such a  
9 prescriptive plan with respect to resource type. And let  
10 me just digress and say for a moment -- I think Duke  
11 points this out in their materials -- all-source  
12 procurement means many things to many people, and so  
13 there's not one exact definition of the term, so I'm  
14 going to describe it as I understand it, which is based  
15 heavily on the way it's been implemented in Colorado.

16 So in this approach, the preferred resource  
17 portfolio is developed through a three-step process.  
18 First, the Commission conducts a proceeding to consider  
19 the range of potential resource needs and a range of  
20 possible assumptions about key parameters, such as fuel  
21 cost, carbon pricing, capacity factors, stranded asset  
22 risks, and demand-side management penetration.

23 I want to especially underscore this point.  
24 All-source procurement does not eliminate the need for an

1 administrative proceeding in which many of the same  
2 issues that confront you in the IRP -- this IRP  
3 proceeding must be litigated. Once that step is  
4 completed, the utility conducts a competitive  
5 solicitation to secure firm pricing for various projects  
6 that may be selected for the preferred portfolio.

7           Finally, the utility proposes and the  
8 Commission approves a preferred portfolio based on the  
9 determination of what is most prudent and reasonable in  
10 light of the bid prices, the risk presented to  
11 ratepayers, and any other applicable policy goals. All-  
12 source procurement directly links the planning and  
13 procurement processes and ensures that the most cost-  
14 effective option for meeting the resource need is  
15 selected.

16           You'll note that there were two parts to my  
17 last sentence. The first was I said directly links the  
18 planning and procurement processes. That brings me to  
19 the second key CCEBA point. We strongly believe that  
20 absent express legislative direction to the contrary, all  
21 utility generation procurement should be directly driven  
22 by the planning process. In our view, the IRP should not  
23 be a paper exercise, but should lead directly to  
24 competitive procurement of generation resources. This

1 position is consistent with the recommendations of the  
2 NERP Competitive Procurement Subcommittee report, or the  
3 committee that Mr. Jirak and I co-chaired.

4           And let me just share two relevant excerpts  
5 from the subcommittee report which, by the way, I believe  
6 we provided as a supporting exhibit to my comments. Page  
7 7 of the report, and this was a consensus position of  
8 diverse stakeholders, including Duke, "In the event that  
9 a specific capacity or energy need is identified in any  
10 IRP, such need should be filled through an all-source RFP  
11 that clearly defines the operational and other  
12 characteristics of the needed resource, absent any unique  
13 circumstance." That's the end of the quote.

14           As an aside, it's important to note that the  
15 report referred not just to capacity needs, that is,  
16 where demand exceeds supply and new resources are needed  
17 for that basis, but also to energy needs, which is to say  
18 where there is a more -- potentially more cost-effective  
19 or less risky way to supply energy to customers over the  
20 planning period.

21           And then skipping to the next recommendation in  
22 our report which deals with the topic you've just  
23 finished covering, I'm quoting again, "If determined to  
24 be reasonable as part of an IRP, the Commission should

1 direct the utility to conduct one or more all-source RFPs  
2 to assess whether particular coal units can be retired in  
3 a cost-effective manner" -- skipping a parenthetical --  
4 "through the procurement of replacement generation."

5           The second part of my earlier sentence was  
6 "ensuring that the most cost-effective option for meeting  
7 the resource need is the one selected." All-source  
8 procurement helps achieve this goal by opening the  
9 procurement process to generation providers other than  
10 the investor-owned utility.

11           As you know, in regulated generation markets,  
12 customers typically are made to bear the construction and  
13 operating risk associated with generation resources owned  
14 by the monopoly utility. It's the rare occasion when  
15 regulated utilities are not allowed to recover from  
16 ratepayers most of the impact of construction delays and  
17 cost overruns. In addition, regulated IOUs typically  
18 continue to recover generation plant cost regardless of  
19 their operating performance.

20           By contrast, where energy and capacity are  
21 provided by independent power producers such as our  
22 members, they're not -- they, not the ratepayers, bear  
23 all these risks. Specifically, IPPs get paid only for  
24 the energy they actually produce and deliver. If they

1 fail to deliver, they lose revenue. That's not true for  
2 IOUs.

3 Another important issue is what the ownership  
4 and cost recovery model is for any competitively procured  
5 resources. Under CPRE no procured renewable generation  
6 resources are rate based, which would mean that the  
7 utility would be allowed the full capital cost, recovery  
8 of the full capital cost of the resource, plus an  
9 approved rate of return recovered over the useful life of  
10 the asset.

11 Rather, there are two alternative forms of cost  
12 recovery. The first is for the utility to purchase power  
13 from an independent power producer, such as my company,  
14 pursuant to a contract for a term of years. The second  
15 is for the utility to act as a market participant that  
16 competes and recovers cost just like an IPP, that is,  
17 through defined production revenues for a defined period  
18 of time.

19 CCEBA believes CPRE has served ratepayers well  
20 and is an excellent approach to procurement and cost  
21 recovery. However, it's well known that Duke and other  
22 utilities would prefer to be able to own in rate base new  
23 renewable generation resources, and House Bill 951, as  
24 passed by the House, would modify CPRE to allow it to do

1 so. It remains to be seen what, if anything, on this  
2 issue will be enacted into law and whether the  
3 Legislature will assign any role to the Commission in  
4 deciding appropriate ownership splits, so I don't intend  
5 to say any anything about that issue here, but if such a  
6 statutory change is made, CCEBA believes that any  
7 resource to be rate based and resources to be rate based  
8 have to be separately -- should be separately procured  
9 from PPA resources. That's because it's difficult to  
10 compare the cost of utility-owned rate base assets whose  
11 full cost plus an authorized rate of return is recovered  
12 over the useful life of the asset, to independently owned  
13 assets that contract to sell energy capacity for a  
14 defined term that is shorter than the facility's full  
15 useful life.

16 In order to make such a comparison, a so-called  
17 terminal value must be attributed to the independently  
18 owned asset for the remainder of its useful life after  
19 the initial contract period. That presents several  
20 problems. As an initial matter, it's far from certain  
21 that the IPP will even seek to sell its output to the  
22 utility after the initial contract period, which as you  
23 know for CPRE has been 20 years. Market opportunities  
24 for IPPs in 20 years may be dramatically different from



1 what they are today. That aside, calculating the  
2 terminal value is highly speculative and a controversial  
3 proposition. As a result, the NERP subcommittee  
4 recommended that PPA resources and utility-owned  
5 resources be separately procured, not procured in  
6 competition with each other. As I mentioned, CCEBA  
7 supports this approach, and I believe Duke does as well.

8           There's also a compelling case to be made that  
9 is in other states such as Virginia, Michigan, and  
10 Colorado, any utility owned and rate based assets should  
11 be competitively procured through a build/own transfer  
12 model under which independent third parties convey assets  
13 to the utility at commercial operation potentially  
14 somewhere earlier in the cycle. In addition to the  
15 direct cost benefits of this approach, there very well  
16 may be -- tax benefits could be possible to convey at  
17 some later point in time and still realize those -- fully  
18 utilize the tax benefits.

19           Finally, let me offer a few thoughts with  
20 respect to the questions posed by the Commission in its  
21 Order scheduling this technical conference. I've already  
22 generally described how an all-source procurement process  
23 might work. As to who should be involved in creating and  
24 administering that process, CCEBA strongly favors a

1 process that is established and overseen by the  
2 Commission as part of the integrated resource planning  
3 process rather than one that is separately administered  
4 by the utility.

5 As with CPRE, there is a need to involve an  
6 independent administrator or independent evaluator in the  
7 procurement process, the latter, in our view, being  
8 acceptable if the utility and its affiliates are not  
9 competing against independent market participants.

10 CCEBA supports the Commission's adoption of  
11 rules governing all sorts of procurement, which could  
12 potentially allow such a process to be utilized in  
13 conjunction with Duke's 2022 IRP submittal. As stated  
14 above, CCEBA also believes it's essential that any such  
15 process not delay or otherwise interfere with additional  
16 renewables procurement under 62-110.8 subject, again, to  
17 any modification of that statute that may be made by  
18 legislation this session.

19 With regard to statutory authority and the need  
20 for new legislation on these subjects, another question  
21 you posed, I've not conducted a thorough review of  
22 Chapter 62 with this issue in mind, but I'd share the  
23 following preliminary opinions.

24 First, the Commission has very broad powers

1 under G.S. 62-30 to "supervise and control" public  
2 utilities as it deems necessary.

3 Second, as you know, G.S. 62-110.8, as  
4 currently written, already provides for the competitive  
5 procurement of renewable resources, with the Commission  
6 having the authority to determine what procurement should  
7 be required after this year. I don't see any reason why  
8 the Commission, in exercising that authority, couldn't  
9 require that the need and cost effectiveness of  
10 additional renewables be based on an all-source  
11 procurement process.

12 Next, I think the Commission clearly has the  
13 authority under current law to deny a CPCN application by  
14 a utility if the utility has not demonstrated the  
15 prudence of the proposed facility by showing that it has  
16 prevailed in an all-source competitive procurement  
17 process.

18 Finally, I believe that under current law the  
19 Commission can disallow recovery of the cost of the  
20 continued operation of existing fossil fuel plants unless  
21 the utility demonstrates through competitive procurement  
22 that there is not more -- are not more cost effective  
23 alternatives for ratepayers.

24 As with any form of all-source procurement

1 under any of these scenarios, the Commission would need  
2 to establish applicable assumptions with respect to the  
3 parameters I mentioned earlier, fuel cost, carbon  
4 pricing, capacity factors, and stranded asset risk.

5 In closing, let me commend to you the Rocky  
6 Mountain Institute's 2020 report entitled How To Build  
7 Clean Energy Portfolios, A Practical Guide to Mixed  
8 Generation Procurement Practices. I apologize that I  
9 didn't think to submit a copy in advance, but I'd be  
10 happy to do so after today.

11 The report contains a wealth of information  
12 about competitive procurements around the country and  
13 analysis of best practices, and emphasized three things  
14 that I've touched on in my comments, the benefits of  
15 linking planning and procurement, the need to design a  
16 system for the procurement of portfolios of resources,  
17 not just individual generation units, and the importance  
18 of considering not just short-term cost, but long-term  
19 risk to ratepayers, what RMI and others refer to as a  
20 least-regrets analysis. And I believe, Commissioner  
21 Clodfelter, you may already be familiar with this report  
22 since you received a thank you in the acknowledgement  
23 section.

24 I also want to say in closing that in order to

1 accommodate my schedule, I am preceding John Wilson, but  
2 I do want to say that CCEBA is very supportive of Mr.  
3 Wilson's views on these matters. He's a leading national  
4 expert on this subject. And I'm sorry that I wasn't able  
5 to follow him and have the benefit of hearing what he had  
6 to say first, but I think it's very likely that we would  
7 agree on most issues.

8 So thank you, again, for the opportunity to  
9 share these thoughts. I'd be happy to answer any  
10 questions.

11 COMMISSIONER CLODFELTER: Thank you, Mr.  
12 Levitas. Let's see. Are there questions from Commission  
13 Staff?

14 MR. McDOWELL: Commissioner Clodfelter, I do  
15 not have any questions.

16 COMMISSIONER CLODFELTER: All right. Thank  
17 you. We'll turn to the Commissioners. Commissioner  
18 Brown-Bland?

19 COMMISSIONER BROWN-BLAND: No questions for Mr.  
20 Levitas.

21 COMMISSIONER CLODFELTER: All right.  
22 Commissioner Gray?

23 COMMISSIONER GRAY: No questions, but thank Mr.  
24 Levitas for his presentation.

1 COMMISSIONER CLODFELTER: Chair Mitchell?

2 CHAIR MITCHELL: Just one question. And Mr.  
3 Levitas, you've explained this in your remarks, but I  
4 want you to do it again just for my benefit. Explain the  
5 linking -- explain how the all-source RFP would work in  
6 conjunction with the planning process, how do the two go  
7 together?

8 MR. LEVITAS: So as I mentioned, I favor the  
9 Colorado model, and that is -- it is a, by definition,  
10 integrated process of planning and procurement. And so  
11 in the first phase of the process, the Commission does  
12 two things. It considers generally what it's trying to  
13 solve for with respect to resource needs, which may be  
14 contingent on the prices that are obtained through the  
15 procurement process. So the Commission may say we think  
16 it might make sense to retire these coal plants, we're  
17 not exactly sure what pricing we'll get and whether we  
18 will actually save money for ratepayers, but we have  
19 enough reason to think that -- that the market would  
20 support the transition, so we're going to go out into the  
21 market and get pricing with the goal of procuring new  
22 resources and retiring old ones.

23 As I mentioned, the other thing that has to  
24 happen in that first phase of the proceeding is the

1 Commission, through a -- typically through a litigated  
2 process or settlement, would have to have some way of  
3 establishing the parameters or certain assumptions to be  
4 fed into the portfolio development. A particularly  
5 obvious example of that is what assumption is made about  
6 gas prices, because the procurement that you're going to  
7 do with respect to a gas plant is going to be for the  
8 capital cost. It's not going to be for firm gas pricing.  
9 So if you're comparing, say, gas to solar plus storage,  
10 you're going to need to know about the -- you're going to  
11 need to make an assumption about what it's going to cost  
12 you to run that gas plant. Similarly, with respect to  
13 the solar and the storage, you're going to have to make  
14 an assumption about its capacity factor and how much it  
15 operates in order to -- for those resources to be  
16 compared.

17 So all that happens in the first phase. Then  
18 the utility goes into the marketplace and conducts an  
19 RFP. It gets real bids back that are going to lead to  
20 real awards, assuming the Commission approves the plan,  
21 and then the utility in conjunction, what I mentioned,  
22 with an independent evaluator, would prepare a proposed  
23 portfolio that is based on a combination of the  
24 assumptions that the Commission has approved and the

1 market pricing that it's obtained through the competitive  
2 solicitation and then present that portfolio to the  
3 Commission for approval. And assuming the Commission  
4 approves it, the utility would enter into contracts with  
5 the parties that have been identified in the RFP, and it  
6 would contract to procure those resources.

7 CHAIR MITCHELL: So just to follow up there,  
8 from a timing perspective, though, I mean, you know, the  
9 IRP has been a long -- you know, it's a forward-looking  
10 process. We go out 15 years. So is the procurement that  
11 you're -- of which you speak, is it a long-term -- I  
12 mean, are we looking 15 years out? Are we solving for  
13 the most -- for the first need identified in Phase 1?  
14 Help me understand the timing.

15 MR. LEVITAS: That's a really good question,  
16 and I believe one of the earlier witnesses talked about  
17 this timing issue. And, obviously, the -- I think Mr.  
18 Snider testified that the new resources have to be  
19 procured on a schedule that would allow the existing  
20 resource to be retired, so that's the first thing. But I  
21 think more directly to your question, Chair Mitchell, the  
22 -- these procurements would occur in tranches or stages.  
23 So you may do a 15-year plan that gives you a long-term  
24 projection of what the likely needs are, but the actual



1 all-source procurement would be based on some definition  
2 of near-term needs.

3           So if you said, okay, what we're trying to take  
4 a look at is retiring Roxboro, and so we're going to look  
5 at a portfolio of resources to replace that plant by 2026  
6 or some date, that's all you would be doing in that  
7 initial procurement. And you would have a series of  
8 procurements. It might be possible that there would be  
9 more than one round coming out of a single IRP proceeding  
10 if you're having biennial IRP proceedings, or it may be  
11 that the way to think about it is that every two years  
12 you're having a procurement that is driven by the most  
13 up-to-date IRP process. But you would not be committing  
14 at day one to procurement of all of the resources that  
15 were projected to be needed over a 15-year period.

16           CHAIR MITCHELL: Okay. That's helpful. Thank  
17 you for that.

18           COMMISSIONER CLODFELTER: Anything further?

19           CHAIR MITCHELL: (Shakes head negatively.)

20           COMMISSIONER CLODFELTER: Commissioner Duffley?

21           COMMISSIONER DUFFLEY: So thank you, Mr.  
22 Levitas, for your presentation. I just had a follow-up  
23 question to Chair Mitchell's question. In this type of  
24 scenario where you would be doing it every two years, and

1 we heard Mr. Snider talk about, you know, a time frame  
2 that he thought that the need maybe in the '24/'25 time  
3 frame was going to be pushed out, how -- I mean, how has  
4 Colorado dealt with that, or has anyone dealt with that  
5 if you set up a procurement process and the need does not  
6 materialize?

7 MR. LEVITAS: I can't say that I have direct  
8 experience with that situation. I think, you know, if it  
9 is the case that Governor Cooper's decarbonization goals  
10 become the law of the state, it will not be possible to  
11 implement those goals without regular procurements  
12 occurring almost every year. And so we'll see, you know,  
13 what happens in the Legislature. I don't want to  
14 speculate about that. But -- and by the way, I should  
15 also mention there's federal legislation pending that  
16 could also be a driver for this.

17 So if there is any sort of external driver with  
18 respect to -- specifically with respect to  
19 decarbonization, that is going to create a new type of  
20 need, so the need is not just from, you know, does the  
21 supply meet the demand. It is we've got an established  
22 policy goal in the state, and we have to systematically  
23 go about implementing and achieving it.

24 COMMISSIONER DUFFLEY: Okay. Thank you. And

1 so that would -- that would go along with we're going to  
2 retire this certain coal unit at this certain time, and  
3 that's where you kind of see the -- this type of  
4 procurement requirement?

5 MR. LEVITAS: That's right.

6 COMMISSIONER DUFFLEY: Okay. Thank you for  
7 that. I don't have anything further.

8 COMMISSIONER CLODFELTER: Thank you.  
9 Commissioner Hughes?

10 COMMISSIONER HUGHES: Yes. I have a question  
11 about just transmission cost and interconnection cost.  
12 You know, I know how we're doing it with the CPRE, but  
13 just moving forward with your approach, who would bear  
14 the risk of transmission costs that, say, come in much  
15 higher than, you know, the original proposal? It seems  
16 like you could lock in -- I mean, you could lock in the  
17 generation cost, but then the transmission cost just  
18 seemed to be a moving target often.

19 MR. LEVITAS: Right. Well, I guess the first  
20 thing that I would say is that where you do have an  
21 external policy driver, particularly with respect to  
22 carbon, or for that matter if you had a need with respect  
23 to system reliability, if you have a firm need, that is,  
24 you've got to have new generation either because you've

1 got a plant that's got to be retired and you've got to  
2 replace it, or because you have an environmental policy  
3 goal that has to be achieved under state or federal law,  
4 then, you know, absent some off-ramp that says you don't  
5 have to do it under certain circumstances, then it's  
6 necessary to achieve the goal, and the objective is how  
7 do you achieve it in the least cost way and the least  
8 risky way, the least regrets way.

9 And you're absolutely right, Commissioner  
10 Hughes, that transmission costs are the unknown, the  
11 question mark. The cost of generation is continuing to  
12 go down. That's not the obstacle that we face in, you  
13 know, our energy future. It is transmission cost and  
14 upgrade cost.

15 You know, I think that what -- you know, what I  
16 would expect would happen is that if you have an  
17 identified portfolio and you have not -- and the  
18 transmission or upgrade cost, interconnection cost of  
19 that portfolio have not been fully studied and fully  
20 evaluated, that you may want to have that be a  
21 contingency. In other words, I mean, in an ideal world  
22 the decision about the portfolio would be made when those  
23 costs are fully known. And I'd need to think about it  
24 further, but I don't think that it's impossible to do

1 that.

2 I don't think in CPRE to date we've seen a lot  
3 of shift in transmission cost from the time awards were  
4 made until the time the contracts were signed. There's  
5 certainly the potential for that to occur, but I think  
6 the short answer to your question is in an ideal world  
7 the selection of the preferred portfolio would be made  
8 after the costs were known so you wouldn't have that risk  
9 of cost increases.

10 COMMISSIONER HUGHES: Okay. I appreciate that.  
11 No further questions.

12 COMMISSIONER CLODFELTER: Commissioner  
13 McKissick?

14 COMMISSIONER MCKISSICK: Thank you,  
15 Commissioner Clodfelter. Just one question. You've  
16 spoken of Colorado. How longstanding is this experience  
17 in Colorado, and what's the track record been like?

18 MR. LEVITAS: I believe Mr. Wilson can speak to  
19 that in detail, and it's certainly discussed in detail in  
20 the Rocky Mountain Institute report I mentioned. My  
21 recollection and my belief is that there was a -- they've  
22 been sort of working on implementing this for the better  
23 part of a decade, but the really successful detailed,  
24 fully flushed out version of this they may have only done

1 once. I think it started in 2016 and concluded around  
2 2019, if I'm remembering correctly.

3 I can tell you that it was wildly successful.  
4 They had a huge number of bids. The pricing that came in  
5 was incredibly attractive and resulted in significant  
6 savings for ratepayers.

7 COMMISSIONER McKISSICK: Thank you. No further  
8 questions.

9 COMMISSIONER CLODFELTER: Mr. Levitas, I want  
10 to ask you one question that's really rolling around in  
11 my head, and so I want to get your help with how I should  
12 think about this.

13 You, in your presentation, urged the Commission  
14 not to delay continued rounds in the CPRE process under  
15 the existing statute after the end of a 45-month period,  
16 not to delay that waiting for a much larger all-source  
17 procurement, but continue to let that model continue to  
18 operate. And so this is the question that's rolling  
19 around in my head. The statute that authorizes the  
20 Commission to continue that program says we are to base  
21 that continuation upon the showing of need in the  
22 utility's most recent integrated resource plans. And so  
23 I look at the integrated resource plans on file and  
24 currently under consideration, and in the base case

1 without carbon, no new renewable resources are  
2 economically selected. All the additional renewable  
3 resources are legacy resources from PURPA or from the  
4 existing CPRE program or the South Carolina procurement  
5 program. So what's my basis of need if I'm going to say  
6 the base case is the reasonable planning case? What is  
7 the need if it is shown for another round of CPRE  
8 procurement?

9 MR. LEVITAS: Well, thank you for that  
10 question, Commissioner Clodfelter. The first thing I  
11 would say again is that this deck may get reshuffled by  
12 the Legislature, and we'll see where that lands, so we  
13 should be mindful of that. But in the absence of  
14 legislation, my response would be, well, first of all,  
15 that I do think that given how far along you are with  
16 this IRP process, that it would make sense to complete  
17 this IRP cycle for the purpose of making that decision.  
18 So that's the first thing. So -- and maybe that's what  
19 you envision. I'm not sure. The last IRP is several  
20 years old. You're well into a current IRP process. So  
21 that's the first thing I would say.

22 If you should decide to accept the base case  
23 scenario and then identify no need, then it may well be  
24 that you would not be inclined, maybe don't have the

1 authority to order additional renewables procurement, as  
2 I suggested. Implicit in my recommendation is, you know,  
3 the positions and testimony that you have received from  
4 us and others that the base case is not the appropriate  
5 scenario and that -- and as the South Carolina Commission  
6 has found is not the appropriate scenario and is  
7 reflected in Duke's resubmittal in South Carolina, so  
8 there -- my -- I don't want to get into litigating those  
9 issues, but there are certainly multiple pathways in  
10 front of you that could lead you to a different  
11 conclusion.

12 COMMISSIONER CLODFELTER: Thank you for that.  
13 I won't press you further on it. I just want you  
14 thinking about the same question that we're rolling  
15 around in our head. And to the extent you have thoughts  
16 to share, we are interested in hearing. Thank you.

17 That's all I have. And I believe, Mr. Burns,  
18 that's going to conclude with Mr. Levitas; am I correct?

19 MR. BURNS: Yes, sir.

20 COMMISSIONER CLODFELTER: Okay. I tell you  
21 what, given the hour, and we've -- the Chair has had to  
22 leave us already, so rather than start anything new,  
23 we'll break for the day. Thank everybody for a very  
24 efficient and well-organized day. I'm looking forward to



1 a repeat tomorrow. So we'll be back tomorrow morning at  
2 9:30 a.m. And remind me again, who is to be up next?

3 MR. BURNS: It will be the SACE Intervenors  
4 with the witness that is Mr. Wilson, John Wilson.

5 COMMISSIONER CLODFELTER: Very good. 9:30 a.m.  
6 tomorrow. Check in in advance, make sure you have no  
7 technology problems, and we'll resume at 9:30. Take  
8 care.

9 (The technical conference was recessed, to be  
10 continued on October 1, 2021, at 9:30 a.m.)

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24


STATE OF NORTH CAROLINA  
COUNTY OF WAKE

C E R T I F I C A T E

I, Linda S. Garrett, Notary Public/Court Reporter, do hereby certify that the foregoing hearing before the North Carolina Utilities Commission in Docket No. E-100, Sub 165 was taken and transcribed under my supervision; and that the foregoing pages constitute a true and accurate transcript of said Hearing.

I do further certify that I am not of counsel for, or in the employment of either of the parties to this action, nor am I interested in the results of this action.

IN WITNESS WHEREOF, I have hereunto subscribed my name this 14th day of October, 2021.



Linda S. Garrett, CCR  
Notary Public No. 19971700150