

PLACE: Dobbs Building, Raleigh, North Carolina

DATE: Tuesday, September 20, 2022

TIME: 9:34 a.m. - 12:46 p.m.

DOCKET NO.: E-100, Sub 179

BEFORE: Chair Charlotte A. Mitchell, Presiding

Commissioner ToNola D. Brown-Bland

Commissioner Daniel G. Clodfelter

Commissioner Kimberly W. Duffley

Commissioner Jeffrey A. Hughes

Commissioner Floyd B. McKissick, Jr.

Commissioner Karen M. Kemeraït

IN THE MATTER OF:

Duke Energy Progress, LLC, and

Duke Energy Carolinas, LLC,

2022 Biennial Integrated Resource Plans

and Carbon Plan

VOLUME: 17

1 A P P E A R A N C E S:

2 FOR DUKE ENERGY CAROLINAS, LLC and DUKE ENERGY

3 PROGRESS, LLC:

4 Jack E. Jirak, Esq., Deputy General Counsel

5 Kendrick C. Fentress, Esq., Associate General Counsel

6 Jason A. Higginbotham, Esq., Associate General Counsel

7 Kathleen Hunter-Richard, Esq.

8 Duke Energy Corporation

9 Post Office Box 1551

10 Raleigh, North Carolina 27602

11
12 Andrea Kells, Esq.

13 E. Brett Breitschwerdt, Esq., Partner

14 McGuireWoods LLP

15 501 Fayetteville Street, Suite 500

16 Raleigh, North Carolina 27601

17
18 Vishwa B. Link, Esq., Partner

19 McGuireWoods LLP

20 Gateway Plaza

21 800 East Canal Street

22 Richmond, Virginia 23219-3916

23

24

A P P E A R A N C E S Cont'd.:
Lara S. Nichols, Vice President,
State & Federal Regulatory Legal
Duke Energy Corporation
4720 Piedmont Row Drive
Charlotte, North Carolina 28210

FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:
Taylor Jones, Esq., Regulatory Counsel
4800 Six Forks Road, Suite 300
Raleigh, North Carolina 27609

FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY, NATURAL
RESOURCES DEFENSE COUNCIL, and THE SIERRA CLUB:
Gudrun Thompson, Esq., Senior Attorney
David, L. Neal, Esq., Senior Attorney
Nicholas Jimenez, Esq., Senior Attorney
Southern Environmental Law Center
200 West Rosemary Street, Suite 220
Chapel Hill, North Carolina 27516

1 A P P E A R A N C E S Cont'd.:
2 CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY RATES II
3 AND III:
4 Christina D. Cress, Esq., Partner
5 Douglas E. Conant, Esq., Associate
6 Bailey & Dixon, LLP
7 434 Fayetteville Street, Suite 2500
8 Raleigh, North Carolina 27601

9
10 FOR CAROLINA UTILITY CUSTOMER ASSOCIATION and
11 FOR TECH CUSTOMERS:
12 Matthew B. Tynan, Esq.
13 Brooks Pierce
14 Post Office 26000
15 Greensboro, North Carolina 27420

16
17 Craig Schauer, Esq.
18 Brooks Pierce
19 1700 Wells Fargo Capitol Center
20 150 Fayetteville Street
21 Raleigh, North Carolina 27601

22

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR CAROLINAS CLEAN ENERGY BUSINESS ASSOCIATION:

3 John D. Burns, Esq., General Counsel

4 811 Ninth Street, Suite 120-158

5 Durham, North Carolina 27705

6

7 FOR BRAD ROUSE:

8 Brad Rouse, Pro se

9 Brad Rouse Consulting

10 3 Stegall Lane

11 Asheville, North Carolina 28805

12

13 FOR CLEAN POWER SUPPLIERS ASSOCIATION:

14 Ben Snowden, Esq., Partner

15 Erin Catlett, Esq., Associate

16 Jack Taggart, Esq., Associate

17 Fox Rothschild LLP

18 434 Fayetteville Street, Suite 2800

19 Raleigh, North Carolina 27601

20

21

22

23

24

1 A P P E A R A N C E S Cont'd.:
2 FOR THE ENVIRONMENTAL WORKING GROUP:

3 Andrea C. Bonvecchio, Esq.
4 The Law Offices of F. Bryan Brice, Jr.
5 127 West Hargett Street, Suite 600
6 Raleigh, North Carolina 27601
7

8 Carolina Leary, Esq.
9 1250 I Street Northwest, Suite 1000
10 Washington, DC 20005
11

12 FOR WALMART INC.:
13 Carrie H. Grundmann, Esq., Member
14 Spilman Thomas & Battle, PLLC
15 110 Oakwood Drive, Suite 500
16 Winston-Salem, North Carolina 27103
17

18 FOR CITY OF CHARLOTTE:
19 Karen Weatherly, Esq., Senior Assistant City Attorney
20 600 East Fourth Street
21 Charlotte, North Carolina 28202
22
23
24

1 A P P E A R A N C E S Cont'd.:

2 FOR APPALACHIAN VOICES:

3 Catherine Cralle Jones, Esq.

4 The Law Offices of F. Bryan Brice, Jr.

5 127 West Hargett Street, Suite 600

6 Raleigh, North Carolina 27601

7

8 FOR REDTAILED HAWK COLLECTIVE, ROBESON COUNTY

9 COOPERATIVE FOR SUSTAINABLE DEVELOPMENT, ENVIRONMENTAL

10 JUSTICE COMMUNITY ACTION NETWORK, and DOWN EAST ASH

11 ENVIRONMENTAL AND SOCIAL JUSTICE COALITION:

12 Ethan Blumenthal, Esq.

13 ECB Holdings LLC

14 1624 Nandina Comers Alley

15 Charlotte, North Carolina 28205

16

17 FOR NC WARN and

18 FOR CHARLOTTE-MECKLENBURG NAACP:

19 Matthew D. Quinn, Esq.

20 Lewis & Roberts, PLLC

21 3700 Glenwood Avenue, Suite 410

22 Raleigh, North Carolina 27612

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR BROAD RIVER ENERGY, LLC:

3 Patrick Buffkin, Esq.

4 Buffkin Law Office

5 3520 Apache Drive

6 Raleigh, North Carolina 27609

7

8 FOR KINGFISHER ENERGY HOLDINGS, LLC, and

9 FOR PERSON COUNTY, NORTH CAROLINA:

10 Patrick Buffkin, Esq.

11 Buffkin Law Office

12 3520 Apache Drive

13 Raleigh, North Carolina 27609

14

15 Kurt Olson, Esq.

16 The Law Office of Kurt J. Olson, PLLC

17 Post Office Box 10031

18 Raleigh, North Carolina 27605

19

20 FOR NORTH CAROLINA ELECTRIC MEMBERSHIP CORPORATION:

21 Tim Dodge, Esq., Regulatory Counsel

22 3400 Sumner Boulevard

23 Raleigh, North Carolina 27616

24

1 A P P E A R A N C E S Cont'd.:

2 FOR THE CITY OF ASHEVILLE and COUNTY OF BUNCOMBE:

3 Jannice Ashley, Esq., Senior Assistant City Attorney

4 City Attorney's Office

5 70 Court Plaza

6 Asheville, North Carolina 28801

7

8 Curt Euler, Esq., Senior Attorney II

9 Buncombe County

10 200 College Street, Suite 100

11 Asheville, North Carolina 28801

12

13 FOR MAREC ACTION:

14 Bruce Burcat, Esq, Executive Director

15 MAREC Action

16 Post Office Box 385

17 Camden, Delaware 19934

18

19 Kurt J. Olson, Esq.

20 Law Office of Kurt J. Olson, PLLC

21 Post Office Box 10031

22 Raleigh, North Carolina 27605

23

24

1 A P P E A R A N C E S Cont'd.:
2 FOR TOTALENERGIES RENEWABLES USA, LLC, and
3 FOR CLEAN ENERGY BUYERS ASSOCIATION:
4 Joseph W. Eason, Esq.

5 Nelson, Mullins, Riley & Scarborough LLP
6 4140 Parklake Avenue, Suite 200
7 Raleigh, North Carolina 27612

8
9 Weston Adams, Esq.
10 Nelson, Mullins, Riley & Scarborough LLP
11 1320 Main Street, Suite 1700
12 Columbia, South Carolina 29201

13
14 FOR PORK COUNCIL:
15 Kurt J. Olson, Esq.
16 Law Office of Kurt J. Olson, PLLC
17 Post Office Box 10031
18 Raleigh, North Carolina 27605

19
20 FOR COUNCIL OF CHURCHES:
21 James P. Longest, Jr., Esq.
22 Duke University School of Law
23 Box 90360
24 Durham, North Carolina 27708

1 A P P E A R A N C E S Cont'd.:

2 FOR AVANGRID RENEWABLES, LLC:

3 Benjamin Smith, Esq.

4 Todd S. Roessler, Esq.

5 Joseph S. Dowdy, Esq.

6 Kilpatrick Townsend & Stockton LLP

7 4208 Six Forks Road, Suite 1400

8 Raleigh, North Carolina 27609

9

10 FOR SEAN LEWIS:

11 Sean Lewis, Pro se

12 640 Firebrick Drive

13 Cary, North Carolina 27519

14

15 FOR THE USING AND CONSUMING PUBLIC, THE STATE, AND ITS
16 CITIZENS:

17 Margaret Force, Esq., Special Deputy Attorney General

18 Tirrill Moore, Esq., Assistant Attorney General

19 North Carolina Department of Justice

20 Post Office Box 629

21 Raleigh, North Carolina 27602

22

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR THE USING AND CONSUMING PUBLIC:

3 Lucy Edmondson, Esq., Chief Counsel

4 Robert Josey, Esq.

5 Nadia L. Luhr, Esq.

6 Anne Keyworth, Esq.

7 William E.H. Creech, Esq.

8 William Freeman, Esq.

9 Public Staff - North Carolina Utilities Commission

10 4326 Mail Service Center

11 Raleigh, North Carolina 27699-4300

12

13

14

15

16

17

18

19

20

21

22

23

24

T A B L E O F C O N T E N T S
E X A M I N A T I O N S

TRANSMISSION PANEL OF SAMMY ROBERTS AND MAURA FARVER PAGE

Cross Examination By Ms. Grundmann..... 15

Cross Examination By Mr. Josey..... 17

Redirect Examination By Ms. Kells..... 53

LONG LEAD-TIME RESOURCES PANEL OF REGIS REPKO, STEVE IMMEL, CHRIS NOLAN AND CLIFT POMPEE PAGE

Direct Examination By Ms. Link..... 63

Prefiled Direct Testimony of Long Lead-Time ... 69
Resources Panel of Regis Repko, Steve Immel,
Chris Nolan, and Clift Pompee

Prefiled Summary Testimony of Long 128
Lead-Time Resources Panel of Regis Repko,
Steve Immel, Chris Nolan, and Clift Pompee

Cross Examination By Mr. Smith..... 130

Cross Examination By Mr. Burns..... 175

Cross Examination By Ms. Cress..... 203

E X H I B I T S

IDENTIFIED/ADMITTED

Public Staff Transmission Panel	31/61
Direct Cross Examination	
Exhibit 1	
Public Staff Transmission Panel	43/61
Direct Cross Examination	
Exhibit 2	
Public Staff Transmission Panel	50/61
Direct Cross Examination	
Exhibit 3	
Transmission Panel Exhibits 1 through 4	-/60
Confidential Transmission Panel	-60
Exhibit 5	
CCEBA Transmission Panel Direct	-/62
Cross Examination Exhibit 1	
CIGFUR II and III Transmission Panel Direct Cross Examination Exhibits 1 through 3	-/62
Avangrid Transmission Panel Direct .	-/62
Cross Examination Exhibit 1	
CIGFUR II and III Long Lead-Time ...	205/-
Panel Direct Cross Examination Exhibit Number 1	

1 P R O C E E D I N G S

2 CHAIR MITCHELL: All right. Good
3 morning. Let's go back on the record, please.
4 Walmart, you're up.

5 MS. GRUNDMANN: Thank you, Chair
6 Mitchell.

7 Whereupon,

8 SAMMY ROBERTS AND MAURA FARVER,
9 having previously been duly sworn, were examined
10 and testified as follows:

11 CROSS EXAMINATION BY MS. GRUNDMANN:

12 Q. Good morning, panel, my name is
13 Carrie Grundmann on behalf of Walmart. I have a couple
14 of questions that I think are predominantly for
15 Mr. Roberts, and I hope it's just a couple of
16 questions.

17 Yesterday, in response to some questions from
18 counsel for Avangrid, I think you indicated that the,
19 sort of, preliminary results from the NCTCP weren't
20 sufficient to, sort of, evaluate the location for
21 interconnecting offshore wind and that an actual
22 interconnection study needed to be conducted; is that
23 fair?

24 A. (Sammy Roberts) Yeah. I would say that the

1 NCTPC offshore wind study results are directionally
2 correct. However, in order to know the true network
3 upgrades that need to be constructed for injecting a
4 certain megawatt level, you would have to put in an
5 interconnection request into a DISIS study.

6 Q. And that -- by network upgrades, you mean any
7 upgrades, network transmission, sort of all of the
8 above what would be necessary to interconnect that
9 particular project?

10 A. Yes, that's correct.

11 Q. Okay. And is it fair to say that, of the
12 three parcels of offshore wind off the coast of
13 North Carolina, that none of the three of those have
14 entered DISIS in 2022?

15 A. That is correct.

16 Q. And the earliest they could enter would be
17 January 1, 2023?

18 A. That's the next DISIS enrollment window.

19 Q. And so whether it is the Avangrid total or
20 Duke affiliate facility, at this point in time the
21 Company does not know definitively the costs associated
22 with interconnecting any one or more of those
23 particular parcels of offshore wind?

24 A. Right. Based on using the NCTPC study as

Page 17

1 directionally correct, saying New Bern is the preferred
2 point of interconnection, we have conducted internal
3 analysis to look at what it would take to interconnect
4 to New Bern. And those numbers were provided in a data
5 request comparing that against other points of
6 interconnection.

7 Q. And when you studied that connecting to New
8 Bern, did you study that based on one particular parcel
9 of land?

10 A. No.

11 Q. Okay. Thank you, sir. Those are all the
12 questions that I have.

13 CHAIR MITCHELL: All right. Mr. Josey?

14 CROSS EXAMINATION BY MR. JOSEY:

15 Q. Good morning, Ms. Farver, Mr. Roberts, I'm
16 Robert Josey with the Public Staff. Let's stick with
17 offshore wind for a moment.

18 Mr. Roberts, you were just discussing the
19 need for a DISIS interconnection study for the wind
20 project.

21 Is Duke anticipating studying the point of --
22 requesting a point of interconnection in New Bern at
23 this point?

24 A. That's correct. We have it in our Near-Term

1 Action Plan to submit a generator interconnection
2 request with the point of interconnection being New
3 Bern.

4 Q. And I believe you said yesterday that
5 interconnecting into New Bern would require the
6 transmission line from New Bern to Raleigh to be
7 upgraded from a 230 kV line to a 500 kV line; is that
8 right?

9 A. So based on an informal analysis, no. I
10 mean, it depends on the megawatt level. So if you're
11 looking to connect, this is what we had in our
12 stakeholder meeting on one of the slides. I believe
13 it's the March stakeholder meeting. That if you want
14 to connect 1,600 megawatts of offshore wind into New
15 Bern, you would need a 500 kV line.

16 Q. Okay. So if it's just Duke Energy requesting
17 interconnection into that line or an offshore wind
18 facility, then it may not need to be upgraded from 230
19 to 500; but if either of the other potential facilities
20 were to request an interconnection there, it would need
21 to be a 500 kV line?

22 MS. KELLIS: Objection. Chair Mitchell,
23 Mr. Roberts' testimony doesn't really get into the
24 different parcels and amounts of those.

Page 19

1 MR. JOSEY: I think it's common
2 knowledge and been testified at this point how many
3 megawatts are looking to interconnect into that
4 particular point of interconnection based off of
5 the 2022 NCTPC study.

6 CHAIR MITCHELL: All right. I'm gonna
7 overrule the objection. Ask your again so that he
8 may answer it.

9 Q. I'll ask it another way. If there were more
10 than the 800 megawatts of offshore wind looking to
11 interconnect into the New Bern substation, would that
12 line need to be upgraded from 230 to 500?

13 A. Yeah. I mean, based on informal analysis and
14 looking at the results of the 2022 DISIS where some of
15 the solar is requesting interconnection, if a lot of
16 that solar interconnects, then you could possibly need
17 a 500 kV line above that amount.

18 Q. Okay. And just because you touched on the
19 solar that could possibly interconnect to that line in
20 the 2022 DISIS, that is -- that line is outside the red
21 zone currently, correct?

22 A. That's correct.

23 Q. Okay. And if the line were to be upgraded
24 from a 230 to a 500 kV line, would it -- was that

1 completely rebuilding a new line or is that considered
2 an upgrade?

3 A. Yeah. So what we're reflecting and reflected
4 in the stakeholder meeting, in Appendix P, is that you
5 would need a new 500 kV line, for which we already have
6 substantial right of way. But it would be a new 500 kV
7 line from New Bern to Womack to Wake.

8 Q. And do you know if needing that new --
9 building a new 500 kV line along that corridor would
10 require a CECPCN by this Commission?

11 A. So I think it would require a CPCN or CEPCN.
12 I mean, you're gonna most likely have to require a
13 right-of-way extension for a portion of that 500 kV
14 line.

15 Q. Okay. Thank you. And to your knowledge, do
16 you know if Duke Energy Renewables, who owns the
17 facility at this time, or owns the lease parcel,
18 intends to enter into the 2023 DISIS?

19 A. I will defer that to the Long Lead team.

20 Q. Okay. But there's nothing stopping Duke
21 Energy Renewables from submitting an interconnection
22 request?

23 A. Not to my knowledge.

24 Q. And if this facility were to enter into the

1 2023 DISIS, is there -- what would be the requirements
2 for it to continue through the study process and remain
3 in the baseline in order to reserve its spot for the
4 capacity on the line?

5 MS. KELLS: Chair Mitchell, could
6 counsel clarify which facility?

7 MR. JOSEY: The Duke -- the Duke
8 facility.

9 THE WITNESS: So you're saying if
10 offshore -- the Duke Energy Renewables submitted an
11 interconnection request to the 2023 DISIS, how
12 would it retain its location or spot?

13 Q. It's spot in the queue process in the
14 baseline for future DISIS studies. I think we've heard
15 testimony to this point that states that it's gonna
16 take a while to build this facility, if it enters the
17 study process.

18 A. Ms. Farver is more familiar with the DISIS
19 process.

20 A. (Maura Farver) So subject to check, to
21 maintain eligibility in DISIS, there are different
22 requirements for phase 1, phase 2, and beyond. One of
23 the ways that you can demonstrate readiness is to put
24 down deposits. And so because it would be for

1 jurisdictional, it could meet the eligibility with
2 deposits along the way.

3 Q. Okay. And would it need to interconnect
4 within a year or two after the study process is
5 complete in order to remain in the baseline?

6 A. I would want to double-check this, but I
7 believe, once the interconnection agreement is signed,
8 that stipulates the timeline for when it would
9 interconnect. And then there are requirements and
10 milestones associated with that.

11 A. (Sammy Roberts) Any necessary upgrades
12 resulting from the study and postulated in the
13 interconnection agreement would have to be complete
14 before it could be commercial.

15 Q. Okay. And there -- is there a suspension
16 provision in the open-access transmission tariff that
17 would allow it if -- to wait?

18 A. (Maura Farver) I believe there is a
19 suspension provision for FERC jurisdictional projects,
20 yes.

21 Q. Thank you. And I believe this is for
22 Mr. Roberts.

23 If DEP were to own the offshore wind facility
24 and run an underwater transmission line to the point of

1 interconnection in New Bern, would that underwater line
2 be subject to DEP's open-access transmission tariff
3 allowing other -- well, answer that question first.

4 A. (Sammy Roberts) Okay. So the submerged
5 cable -- I can let the Long Lead-Time speak more to
6 that, but I'll just go on record as saying it's longer
7 coming from one lease area than it is from the other,
8 based on the New Bern point of interconnection. But
9 once you get to the landing there's what we call
10 onshore interconnection facilities, transmission line
11 that needs to be built to get from the landing to New
12 Bern.

13 And so that would be part of the
14 interconnection facility, so that would be the
15 responsibility of the generator owner.

16 Q. Okay. But I guess my question is, is that
17 line from the offshore wind facility itself, if it is
18 owned by Duke Energy Progress, is it subject to
19 open-access transmission and therefore interconnection
20 into that line from other facilities like any other
21 part of the grid?

22 A. Right. I'll let the Long Lead-Time group
23 speak to this. I'll defer the question to them. The
24 only thing I would offer is that the interconnection

1 facilities can be one submerged cable, it can be two
2 submerged cables, it can be three submerged cables,
3 depending on the megawatt level. And to get from the
4 landing to New Bern, you're gonna have to have
5 high-voltage DC as part of those interconnection
6 facilities.

7 But once again, that's part of the facilities
8 study for determining the interconnection facilities
9 required, and it's also the responsibility of the
10 generator owner.

11 Q. Okay. So you're saying you're not sure
12 whether or not another facility, such as Total or the
13 Kitty Hawk project by Avangrid, could interconnect
14 directly into the line from the facility -- from Duke's
15 offshore wind facility in between those point of
16 interconnection?

17 A. Right. Once again, I'll defer to the Long
18 Lead-Time group. They would be more familiar with
19 that. But that submerged cable is not part of the
20 revenue requirement associated with our transmission
21 tariff, if that answers your question.

22 Q. All right. Thank you.

23 A. (Maura Farver) I was just gonna ask, is the
24 question to determine where the demarcation is between

1 interconnection facilities and the network?

2 Q. Yeah. The point of the question is to try to
3 figure out whether or not any DEP-owned transmission
4 line is subject to an open-access transmission tariff
5 allowing other facilities to interconnect to it just
6 like any other transmission line on the system?

7 A. (Sammy Roberts) No, it's not part of -- it's
8 not network transmission. So it's not governed by our
9 tariff with respect to our revenue requirement. It is
10 governed by the LGIP process, and the interconnection
11 facility's a piece of that.

12 Q. All right. Thank you. We'll switch topics
13 to off-system purchases.

14 You stated, on page 59 of your testimony,
15 that Duke and PJM studied the possibility of a
16 1,500-megawatt firm transfer from PJM to DEP at an
17 estimated cost of \$700 million; is that correct?

18 A. That's correct. We -- we coordinated with
19 PJM, used their PJM deliverability -- generation
20 deliverability tool, used their data, and that was a
21 piece of the study. We also looked at effected system
22 studies that had been done, and we looked at the NITS
23 or network integration transmission service piece, the
24 network upgrades on the DEP side we be needed.

1 And based on that analysis, we got to
2 \$700 million projects, and I'm -- subject to check, I
3 believe it was around 84 months to construct the
4 upgrades.

5 Q. Okay. And the upgrades for that transfer,
6 would they be partially on PJM's transmission system as
7 well?

8 A. Yes.

9 Q. Okay. And would Duke Energy ratepayers be
10 responsible for paying those costs?

11 A. So my understanding, subject to check, is
12 that PJM can charge a special rate with respect to
13 those upgrades, or they can charge their border rate
14 for point-to-point. And I think we show in Appendix B
15 that order rate keeps climbing. I think we assumed
16 5 percent per year, but it's more than that.

17 But that border rate keeps on increasing as
18 they keep on building transmission in their system and
19 incorporating that into their border rate. So we would
20 have to pay that border rate. So, for example,
21 1,000 megawatts at the 2021 rate, I believe it is,
22 would be \$67 million per year.

23 Q. And that money recovered by Duke Energy
24 ratepayers would be to improve the PJM grid, correct?

1 A. Yes. I mean, it would improve the PJM grid,
2 but you're improving that grid to be able to import
3 1,000 megawatts.

4 Q. And is -- Mr. Roberts, are you aware of Duke
5 Energy Progress' intentions to upgrade the
6 Greenville-Everetts line?

7 A. Yes.

8 Q. And is that a part of this plan?

9 A. No, that is not part of the plan.

10 Q. That's separate?

11 A. Separate, yes.

12 Q. And for the off-system purchases, such as the
13 onshore wind or any purchases that may come through
14 these tie lines that we were just talking about, were
15 they given a transmission cost adder or proxy?

16 A. So yes. We actually took the border rate and
17 converted that to a dollar per kW year, and once again
18 escalated that in time based on past increases PJM had
19 been charging for their border rate.

20 Q. And those off-system transmission cost
21 adders, they include the wheeling fees as well for the
22 off-system purchases?

23 A. So that border rate would be the wheeling
24 fee, and then you've got the -- you got the cost of the

1 resource. You know, Duke Energy's gonna own the
2 resource in Ohio somewhere. You know, you got that
3 cost as well. The modeling team could speak to that.

4 Q. Okay. And if you were -- if Duke Energy were
5 to have to own onshore wind or onshore wind in the
6 Midwest, MISO, for instance, it would have to pay
7 wheeling charges for MISO and through PJM to get it to
8 the Duke Energy grid?

9 A. That's correct.

10 Q. Okay. And so when we're talking about the
11 cost adder -- the transmission cost adders and
12 comparing on-system purchases to off-system purchases,
13 it's not really an apples-to-apples comparison, is it?

14 A. That's correct, it's not.

15 Q. Thank you. Okay. I have a couple questions
16 about the red zone upgrade projects.

17 Are the RZEP projects, are they -- they're
18 considered local transmission projects; is that
19 correct?

20 A. That's correct.

21 Q. Okay. And that's why Duke Energy is
22 proposing them through the NCTPC process?

23 A. That's correct.

24 Q. And you mention, on page 22 of your

1 testimony, that the RZEP projects will be subject to
2 the attachment in one planning process, correct?

3 A. That's correct.

4 Q. And that's an attachment to Duke Energy's
5 joint open-access transmission tariff?

6 A. That's correct.

7 Q. And Section 4 of Attachment N-1 states that
8 the local transmission plan will identify local
9 transmission projects or local projects. And a local
10 project is defined as a transmission project that is,
11 one, located solely within the combined Duke
12 Progress -- I assume that means Duke Energy Carolinas,
13 Duke Energy Progress -- transmission system footprint;
14 and, two, not selected in the regional transmission
15 plan for the purposes of regional cost allocation.

16 A. That's correct.

17 Q. Okay. And so did the RZEP projects, did Duke
18 Energy request selection in the regional transmission
19 plan at SERTP?

20 A. No, we didn't. If those projects get
21 included in the NCTPC local transmission plan, they
22 would automatically flow into the SERTP model.

23 Q. But as I read how Section 4 of Attachment N-1
24 reads, if I read it correctly, it has to go to SERTP

Page 30

1 first and not be selected as a SERTP project before it
2 comes to the NCTPC?

3 A. That's not my understanding of how the local
4 transmission planning process works in according with
5 Attachment N-1.

6 Q. Okay. And subject to check, Section 7 of
7 Attachment N-1 is the transmission cost allocation for
8 local projects, but it only provides cost allocation
9 methods for joint local reliability projects and joint
10 local economic projects; is that correct?

11 A. Subject to check.

12 Q. Okay.

13 MS. KELLS: Chair Mitchell, can we ask
14 if the witness needs a copy of N-1?

15 MR. JOSEY: Fair enough. Chair
16 Mitchell, at this time, I would ask to enter into
17 evidence our -- and mark for identification Public
18 Staff Transmission Panel Direct Cross Exhibit 1,
19 which is excerpts from the joint open-access
20 transmission tariff of Duke Energy Carolinas, Duke
21 Energy Florida, and Duke Energy Progress.

22 CHAIR MITCHELL: All right. Hearing no
23 objection, I'll allow you-all to -- we'll get in
24 entered into the record, but can you give it to

1 counsel first, just so they can look at it and make
2 sure, since it's excerpts, before you hand it on to
3 the witness.

4 (Pause.)

5 CHAIR MITCHELL: Counsel for Duke, when
6 y'all are okay with it, just give me a signal.

7 (Pause.)

8 MS. KELLS: It's okay. Looks okay to
9 us.

10 CHAIR MITCHELL: All right. The
11 document will be marked for identification as
12 Public Staff Transmission Panel Direct Cross
13 Examination Exhibit 1.

14 (Public Staff Transmission Panel Direct
15 Cross Examination Exhibit 1 was marked
16 for identification.)

17 MS. KELLS: Chair Mitchell, can counsel
18 clarify that this came from the OASIS site?

19 MR. JOSEY: Yes, it was download from
20 Duke Energy Progress OASIS website.

21 CHAIR MITCHELL: Mr. Josey, on what date
22 did y'all download it; do you recall?

23 MR. JOSEY: I don't recall.

24 CHAIR MITCHELL: Time frame, would it

1 have been within the past week or two weeks?

2 MR. JOSEY: I would say the past several
3 months. It's been on my desktop for a while.

4 CHAIR MITCHELL: Okay. All right. The
5 witness has had a chance to look at it. Mr. Josey,
6 please proceed.

7 Q. Mr. Roberts, if you could pull up to the last
8 page of the excerpt I gave you, and this is just
9 Section 7, as we were talking about, discussion titled
10 "Transmission Cost Allocation for Local Projects." And
11 Section 7.1 says, "With the exception of joint local
12 reliability projects and joint local economic projects,
13 nothing in this attachment is intended to alter the
14 cost allocation policies of the tariff."

15 A. That's what it says.

16 Q. Yes. And so is -- are the red zone
17 upgrade -- is the red zone upgrade expansion plan
18 projects, are they considered reliability projects or
19 economic projects?

20 A. They're considered generator addition
21 projects/public policy projects.

22 Q. Okay. And so there is no cost -- specific
23 cost allocation method for these projects contained
24 within this attachment?

1 A. Within this attachment, no. But as far as,
2 you know, it says will not alter the cost allocation
3 policies of the tariff. That means that they would be
4 allocated as any project that goes into the base plan.

5 Q. And any project that goes into the base plan
6 for DEP or DEC is allocated wholly to either DEP or
7 DEC?

8 A. To the transmission owner; that's correct.

9 Q. Okay. And so to your knowledge, there's no
10 ability for Duke to allocate cost of these projects
11 across DEP and DEC?

12 A. I believe the panel that Ms. Bateman and
13 Mr. Peeler were on spoke to that. But to my knowledge
14 today, there is no cost allocation methodology to
15 spread those costs across DEC and DEP.

16 Q. Okay. Thank you. Okay. As far as the
17 determination -- Duke's determination for projects that
18 it included in the red zone expansion plan, was there
19 anything, other than the amount of study request or
20 interconnection request into each line, that went into
21 the evaluation of whether or not to put those specific
22 projects in the plan?

23 A. Yes. So I'll go through a little bit of
24 history, because I think it's important. Back in

1 the -- 2021, I believe it was October time frame,
2 technical conference on the 2020 IRP, that's when Duke
3 first introduced -- yeah, we made a great stride with
4 respect to this DISIS process, this first ready, first
5 served process and cluster studies. And this will help
6 manage an efficient queue going forward.

7 But it was also pointed out that, even though
8 it distributes cost allocation among multiple projects
9 versus the serial queue was the first to cause, you
10 still can have issues with respect to insurmountable
11 network upgrade hurdles that developers don't want to
12 find answer or can't meet a certain cost number,
13 et cetera. And so they withdraw.

14 And that's exactly what happened in the
15 transition cluster study for DEP, is I think you're
16 down to a hundred and -- subject to check, around 180
17 megawatts of projects now, two projects. So, you know,
18 exactly what we thought would happen or could happen
19 happened with that transition cluster study.

20 And so in that 2020 IRP technical conference,
21 we also showed a map, and we showed these are common
22 hurdles that are creating inefficiencies with getting
23 generator solar to interconnection, to an
24 interconnection agreement. And we're gonna have to

1 address those. And we need to address those with a
2 proactive transmission planning process.

3 And that's -- you know, long story short,
4 that's exactly what we're trying to do with the RZEP
5 projects. And the mechanism that FERC has approved to
6 facilitate such projects, getting them into the base
7 plan, is through the NCTPC.

8 Q. Okay. And so as you were just stating, there
9 were multiple interconnection requests into these areas
10 they were unable to interconnect due to the large
11 interconnection cost, and so that is what Duke Energy
12 looked at in determining which projects would go into
13 the plan?

14 A. It's that, it's knowing with the 2020 IRP
15 portfolios, the magnitude of solar that were in those
16 portfolios, the magnitude of solar in the Carbon Plan.
17 You know, that factors into that. And there's -- if
18 you do nothing, other red zones are gonna be created
19 and you're gonna have issues in other areas with red
20 zones, congestion.

21 And so what we did is we looked at what are
22 the most common upgrades that are being hit by these
23 solar projects requesting interconnection. And so that
24 was our initial mapping that we did, studies versus red

1 zone projects. Then we went one step further and, you
2 know, through communications with Public Staff, we
3 agreed on a scope, and we conducted a supplemental
4 study of 5.4 gigawatts of solar. 1,900 in DEC and
5 3,500 in DEP.

6 Q. Okay. The Public Staff appreciates that
7 Supplemental study. But and I think it should be made
8 clear here that it is the ratepayers that will
9 ultimately bear the cost, either from the
10 interconnection upgrades due to the 2022 solar
11 procurement or the red zone upgrades, correct?

12 A. Yeah. All transmission customers will share
13 in the cost.

14 Q. The transmission customers will -- well,
15 transmission customers as in wholesale and retail,
16 correct?

17 A. That's correct.

18 Q. All right. So is there -- when Duke Energy
19 is looking at including a project in this red zone
20 expansion plan or any future red zone expansion plans,
21 is there any -- any cost that would be prohibitive to
22 including it in the plan?

23 A. Right. So as provided, a cost benefit -- in
24 testimony, a cost benefit analysis was done, and we

Page 37

1 used the asset management model. And it showed with
2 the age of these assets and a probability distribution
3 associated with, you know, the potential to -- the
4 likelihood of impacting customer outages, that there
5 was a positive cost benefit. And that's just one area.
6 Didn't consider the renewable benefit, the clean energy
7 benefit associated with what these projects would
8 provide.

9 And I think I stated yesterday in my
10 testimony that these red zone projects should
11 facilitate larger projects, solar projects
12 interconnecting to the system, and that has a cost
13 benefit as well. Or excuse me, a benefit. Net
14 benefit.

15 Q. And as you just stated, and as you stated --
16 I guess you stated yesterday that there will be need
17 for more upgrades in the future on top of this red zone
18 expansion plan; is that correct?

19 A. That's correct. We look at this as the first
20 phase and -- but the first phase, but a necessary phase
21 with respect to executing the Carbon Plan.

22 Q. Okay. And will Duke Energy consider whether
23 a line has been recently upgraded in the past in
24 determining if that line should be upgraded again, or

1 will it only consider the number of interconnection
2 requests that are submitted for that line?

3 A. Right. I think this was covered yesterday in
4 live testimony as well in that, you know, based on the
5 transmission planning engineer's judgment and standard
6 conductor, standard poles, et cetera, you know, I think
7 I referenced the Cape Fear west end line where we would
8 go from a single conductor, 1,272 cmil to a bundle of
9 1,590 cmil, and thus increase that MVA carrying
10 capability by 121 percent.

11 Q. And again, you may have stated this, sorry if
12 it's been -- it's asked again, but are you -- do --
13 does Duke consider the red zone projects to be
14 necessary for reliability purposes?

15 A. So to reliably deliver the solar to load
16 centers, yeah. I mean, the ultimate beneficiary are
17 the customers, right? I mean, if you can't -- if you
18 had to curtail the solar to manage power flows, that's
19 not executed in the Carbon Plan and it's not
20 benefitting the customers to build a resource that they
21 can't be served by.

22 Q. And so while Duke Energy is presenting the
23 red zone expansion plan as a public pol- -- public
24 policy projects, they could be considered reliability

1 projects as well?

2 A. Reliability in the sense of firm
3 deliverability of that resource to the load, yes.

4 Q. And you are generally aware that Duke Energy
5 is considering merging the balancing authorities
6 between DEP and DEC?

7 A. Yes. That's -- Mr. Peeler and Ms. Bateman
8 spoke to that.

9 Q. And would -- could that possibly alleviate
10 some of the need for these red zone upgrades?

11 A. I would say no. And, you know, given the
12 transmission system, if you connect solars in those
13 areas, they're gonna get those specific red zone
14 projects with respect to an increase in line loading
15 where contingency overloads that line.

16 Q. But it has -- has it been studied? Has Duke
17 Energy done a formal study to determine
18 interconnections when looking at both DEP and DEC
19 balancing authorities as one?

20 A. We've discussed that, you know, with respect
21 to interconnecting resources. And, you know, only when
22 you look at things like if you had all the solar in
23 DEP, for example, or you had all new replacement
24 generation, or a large portion of replacement

1 generation in DEC and you needed to get that load in
2 DEP, only in those situations would you need to look at
3 more capability between the systems -- being
4 implemented between the systems.

5 I'll give you an example. So if we retired
6 Roxboro plant and we didn't replace that generation on
7 site, and we located the replacement generation in the
8 DEC area. Even if we're merged, we would still
9 probably need to build -- well, I would say we will
10 need to build some transmission to get that generation
11 from that legacy DEC area over to the legacy DEP load.

12 And it would probably be -- I think I
13 referenced this in the Appendix P, it would probably be
14 in the form of a new 230 line, a new 500 kV line and a
15 new 500 to 230 kV transformer station.

16 Q. And so that would be on top of the red zone
17 upgrades, on top of the interconnection, or the
18 upgrades needed to bring in all system purchases and on
19 top of the upgrades for the wind facilities?

20 A. That's correct. However, you know, that's
21 one of the reasons we're promoting proactive
22 transmission planning in this testimony, is that we've
23 got to look at all that holistically. And then there's
24 gonna be some assumptions made about where replacement

1 generation is gonna be located that will impact that
2 transmission as well.

3 Q. Thank you. And so as this red zone expansion
4 plan goes through the NCTPC approval process, could you
5 just give a quick narrative of how that's going to
6 proceed if the Commission were to acknowledge?

7 A. So in a parallel path, we're gonna present
8 the results of the supplemental study, how we conducted
9 it, et cetera. We're gonna present that to the TAG.
10 And subject to check, I think that meeting is around
11 October 19th or 9th. Maybe 9th. Subject to check.

12 But anyway, at the next TAG meeting -- excuse
13 me. At the next TAG meeting we're gonna present the
14 supplemental studies and the results and -- sorry.
15 Receive feedback. And then, ultimately, hopefully we
16 will get to December, have that in the annual local
17 transmission plan, and then have the OSC vote on that.
18 The TAG will get to review the draft report, provide
19 feedback, and then a final report will be issued in
20 January next year.

21 Q. And when you say the final report, that's
22 from the Oversight Steering Committee, not the TAG,
23 correct?

24 A. With TAG input, yes.

1 Q. Yes, with TAG input.

2 A. That's correct.

3 Q. My understanding from your discussions with
4 other parties yesterday is that TAG is basically -- or
5 the Transmission Advisory Group is basically the place
6 for stakeholder input, which then is taken to the
7 Oversight and Steering Committee, which then votes on
8 whether or not to approve the local transmission plan;
9 is that correct?

10 A. For the most part that's correct.

11 Q. And are you currently on the Oversight
12 Steering Committee, or OSC?

13 A. Yes, I am.

14 Q. Okay.

15 A. I would not be the primary voting member,
16 though.

17 MR. JOSEY: Chair Mitchell, at this
18 time, I'd like to introduce and mark for
19 identification Public Staff Transmission Panel
20 Direct Cross Exhibit 2. And this is the scope
21 document for the Oversight Steering Committee.

22 (Pause.)

23 CHAIR MITCHELL: All right. We will
24 label the document for identification purposes as

1 Public Staff Transmission Panel Direct Cross
2 Examination Exhibit 2.

3 (Public Staff Transmission Panel Direct
4 Cross Examination Exhibit 2 was marked
5 for identification.)

6 Q. Okay. Mr. Roberts, could you let me -- I
7 guess, first of all, this does appear to be the scoping
8 document that, kind of, determines how the Oversight
9 Steering Committee proceeds in its process?

10 A. Yeah. I mean, I will state on the record
11 that the FERC-approved governing process is in our OATT
12 in Attachment N-1.

13 Q. Correct. So this is basically regurgitated
14 in the OATT, or was pulled from the OATT?

15 A. This should be reflective of the OATT.

16 Q. Okay. Great. And on the back page, this is
17 just a list of the people on the Oversight and Steering
18 Committee as of yesterday, September 19, 2022?

19 A. That's correct.

20 Q. Was there a meeting yesterday?

21 A. I believe there was. I did not attend it,
22 no.

23 Q. I was gonna say, you're a busy man. Okay.
24 And so on page 2, under the heading "Membership," it

1 states that, "The OSC will consist of eight appointed
2 members plus ex officio members as approved by the OSC.
3 And Duke Energy Carolinas, Duke Energy Progress,
4 Electricities, and NCEMC shall each appoint two members
5 to the OSC and may appoint up to two alternate
6 members."

7 A. That's correct.

8 Q. That's correct. Okay. So Duke Energy has
9 half of the members -- the voting members for the OSC,
10 correct?

11 A. That's correct.

12 Q. Okay. And on page 5 under "Voting" it states
13 that, "Members of the OSC shall use reasonable good
14 faith efforts to reach decisions via consensus.
15 However, in the event that the OSC is unable to reach a
16 decision by consensus, then a decision will be reached
17 by a majority vote," correct?

18 A. That's correct.

19 Q. Has the OSC ever not reached a consensus, to
20 your knowledge?

21 A. I mean, I'm -- I don't have a long history
22 with the NCTPC. In the history that I do have, I have
23 not heard of not reaching consensus.

24 Q. And so -- and to your knowledge, Duke Energy

1 Progress and Duke Energy Carolinas have never voted in
2 opposite directions on a plan; they've never
3 conflicted?

4 A. Like I said, with my history, I've not
5 noticed that NCMC, Electricities, Duke Energy Progress,
6 and Duke Energy Carolinas have not voted inconsistent.

7 Q. Okay. And to your knowledge, do you know --
8 well, to go down a little further, it says that, "In
9 the event of a tie vote, the OSC shall retain an
10 independent third party who will provide a recommended
11 decision based on a review of the issue in dispute."

12 Do you see that?

13 A. Yes.

14 Q. Okay. Are you aware -- I mean, you just said
15 that you're unaware of any vote that was not a
16 consensus, so I assume you are not aware of any time a
17 third party has been retained to --

18 A. Based on my limited history, and my
19 understanding is there's always an independent entity
20 that administers the process for the NCTPC.

21 Q. Okay. And then down in the next paragraph on
22 page 6, middle of the page, it says, "It is anticipated
23 that all parties will abide by the decisions of the
24 OSC; however, any NCTPC participant or TAG participant

Page 46

1 may request that the NC -- the North Carolina Utilities
2 Commission Public Staff render a nonbinding opinion
3 with regard to any dispute -- disputed decision of the
4 OSC and any decision of the investor-owned utility
5 superseding a decision by the OSC."

6 And to your knowledge, that's never taken
7 place either, correct?

8 A. Not that I'm aware of.

9 Q. And sorry to jump around a little bit, but
10 we'll go back up to the top paragraph on page 6, on the
11 second line where it starts, "However, the
12 investor-owned utility shall not be bound by the
13 decisions of the OSC to the extent that the
14 investor-owned utilities reasonably determine such
15 decisions as related to reliability planning and that
16 are inconsistent with good utility practice or SERC- or
17 NERC-established criteria, or least cost integrated
18 resource planning principles."

19 Is that correct?

20 A. That's what it reads.

21 Q. Okay. So if Duke Energy determines that the
22 red zone expansion plan projects are necessary for
23 reliability purposes, whether the OSC agrees with them
24 or not, Duke can go ahead with those upgrades, correct?

Page 47

1 A. So I think that what this is referring to --
2 you know, usually when we talk about reliability
3 projects in the NCTPC world and in the Duke Energy
4 transmission planning world, we're talking about
5 projects resulting from TPL-001 NERC standard studies.
6 And so those projects are projects required by the
7 standard to be implemented to meet those reliability
8 standards.

9 Q. Okay. Thank you. And just a few more
10 questions on -- I think this one could be for either of
11 you. The projects that are in the DISIS process right
12 now, do you know the percentage of transmission
13 projects to distribution projects?

14 A. Off the top of my head, no.

15 Q. Would you say there are more transmission
16 projects than distribution projects?

17 A. Megawatt-wise, definitely; but number-wise,
18 yes.

19 Q. Number-wise, yes, there are probably more --

20 A. Transmission --

21 Q. -- transmission --

22 A. -- connected projects.

23 Q. -- connected projects. Okay.

24 And did you hear the line of questioning

1 Mr. Kalembe answered on interconnection limits last
2 week stating that the Duke limits -- that limits Duke
3 is imposing are based off historical annual
4 interconnections?

5 A. That was one of many reasons for the
6 interconnection limits.

7 Q. Okay. And those historical interconnection
8 limits were mostly based off of interconnecting small
9 5-megawatt projects onto the distribution system,
10 correct?

11 A. Yeah. I believe, if I recall correctly, one
12 of the intervenors spoke to connections in 2015 and
13 2017 interconnections. And those were -- a lot of
14 those interconnections were distribution connected
15 resources.

16 Q. And so understanding that the transmission
17 interconnections are more complex, but interconnecting
18 750 megawatts of mostly 5-megawatt facilities would be
19 substantially more facilities than interconnecting, you
20 know, 70- to 80-megawatt or more facilities, correct?

21 A. And it's gonna take you a very long time to
22 get to 70 percent.

23 Q. So -- okay. But all to say that there are --
24 you're connecting fewer facilities to get to

1 750 megawatts when you're talking about 951 projects
2 that are mostly transmission interconnection --

3 A. Yeah.

4 Q. -- projects, correct?

5 A. Yeah, yeah. And that's another benefit of
6 the red zone projects, is that you're enabling
7 interconnection in areas where you can have larger
8 solar facilities.

9 Q. Okay.

10 A. So for a given number of interconnections,
11 you can connect more megawatts.

12 Q. Okay. And, Mr. Roberts, you stated in
13 response to a question from Mr. Burns yesterday that
14 the NCTPC process updates future generation resources
15 in its base analysis; is that correct?

16 A. So I believe he asked about generation
17 additions and retirements. Or I answered with
18 generation additions and retirements. But yeah. So
19 generation additions that -- and resulting transmission
20 network upgrades have resulted from IAs, those are in
21 the base reliability plan. Just like proposed
22 projected generation retirements, if they're in an
23 approved IRP or an approved Carbon Plan, that's studied
24 in the base reliability model in NCTPC.

Page 50

1 Q. Yeah. So as you just stated, if an IRP calls
2 for a resource, the NCTPC will include it in its
3 analysis; is that correct?

4 A. So if the IRP calls for a resource, if the
5 location is known and the point of interconnection is
6 known, then -- and megawatt size, then yeah, it can
7 include it specifically in the model. But if it's --
8 like look at 2,000 megawatts of additional solar, than
9 some assumptions have to be made as far as location and
10 size.

11 Q. And the NCTPC released a study scope document
12 a few months ago; is that correct?

13 A. Subject to check, yes.

14 Q. Yes. Okay. We'll get there.

15 MR. JOSEY: At this time, Chair
16 Mitchell, I would like to present and have marked
17 for identification Public Staff Transmission Panel
18 Direct Cross Exhibit 3, which is the 2022 NCTPC
19 study scope document.

20 CHAIR MITCHELL: All right. The
21 document will be marked for identification as
22 Public Staff Transmission Panel Direct Cross
23 Examination Exhibit 3.

24 (Public Staff Transmission Panel Direct

Page 51

1 Cross Examination Exhibit 3 was marked
2 for identification.)

3 Q. Mr. Roberts, could you flip to page 5 of this
4 document, please.

5 And does this -- according to this page, the
6 study scope, it includes two Roxboro combined cycle
7 plants totalling 2,700 megawatts?

8 A. That's correct.

9 Q. In the 2032 to 2033-W?

10 A. Yeah, the winter case.

11 Q. Yeah. And so you're generally aware that the
12 Public Staff had Duke run a SP5 model --

13 A. Yes.

14 Q. -- for this proceeding?

15 And that those two combined cycles in that
16 model were not at the Roxboro location?

17 A. That's correct.

18 Q. Okay. So how would the NCTPC process update
19 facility additions or subtractions that are called for
20 in the Commission's approved Carbon Plan, particularly
21 if it didn't have these facilities in that location?

22 A. Right. So what you're -- I mean, what you're
23 seeing here is reflective of the current plan. These
24 are actual solar interconnections that are included,

1 you can see, in 2027 summer case. And so Roxboro CC,
2 if the Carbon Plan that's approved, says
3 2,700 megawatts of CC in DEC for meeting DEP resource
4 planning requirements, then once again, you're talking
5 about some substantial transmission and greenfield
6 transmission, and even these 2032, 2033 dates would be
7 challenging.

8 Q. Okay. And I assume you're familiar with the
9 Southeastern Regional Transmission Planning or SERTP?

10 A. Yes, I'm not a member of that group, though.

11 Q. Okay. And do you know if these two combined
12 cycles at the Rox- -- at Roxboro were also presented to
13 the SERTP at the same location?

14 A. I do not.

15 Q. Okay.

16 A. That file was recently submitted back in
17 August, I believe, the SERTP.

18 Q. Okay. I believe this is for Ms. Farver.
19 Last question.

20 Do you -- does Duke believe its petition to
21 separately acquire CPRE capacity through the 2022 solar
22 procurement will result in lower cost to ratepayers?

23 A. (Maura Farver) Lower cost as opposed to
24 what?

1 Q. As opposed to just including them as all --
2 as acquiring them all through 951 like every other
3 project.

4 A. Thank you. I am not sure that there's going
5 to be a cost difference as to whether or not megawatts
6 are tagged as CPRE versus 951 megawatts. They're still
7 part of the same bid process, they have the same
8 contract structure, duration. So I don't see a
9 difference in the price. But since we still have an
10 outstanding legal obligation to fulfill the CPRE
11 target, that was the motivation for proposing it --
12 excuse me -- that was the motivation for proposing
13 seeking those megawatts through the bids that have
14 already been received for the solar procurement.

15 Q. Okay. Thank you. No further questions.

16 CHAIR MITCHELL: All right. Redirect?

17 MS. KELLS: Yes, thank you.

18 REDIRECT EXAMINATION BY MS. KELLS:

19 Q. Mr. Roberts, in your testimony yesterday, do
20 you recall when counsel for Tech Customers asked you
21 some questions about coal retirement?

22 A. (Sammy Roberts) Yes.

23 Q. And how much coal generation capacity are the
24 Companies planning to retire by 2035?

1 A. Yeah, so as reflected in my testimony in
2 witness Table 1, a little over 8,400 megawatts of
3 winter capacity is planned to be retired by 2035.

4 Q. And what are the implications of those
5 retirements, from a transmission perspective?

6 A. Yeah, so from a transmission perspective,
7 some of this has been discussed, but if you can replace
8 the resource on site, then -- and it's similar
9 capability, then you're likely not to have transmission
10 impact. In fact, the generation replacement process,
11 that's part of the independent entity study, is to show
12 there's no material impact to the transmission system
13 with the replacement generation.

14 If you don't replace it on site, and we may
15 see that the most cost-effective solution is not to
16 replace it on site, then there's the timeline issue.
17 For example, if you can't replace Roxboro on site and
18 you had to build greenfield transmission; i.e., a new
19 500 kV line, or a new 230 kV line, a new 500 230 kV
20 substation, transformer station, then that can add
21 significant time to getting that replacement generation
22 in place and being able to facilitate the retirement.

23 And then there's gonna be local impacts as
24 well. For example, if you retire Roxboro, you're

1 probably gonna need some substantial static VAR
2 compensator in the area.

3 Q. All right. Thank you. And then also
4 yesterday, counsel for CPSA asked you some questions
5 regarding the time required to interconnect solar
6 projects; do you recall that?

7 A. Yes.

8 Q. And he asked whether you agree that a project
9 that does not need thermal upgrades could connect in
10 one to two years; do you recall that?

11 A. Yes.

12 Q. Upon further reflection, do you still agree
13 with that suggestion?

14 A. So reflecting on that, I did not agree with
15 one to two years. It's -- and I think witness Kalemba
16 discussed this as well in his testimony, but it's
17 really around 26 to 32 months now. But we are looking
18 to improve that process associated with getting the IA
19 to getting COD.

20 Q. And then to follow up on that topic, you also
21 had some questions about Duke's engagement with
22 developers to improve the solar interconnection
23 process.

24 Do you recall those questions?

1 A. Yes.

2 Q. In your view, has Duke already achieved
3 significant amounts of solar interconnections to date?

4 A. Yeah, absolutely. We connected over
5 4,000 megawatts of solar, and we have 1,600 under
6 construction. So we're nation leaders associated with
7 interconnecting solar. So I'm -- I mean, I'm kind of
8 proud of the amount of solar we've been able to connect
9 over the last several years since the state tax credit.

10 Q. And even with that success, is Duke doing
11 anything to improve in this area?

12 A. Yes. Like I was saying, we conducted some
13 process improvement events. And through those process
14 improvement events, we assigned actions to different
15 groups such as engineering, looking at the engineering
16 standards associated with the -- associated with the
17 interconnection facilities. And they're running with
18 that and looking to improve those standards. So if you
19 could get that done in a more efficient manner with
20 respect to interconnection facilities.

21 We're also looking at the standards. If you
22 have a cookie-cutter approach with respect to these
23 interconnection facilities, that can present
24 efficiencies as well. There's several facets between

Page 57

1 the getting interconnection agreement to COD with
2 respect to the interconnection facilities that we're
3 looking at with gaining efficiencies. And our target
4 is an aggressive target, it's 20 months.

5 Q. Okay. And when does the Company plan to
6 launch some of those efforts that it's been developing?

7 A. In 2022.

8 Q. Okay.

9 A. This year.

10 Q. That's right, '22 is this year. Thank you.

11 Counsel for CPSA also asked you some
12 questions about the results of the supplemental studies
13 for the red zone; do you recall that?

14 A. Yes.

15 Q. And in your testimony, you testify that both
16 DEC and DEP study results reflected that the red zone
17 projects were needed to enable about a total of
18 3,700 megawatts of projects to be interconnected; is
19 that right?

20 A. That's correct.

21 Q. And by saying that the red zone projects will
22 enable solar project interconnections, do you mean that
23 if the red zone projects are done, Duke can go out and
24 automatically interconnect those projects without any

1 other upgrades?

2 A. No, I'm not saying that. So once again,
3 these are common upgrades that a lot of generator
4 interconnection requests have basically reflected
5 overloads associated with these transmission lines.
6 And because they're common to so many megawatts of
7 solar requesting interconnection, it makes sense to go
8 ahead and get these constructed in a proactive manner.

9 And so there will be other upgrades. Even
10 the ones we evaluated in the supplemental studies
11 outside the red zone are probably gonna need network
12 upgrades. But also inside the red zone, there could be
13 additional upgrades that are needed based on size and
14 location of the solar that's requesting
15 interconnection.

16 Q. Thank you. Just a couple questions from
17 today, counsel for the Public Staff gave -- handed out
18 the Cross Exhibit 2, the transmission planning
19 collaborative OSC scope document. Do you have that?

20 A. Yes.

21 Q. It's the one with the list of -- the roster
22 on the last page.

23 A. Yes.

24 Q. Would you agree that 4 of the 11 people

1 listed on that list are Duke personnel?

2 A. Yes.

3 Q. Okay. There's also three NCEMC personnel,
4 correct?

5 A. That's correct.

6 Q. And three Electricities personnel, correct?

7 A. That's correct.

8 Q. Okay. And counsel for the Public Staff also
9 asked you about -- a couple of questions about the
10 solar interconnection abilities that Duke has included
11 in the plan for 750 megawatts?

12 A. Yes.

13 Q. And he mentioned that, in the past, that was
14 based on historical projects that were many more
15 projects of much smaller size; do you recall that?

16 A. Yes.

17 Q. Could you explain why a fewer number of
18 projects that are larger in size is much more complex
19 to implement?

20 A. Yeah. So the interconnection facilities,
21 themselves, if they're connecting to 230, there may be
22 a ring bus that's needed associated that could take
23 more time, line switches on 115 are needed. But
24 outages, in general, for transmission projects, all of

1 those outages have to be coordinated. And it's not
2 just interconnection outages -- interconnection
3 facility outages or network upgrade outages.

4 You've also got maintenance outages, you've
5 got asset management program outages, you've got
6 unplanned outages, you've got NERC preventative
7 maintenance required outages for relay maintenance,
8 et cetera. So there are a lot of things that have to
9 be considered with respect to these -- facilitating
10 these interconnection facilities.

11 Q. Thank you. No more questions.

12 CHAIR MITCHELL: All right. The
13 Commission is gonna defer questions for the panel
14 to a later time. So with that, I'll take motions.
15 And as we're taking motions, you-all may step down.

16 MS. KELLIS: Chair Mitchell, the Company
17 moves that -- Companies move that panels Exhibits 1
18 through 5 with Exhibit 5 being marked confidential
19 to be accepted into the record at this time.

20 CHAIR MITCHELL: All right. Hearing no
21 objection, that motion is allowed.

22 (Transmission Panel Exhibits 1 through 4
23 and Confidential Transmission Panel
24 Exhibit 5 were admitted into evidence.)

1 MS. KELLS: And just to be sure, I'd
2 like to also move that the summary of this panel's
3 transmission summary of testimony be admitted into
4 the record at this time.

5 CHAIR MITCHELL: It will be copied into
6 the record as if given from the stand.

7 (Whereupon, the prefiled summary
8 testimony of the Transmission Panel was
9 copied into the record as if given
10 orally from the stand in Volume 16 at
11 the time their prefiled direct testimony
12 was entered.)

13 CHAIR MITCHELL: All right. Mr. Josey.

14 MR. JOSEY: Thank you. Chair Mitchell,
15 at this time, the Public Staff would ask that
16 Public Staff Transmission Panel Direct Cross
17 Exhibits 1, 2, and 3 be entered into the record.

18 CHAIR MITCHELL: All right. Hearing no
19 objection, your motion is allowed.

20 (Public Staff Transmission Panel Direct
21 Cross Examination Exhibits 1 through 3
22 were admitted into evidence.)

23 MR. BURNS: Madam Chair, CCEBA, at this
24 time, would move that CCEBA Transmission Panel

1 Direct Cross Exhibit 1 be admitted into evidence.

2 CHAIR MITCHELL: All right. Motion is
3 allowed.

4 (CCEBA Transmission Panel Direct Cross
5 Examination Exhibit 1 was admitted into
6 evidence.)

7 MS. CRESS: Chair Mitchell, at this
8 time, CIGFUR II and II would move that its
9 Transmission Panel Direct Cross Examination
10 Exhibits 1, 2, and 3 be entered into the record.

11 CHAIR MITCHELL: Motion is allowed.

12 MS. CRESS: Thank you.

13 (CIGFUR II and III Transmission Panel
14 Direct Cross Examination Exhibits 1
15 through 3 were admitted into evidence.)

16 MR. SMITH: Chair Mitchell, at this time
17 Avangrid Renewables would move to enter Avangrid
18 Renewables, LLC Transmission Panel Direct Cross
19 Examination Witness Exhibit Number 1 into the
20 record.

21 CHAIR MITCHELL: All right. Your motion
22 is allowed.

23 (Avangrid Transmission Panel Direct
24 Cross Examination Exhibit 1 was admitted

1 into evidence.)

2 CHAIR MITCHELL: All right. Duke, call
3 your next witnesses.

4 MS. LINK: Thank you, Chair Mitchell.
5 For the record, my name is Vishwa Link, and Duke
6 Energy calls the Long Lead-Time Resources Panel to
7 the stand.

8 CHAIR MITCHELL: All right. Good
9 morning, gentlemen. If you would, raise right
10 hands, left hand on the Bible.

11 Whereupon,

12 REGIS REPKO, STEVE IMMEL, CHRIS NOLAN AND CLIFT POMPEE,
13 having first been duly sworn, was examined
14 and testified as follows:

15 CHAIR MITCHELL: All right. Whoever
16 is -- oh, gosh. Whoever is sitting in the --
17 whoever is sitting in that last chair, please make
18 sure you've got the microphone on and just be
19 cognizant that you need to be facing towards the
20 mic when you speak so that everybody in the room
21 can hear you. Thank you. And hold it as close
22 as -- get as close to the microphone as you can.
23 All right, Mr. -- go ahead. Proceed.

24 DIRECT EXAMINATION BY MS. LINK:

1 Q. Good morning, gentlemen.

2 Beginning with Mr. Repko, would you please
3 state your full name and business address for the
4 record?

5 A. (Regis Repko) My name is Regis Repko. I am
6 the senior vice president of generation and
7 transmission strategy. My business address is 526
8 South Church Street, Charlotte, North Carolina 28202.

9 Q. And by whom are you employed and in what
10 capacity?

11 A. I'm employed by Duke Energy as the senior
12 vice president of generation and transmission strategy
13 for Duke Energy Carolinas, LLC.

14 Q. And can you please briefly describe your role
15 and responsibilities at Duke Energy.

16 A. I'm responsible for the execution planning,
17 the technology determinations, and the procurements for
18 generation, transmission, and fuels to meet Duke
19 Energy's clean energy transformation goals.

20 Q. Thank you. Moving on to Mr. Immel.
21 Would you please state your full name and
22 business address for the record?

23 A. (Steve Immel) Yes. My name is Steve Immel.
24 My business address is 526 South Church Street,

1 Charlotte, North Carolina.

2 Q. By whom are you employed and in what
3 capacity?

4 A. I'm employed by Duke Energy Carolinas, and
5 I'm the vice president of generation transition
6 strategy.

7 Q. And can you please briefly describe your role
8 and responsibilities at Duke Energy?

9 A. My team and I are responsible for identifying
10 and integrating the various work streams associated
11 with the orderly and executable transition of the
12 generation fleet.

13 Q. Thank you. Turning to Mr. Nolan.
14 Would you please state your full name and
15 business address for the record?

16 A. (Chris Nolan) My name is Chris Nolan. My
17 business address is 13225 Hagers Ferry Road,
18 Huntersville, North Carolina 28078.

19 Q. And by whom are you employed and in what
20 capacity?

21 A. I'm employed by Duke Energy Carolinas as the
22 vice president of new nuclear generation strategy and
23 planning.

24 Q. And can you please briefly describe your role

1 and responsibilities at Duke Energy.

2 A. I'm responsible for the leadership and
3 direction of the strategy and planning for new nuclear
4 generation. This role is inclusive of policy
5 regulatory engagements, siting studies, and technology
6 assessment.

7 Q. Thank you. And last but not lease,
8 Mr. Pompee, would you please state your full name and
9 business address for the record?

10 A. (Clift Pompee) My name is Clift Pompee. My
11 business address is 526 South Church Street, Charlotte,
12 North Carolina 28202.

13 Q. And by whom are you employed and in what
14 capacity?

15 A. I'm employed by Duke Energy Carolinas, LLC as
16 the managing director of generation technology.

17 Q. And can you please describe your role and
18 responsibilities at Duke Energy.

19 A. Yes. I am responsible for providing
20 leadership and direction for the review and awareness
21 of new generation technologies, their domestic and
22 global applications, functionality, performance, and
23 potential application for Duke Energy. I also support
24 the development of generation portfolios of

1 technologies that ensure affordability for our
2 customers, resource adequacy, energy sufficiency, and
3 system reliability to achieve Duke Energy's carbon
4 reduction goals.

5 Q. Thank you. Mr. Repko, did the panel cause to
6 be prefiled in this docket direct testimony consisting
7 of 57 pages and a summary?

8 A. (Regis Repko) Yes.

9 Q. And do you have any changes to your direct
10 testimony or exhibits at this time?

11 A. There was an error in my start date with
12 Duke, but that was corrected in my rebuttal testimony.

13 Q. And if I were -- subject to that correction,
14 if I were to ask you the same questions today that
15 appear in the panel's prefiled direct testimony, would
16 the answers be the same?

17 A. Yes.

18 Q. And the testimony does not include any
19 confidential information, correct?

20 A. Correct.

21 MS. LINK: Chair Mitchell, I would ask
22 that the Long Lead-Time Resources Panel direct
23 testimony and summary be entered into the record as
24 if given orally from the stand.

1 CHAIR MITCHELL: All right. Hearing no
2 objection, your motion is allowed.

3 MS. LINK: Thank you.

4 (Whereupon, the prefiled direct
5 testimony of Long Lead-Time Resources
6 Panel of Regis Repko, Steve Immel, Chris
7 Nolan, and Clift Pompee and the prefiled
8 summary testimony of Long Lead-Time
9 Resources Panel of Regis Repko, Steve
10 Immel, Chris Nolan, and Clift Pompee
11 were copied into the record as if given
12 orally from the stand.)
13
14
15
16
17
18
19
20
21
22
23
24

STATE OF NORTH CAROLINA
UTILITIES COMMISSION
RALEIGH

DOCKET NO. E-100, SUB 179

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of	)	DIRECT TESTIMONY OF REGIS
	)	REPKO, STEVE IMMEL, CHRIS
Duke Energy Progress, LLC, and	)	NOLAN, AND CLIFT POMPEE
Duke Energy Carolinas, LLC, 2022	)	FOR DUKE ENERGY PROGRESS,
Biennial Integrated Resource Plans	)	LLC, AND DUKE ENERGY
and Carbon Plan	)	CAROLINAS, LLC

OFFICIAL COPY

SEP 20 2022

TABLE OF CONTENTS

I. INTRODUCTION AND OVERVIEW	1
II. OVERVIEW OF THE LONG LEAD-TIME RESOURCES	10
III. BAD CREEK PUMPED HYDRO EXPANSION	15
IV. NEW NUCLEAR.....	23
V. OFFSHORE WIND	40
VI. CONCLUSION.....	56

I. INTRODUCTION AND OVERVIEW

Q. MR. REPKO, PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

A. My name is Regis Repko. My business address is 526 South Church Street, Charlotte, North Carolina, 28202.

Q. BEFORE INTRODUCING YOURSELF FURTHER, WOULD YOU PLEASE INTRODUCE THE PANEL.

A. Yes. I am appearing on behalf of Duke Energy Carolinas, LLC (“DEC”) and Duke Energy Progress, LLC (“DEP” and together with DEC, the “Companies” or “Duke Energy”) together with Steve Immel, Chris Nolan, and Clift Pompee on the “Long Lead-Time Resources Panel.” Mssrs. Immel, Nolan, and Pompee will introduce themselves.

Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?

A. I am employed by Duke Energy Carolinas, LLC as the Senior Vice President of Generation and Transmission Strategy for the Companies.

Q. WHAT ARE YOUR RESPONSIBILITIES AS THE SENIOR VICE PRESIDENT OF GENERATION AND TRANSMISSION STRATEGY?

A. In this role, I am responsible for the execution planning, technology determinations and procurements for generation, transmission and fuels to meet Duke Energy’s clean energy transformation goals.

1 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND**
2 **PROFESSIONAL EXPERIENCE.**

3 A. I graduated from Pennsylvania State University with a Bachelor of Science
4 degree in Nuclear Engineering. My career began with Duke Energy in 1995 as
5 an engineer at the Oconee Nuclear Station. I have held various roles of
6 increasing responsibility including nuclear shift supervisor, operations shift
7 manager, engineering supervisor, maintenance rotating equipment manager and
8 superintendent of operations, where I had responsibility for the operations of
9 the Oconee Nuclear and Keowee Hydro Stations. I have also served as
10 engineering manager for the Catawba Nuclear Station and station manager for
11 the McGuire Nuclear Station. Prior to my current role, I was Senior Vice
12 President and Chief Fossil/Hydro Officer. I became the Senior Vice President
13 of Generation and Transmission Strategy in 2021.

14 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE NORTH**
15 **CAROLINA UTILITIES COMMISSION (“COMMISSION”) OR ANY**
16 **OTHER STATE OR FEDERAL UTILITY COMMISSION?**

17 A. Yes. I testified before this Commission in the following DEP Fuel Hearing
18 Dockets: 2013 (No. E-2, Sub 1031), 2014 (No. E-2, Sub 1045), 2015 (No. E-2,
19 Sub 1069), 2019 (No. E-2, Sub 1204), and 2020 (No. E-2, Sub 1250). I have
20 also testified before this Commission in the following DEC Fuel Hearing
21 Dockets: 2019 (No. E-7, Sub 1190) and 2020 (No. E-7, Sub 1228).

1 **Q. MR. IMMEL, PLEASE STATE YOUR NAME AND BUSINESS**
2 **ADDRESS.**

3 A. My name is Steve Immel. My business address is 526 South Church Street,
4 Charlotte, North Carolina, 28202.

5 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

6 A. I am employed by Duke Energy Carolinas, LLC and am the Vice President of
7 Generation Transition Strategy.

8 **Q. WHAT ARE YOUR RESPONSIBILITIES AS VICE PRESIDENT OF**
9 **GENERATION TRANSITION STRATEGY?**

10 A. In this role, my team and I are responsible for identifying and integrating the
11 various work streams associated with the orderly and executable transition of
12 the generation fleet.

13 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND**
14 **PROFESSIONAL EXPERIENCE.**

15 A. I graduated from the University of Kentucky with a Bachelor of Science degree
16 in Civil Engineering and a Masters of Business Administration from Queens
17 College. My career began with Duke Energy in 1980 as an Associate Design
18 Engineer. Since that time, I have held various roles of increasing responsibility
19 in corporate facilities, investment recovery, supply chain, and operations areas,
20 including the role of Hydro Manager; Station Manager at DEC's Allen Steam
21 Station and then Marshall Steam Station. I was named Vice President of Duke
22 Energy Indiana's Midwest Regulated Operations in 2012 and Vice President of

1 Outage and Project Services in 2014. In 2016, I was named Vice President of
2 Carolinas Coal Generation for Duke Energy. I assumed my current role in 2020.

3 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THIS COMMISSION**
4 **OR ANY OTHER STATE OR FEDERAL UTILITY COMMISSIONS?**

5 A. Yes. I testified before this Commission in DEC's general rate case in 2019
6 (Docket No. E-7, Sub 1214) and in DEC's fuel proceeding in 2021 (Docket No.
7 E-7, Sub 1250). I also testified before the Public Service Commission of South
8 Carolina in DEC's general rate case in 2018 (Docket No. 2018-319-E).

9 **Q. MR. NOLAN, PLEASE STATE YOUR NAME AND BUSINESS**
10 **ADDRESS.**

11 A. My name is Chris Nolan. My business address is 13225 Hagers Ferry Road,
12 Huntersville, North Carolina, 28078.

13 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

14 A. I am employed by Duke Energy Carolinas, LLC, and am the Vice President of
15 New Nuclear Generation Strategy & Planning.

16 **Q. WHAT ARE YOUR RESPONSIBILITIES AS VICE PRESIDENT OF**
17 **NEW NUCLEAR GENERATION STRATEGY & PLANNING?**

18 A. I am responsible for the leadership and direction of the strategy and planning
19 for new nuclear generation. This role is inclusive of policy, regulatory
20 engagement, siting studies, and technology assessment.

1 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND**
2 **PROFESSIONAL EXPERIENCE.**

3 A. I graduated from the University of Maryland with a Bachelor of Science degree
4 in mechanical engineering in 1987. I received a Master of Science degree in
5 engineering management from the University of Maryland in 1998. I am a
6 registered professional engineer in the Commonwealth of Virginia. I began my
7 career as a qualified operator in the U.S. Navy's nuclear power program while
8 employed at the Knolls Atomic Power Laboratory for General Electric Co. In
9 this role, I successfully completed the U.S. Navy Nuclear Power School.
10 Following that, I was a senior design engineer at Calvert Cliffs Nuclear Power
11 Plant where I worked for nine years, before joining the U.S. Nuclear Regulatory
12 Commission ("NRC"). I joined NRC in 1998, where I held roles of increasing
13 responsibility in the Offices of Nuclear Reactor Regulation, Nuclear Security
14 and Incident Response, and Enforcement. In my final assignment at NRC, I was
15 chief of the New Reactors Environmental Projects Branch in the Office of
16 Nuclear Reactor Regulation. I joined Duke Energy in 2006, and held positions
17 of increasing responsibility including licensing manager in nuclear plant
18 development, director of fleet safety assurance, and director of regulatory
19 affairs. I was named Vice President of regulatory affairs, policy, and emergency
20 preparedness in 2019. In June 2022, I was named Vice President of New
21 Nuclear Generation Strategy & Planning.

1 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THIS COMMISSION**
2 **OR ANY OTHER STATE OR FEDERAL UTILITY COMMISSION?**

3 A. No.

4 **Q. MR. POMPEE, PLEASE STATE YOUR NAME AND BUSINESS**
5 **ADDRESS.**

6 A. My name is Clift Pompee. My business address is 526 South Church Street,
7 Charlotte, North Carolina, 28202.

8 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

9 A. I am employed by Duke Energy Carolinas, LLC, as the Managing Director of
10 Generation Technology.

11 **Q. WHAT ARE YOUR RESPONSIBILITIES AS THE MANAGING**
12 **DIRECTOR OF GENERATION TECHNOLOGY?**

13 A. I am responsible for providing leadership and direction for the review and
14 awareness of new generation technologies, their domestic and global
15 applications and functionality/performance and potential application for Duke
16 Energy. I also support the development of generation portfolios of technologies
17 that ensure affordability for our customers, resource adequacy, energy
18 sufficiency, and system reliability to achieve Duke Energy's carbon reduction
19 goals.

20 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND**
21 **PROFESSIONAL EXPERIENCE.**

22 A. I graduated with Honors from the University of Miami in 2001 with a Bachelor
23 of Science degree in Mechanical Engineering with an Aerospace area of focus.

1 I started my career in August 2001, as an associate engineer providing steam
2 turbine engineering support with Florida Power & Light (“FPL”) in Juno Beach,
3 Florida. I held multiple roles with FPL including plant engineering, operations,
4 maintenance, monitoring & diagnostics and quality assurance. In 2008 I started
5 working for Progress Energy in Crystal River, Florida as a nuclear assessor
6 providing oversight of Nuclear Major Projects. In 2011, I started working as the
7 supervisor of project controls scheduling and transitioned into that role in 2012
8 when Progress Energy and Duke Energy merged. I led the merger integration
9 of the Nuclear Major Projects scheduling processes between the two legacy
10 companies. In 2014, I joined the Fossil-Hydro (“FHO”) organization as a gas
11 turbine program manager, overseeing the GE 7F gas turbine program. In 2015,
12 I became the manager of the Information and Analytics Group and worked on
13 integrating analytics and data science into our FHO operations. This role
14 evolved into becoming a product manager for digital transformation in 2018,
15 where I used my background in operations, maintenance and engineering to
16 oversee multiple digital products that the company was developing. In June
17 2021, I transitioned into my current role and have been responsible for
18 evaluating emerging generation technologies that could support our
19 decarbonization goals.

20 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THIS COMMISSION**
21 **OR ANY OTHER STATE OR FEDERAL UTILITY COMMISSION?**

22 A. No.

1 **Q. MR. REPKO, PLEASE SUMMARIZE THE PANEL’S TESTIMONY.**

2 A. The purpose of the Panel’s testimony in this proceeding is to provide an
3 overview of the three long lead-time resources that the Companies¹ have
4 included in certain of the portfolios presented in the Carolinas Carbon Plan
5 (“Carbon Plan” or the “Plan”) which the Companies jointly submitted to the
6 Commission on May 16, 2022.

7 As explained in the Carbon Plan and in the Direct Testimony of Kendal
8 C. Bowman, accomplishing energy transition and achievement of the 70%
9 interim target will require decisive near-term procurement and development
10 actions across various new supply-side resources, and the Companies have
11 proposed aggressive near-term procurement of certain resources. However,
12 certain of the supply-side resources that may potentially be needed to achieve
13 North Carolina Session Law 2021-165’s (“HB 951”) targeted CO₂ reductions—
14 offshore wind, small modular reactors (“SMRs”), and additional Pumped
15 Storage Hydro—have substantially long lead-times and greater external
16 dependencies. As a result, critical development work will be needed in the near-
17 term to maintain optionality and the potential for in-service dates consistent
18 with those contemplated in the Companies’ modeling.

19 To be clear, the Companies are not requesting that the Commission
20 “select” such resources under HB 951 at this time. Instead, initial development

¹ The individual resources will be developed in either DEC or DEP depending upon the resource. For simplicity of this testimony, references will be generically to the “Companies.”

1 work is needed both to gather information to provide a more refined cost
2 estimate to the Commission in future proceedings, as well as to allow the
3 Companies to be positioned to implement such resources on a timeline
4 consistent with the Companies' modeled portfolios. If the Companies do not
5 undertake these development activities in the near-term for offshore wind,
6 SMRs, and additional Pumped Storage Hydro (sometimes referred to
7 collectively as the "long lead-time resources"), these resources will not be
8 available on the timelines contemplated by the portfolios. Simply put, it is
9 important to develop these long lead-time resources in order to preserve future
10 options for our customers in North Carolina and South Carolina. And it is also
11 important to note that all three long lead-time resources are likely to be needed
12 to achieve carbon neutrality by 2050, and therefore, the development work
13 performed in the near-term is likely to be needed as the Companies progress in
14 their energy transition towards carbon neutrality. Importantly, this near-term
15 development activity will allow the Companies to take additional critical steps
16 toward refining the final cost estimates and then to present such information to
17 the Commission in the biennial 2024 Carbon Plan update (or at an earlier date
18 if needed).

19 In addition, our testimony will also provide further background on what
20 makes these long lead-time resources unique and then, for each of the three
21 resources, will provide further details regarding the resources, including
22 identifying the scope and cost of the near-term development work that the
23 Companies are proposing for Commission approval.

1 Finally, I note that pursuant to the Commission's July 29, 2022 *Order*
2 *Scheduling Expert Witness Hearing, Requiring Filing of Testimony, and*
3 *Establishing Discovery Guidelines* ("Scheduling Order") in this proceeding,
4 certain legal issues related to the Companies' requests for relief concerning
5 these long lead-time resources will be addressed in comments to be filed on
6 September 9, 2022. While none of the members of this panel are attorneys and
7 we do not intend to address those legal arguments, this testimony will make
8 reference to certain legal conclusions that will be explained in more detail in
9 the Companies' September 9, 2022 comments.

10 **II. OVERVIEW OF THE LONG LEAD-TIME RESOURCES**

11 **Q. MR. REPKO, WHAT ARE THE THREE LONG LEAD-TIME**
12 **TECHNOLOGIES FOR WHICH THE COMPANIES HAVE PROPOSED**
13 **DEVELOPMENT WORK IN THE NEAR-TERM?**

14 A. The Companies have requested approval of the near-term development actions
15 (2022 through 2024) for: (1) Bad Creek II, a second powerhouse to be
16 constructed at the Companies' existing Bad Creek I pumped hydro storage
17 facility; (2) preparing an Early Site Permit ("ESP") that will be required to
18 incorporate SMRs into the Companies' resource mix; and (3) preparing a Site
19 Assessment Plan ("SAP") and early development of the Construction and
20 Operation Plan ("COP") for an offshore wind generating resource off the coast
21 of North Carolina.

22 **Q. WOULD YOU PLEASE PROVIDE AN OVERVIEW OF THE**
23 **DEVELOPMENT WORK NEEDED IN THE NEAR-TERM TO**

**PRESERVE THE POTENTIAL FOR THESE LONG LEAD-TIME
RESOURCES TO BE SELECTED BY THE COMMISSION?**

A. Yes. The near-term actions required to develop the resources necessary for energy transition, to replace coal generation and to meet load growth are included in each of the Carbon Plan portfolios set forth in Chapter 4 – Execution Plan of the Carbon Plan. “Near-term” development activities are those activities that the Companies have projected will be required from 2022 through 2024. The following summarizes the near-term development actions for Bad Creek II, SMRs, and offshore wind:

- Bad Creek II. The primary near-term development activities for Bad Creek II are as follows: (1) conduct a feasibility study; (2) develop an engineering, procurement and construction (“EPC”) strategy; and (3) continue to develop the application to the Federal Energy Regulatory Commission (“FERC”) to relicense the Bad Creek I facility to incorporate the Companies’ operation of Bad Creek II.
- SMRs. The primary near-term development activities for SMRs are as follows: (1) begin work on an ESP for a to-be-determined site for one of the reactors; (2) perform a due diligence review to identify a nuclear technology for the SMRs that will ultimately be constructed; and (3) choose a company that will construct the new nuclear technology the Companies ultimately decide to have constructed.
- Offshore Wind. The primary near-term development activities for offshore wind are as follows: (1) secure an ownership interest in a lease for a Wind

1 Energy Area (“WEA”) where the offshore wind resource will be located;
2 (2) initiate and develop permitting activities, which will consist of (a)
3 developing and submitting a SAP and beginning to engage with
4 stakeholders; (b) developing a COP; and (c) initiating an interconnection
5 study process; and (3) obtaining approval of a SAP from the Bureau of
6 Ocean Energy Management (“BOEM”).

7 **Q. WHY IS IT IMPORTANT FOR THE COMPANIES TO PURSUE THIS**
8 **DEVELOPMENT WORK?**

9 A. The Companies believe that such development work is needed both to gather
10 information to provide a more refined cost estimate to the Commission in the
11 2024 Carbon Plan update (or earlier as needed), as well as to be positioned to
12 implement such resources on a timeline consistent with the carbon reduction
13 targets established by HB 951. If the Companies do not undertake development
14 activities in the near-term for these long lead-time resources, such resources
15 will not be available on the timelines contemplated in the Companies’ Carbon
16 Plan modeling.

17 **Q. WHY ARE THE COMPANIES PRESENTING THESE THREE**
18 **RESOURCES TOGETHER IN THIS TESTIMONY?**

19 A. All three of these resources require long lead-times to develop, construct, and
20 incorporate into the Companies’ resource mix than the other resources
21 presented in the Carbon Plan filing and are, therefore, appropriately presented
22 together for the Commission’s consideration. Additionally, the Companies’
23 near-term development plans for these resources generally focus on preliminary

1 activities, which require more significant upfront costs to complete (as
2 compared with other supply-side resources). Since energy transition will
3 accomplish significant emissions reductions, as codified in HB 951, the
4 Companies believe it is important to identify technologies that will efficiently
5 deliver clean energy in the future, provide operational characteristics that differ
6 from solar and batteries and to incorporate those technologies into the
7 Companies' planning process. However, the long lead-times needed for these
8 technologies require the Companies to begin development activities for these
9 resources to serve our customers in North Carolina and South Carolina many
10 years in advance.

11 **Q. WHAT ARE THE COMPANIES REQUESTING WITH RESPECT TO**
12 **THE LONG LEAD-TIME TECHNOLOGIES IN THE CARBON PLAN?**

13 A. The specific requests for relief related to the development work associated with
14 these long lead-time resources are set forth in the Companies' Petition for
15 Approval of Carbon Plan and the Executive Summary (and are replicated in
16 Exhibit 2 to the the testimony of Witness Bowman) and include the requests for
17 Commission approval of the decision to incur expenditures related to the near-
18 term development work for these resources as detailed by each witness below.
19 As discussed above, legal issues related those requests for relief will be
20 addressed in the Companies' comments to be filed on September 9, 2022. Our
21 testimony focuses on factual issues related to these requests.

1 **Q. ARE THE COMPANIES ASKING THE COMMISSION TO SELECT**
2 **THESE LONG LEAD-TIME RESOURCES FOR INCLUSION IN THE**
3 **CARBON PLAN AT THIS TIME?**

4 A. No. The Companies' requests relate only to the initial development activities
5 associated with pursuing the resources. Duke Energy acknowledges that it
6 would be premature at this time to select these resources, but this development
7 work will enable the Commission to fully consider the potential selection of
8 these resources in future regulatory proceedings, such as the 2024 biennial
9 Carbon Plan update, or future Carbon Plans depending on the status of
10 development of the particular resource. This work will also allow South
11 Carolina regulators to consider these resources as viable options.

12 **Q. ARE THESE LONG LEAD-TIME RESOURCES LIKELY TO BE**
13 **NECESSARY FOR THE COMPANIES TO MEET THE CARBON**
14 **REDUCTION GOALS ESTABLISHED BY HB 951?**

15 A. Yes. The Companies believe that it is likely that all three long lead-time
16 resources will be needed to achieve HB 951's targets. While the technical
17 details of the Companies' Carbon Plan modeling are outside the scope of this
18 testimony, I will note that the Companies produced four separate portfolios in
19 its initial Carbon Plan filing, and the Modeling and Near-Term Actions Panel
20 testimony is presenting two additional portfolios. Bad Creek II is required under
21 all portfolios, and SMRs are similarly required under all portfolios, though in
22 some cases not until slightly later in time. While offshore wind is not selected
23 in every portfolio for the interim 70% target, the Companies nevertheless

1 believe that it is prudent to proceed with near-term development activities at
2 this time to maintain it as an option given its technological maturity and ability
3 to provide resource diversity.

4 **Q. HOW IS THE REST OF THIS PANEL TESTIMONY ORGANIZED?**

5 A. The following Duke Energy witnesses will now provide testimony on each of
6 the three resources I have identified as follows:

- 7 1. Mr. Steve Immel will provide more detailed background regarding Bad
8 Creek II;
- 9 2. Mr. Chris Nolan will provide more detailed background regarding SMRs;
- 10 3. Mr. Clift Pompee will provide more detailed background regarding the
11 offshore wind resource.

12 **III. BAD CREEK PUMPED HYDRO EXPANSION**

13 **Q. MR. IMMEL, BEFORE DISCUSSING THE PROPOSED BAD CREEK**
14 **II PROJECT, WOULD YOU PLEASE PROVIDE SOME**
15 **BACKGROUND ON BAD CREEK I?**

16 A. Yes. Bad Creek I is located in Salem, South Carolina near the border of North
17 Carolina. Bad Creek I came online in 1991 and provides 1,360 megawatts
18 (“MW”) of capacity. The plant stores and generates energy by moving water
19 between two reservoirs at different elevations. During times of low electricity
20 demand, surplus energy is used to pump water to an upper reservoir. The turbine
21 acts as a pump, moving water back up to the upper reservoir from the lower
22 reservoir, Lake Jocassee. During periods of high electricity demand, the stored
23 water is released through turbines to provide energy to the grid. Bad Creek I

1 works much like a conventional hydroelectric station, except the same water is
2 used repeatedly. Bad Creek I has been included in prior IRPs since its
3 commercial operation date in 1991 and has been a reliable asset for over 30
4 years.

5 **Q. ARE ANY UPDATES PLANNED FOR BAD CREEK I?**

6 A. Yes. Currently the four units at Bad Creek I are being upgraded by replacing
7 and upgrading the pump-turbines, generator-motors, generator circuit breakers
8 and making modifications to the electrical components. Once complete in 2023,
9 the capacity of Bad Creek I will increase to approximately 1,700 MW. Upgrades
10 have been completed on two units, and the remaining two units will be
11 completed by the end of 2023.

12 **Q. PLEASE DESCRIBE THE BENEFITS OF BAD CREEK I.**

13 A. Bad Creek I provides valuable benefits to the grid, by storing energy from the
14 grid when demand is low and generating when demand is high. Bad Creek I can
15 store excess generation from low variable cost energy from the Companies'
16 generation facilities at night and excess energy from solar during the day by
17 pumping water to the upper reservoir and then releasing the water to meet
18 customer demand in a cost-effective manner. In addition, Bad Creek I can
19 provide capacity quickly if there is an issue on the grid. As non-dispatchable
20 variable resources like solar and wind are added to the system, more storage
21 will be needed to integrate these resources that do not produce energy
22 coincident with peak demand and are highly variable because they depend
23 largely on weather conditions that can be unpredictable. This growth in non-

1 dispatchable generation was a primary driver for the current upgrade project at
2 Bad Creek I to increase the net output of the station by approximately 320 MW.

3 **Q. PLEASE PROVIDE DETAILS REGARDING BAD CREEK II.**

4 A. Due to the unique geographic conditions at Bad Creek I, the Companies have
5 identified the opportunity to essentially double the capacity of Bad Creek I
6 through the addition of four new generating units totaling 1,700 MW—referred
7 to as Bad Creek II. Bad Creek II would share the existing upper reservoir that
8 is utilized by Bad Creek I. This would increase the total Bad Creek facility to
9 over 3,330 MWs of capacity. Adding a second powerhouse will increase the
10 capacity of the site, which supports the retirement of other generation assets and
11 allows for more effective use of the reservoir.

12 As the system load profile and diversity of load and energy resources
13 has changed over time, Bad Creek I has evolved into a daily cycling facility
14 where units are started and stopped multiple times per day in either the
15 generation or pump mode depending on the integration needs of the system.
16 Bad Creek II will allow a more effective use of the existing reservoir. Expanding
17 the site to build a second powerhouse would double the capacity of the station
18 allowing for much more integration of low carbon resources and fully utilizing
19 the upper reservoir.

1 **Q. PLEASE DESCRIBE THE BENEFITS OF BAD CREEK II AS AN**
2 **AVAILABLE RESOURCE.**

3 A. Bad Creek II would be a valuable expansion of the Companies' pumped hydro
4 fleet. DEC has successfully owned and operated Pumped Storage Hydro for
5 almost 50 years. Currently, DEC operates two pumped hydro stations, Jocassee
6 Station and Bad Creek I. Jocassee came online in 1973 and provides 780 MW
7 of capacity. Pumped Storage Hydro is a proven long-duration technology which
8 will enable more efficient use of other renewable and carbon-free resources.
9 Bad Creek II is a unique opportunity for the Companies to add new long-
10 duration, large-scale Pumped Storage Hydro without the need for a new
11 reservoir. Any other additional Pumped Storage Hydro on our system would
12 likely be substantially more costly, take longer to permit with more possible
13 opposition and a longer time to construct. Additional Pumped Storage Hydro
14 will allow the Companies to integrate more renewable and low-carbon
15 generation to the grid and provide customers savings by storing excess
16 generation during low demand and producing generation quickly and nimbly
17 when demand is high.

18 **Q. WHAT ARE THE NEAR-TERM DEVELOPMENT ACTIVITIES THAT**
19 **THE COMPANIES ARE PROPOSING FOR BAD CREEK II?**

20 A. Bad Creek I is currently in the relicensing phase at FERC. FERC relicensing
21 provides an opportunity to include the additional powerhouse for Bad Creek II
22 in the license application, expanding the capacity of the Bad Creek facilities
23 starting with the receipt of the new license expected in 2027. In order to include

1 Bad Creek II in the FERC relicensing process, project development actions
2 need to progress on a schedule that supports the information and data
3 requirements of the FERC process.

4 The project development milestones that need to be completed to
5 preserve the option of expansion as part of the FERC relicensing process are
6 project design optimization, transmission impact determination and cost
7 estimation with independent validation. Project design optimization includes
8 geotechnical analysis, hydraulic design and model testing. These project
9 optimization activities provide the basis of information that would be required
10 during the relicensing process and needed to adequately scope the project needs
11 for future solicitation for engineering, procurement and construction (“EPC”)
12 contractors to build the project. The Companies need to assess transmission
13 impacts to initiate and construct transmission projects to support the new
14 powerhouse at Bad Creek II. Finally, project design optimization and
15 transmission impacts need to be estimated and independently validated to
16 support the state and federal regulatory approvals required to construct Bad
17 Creek II. The Companies retained an engineering firm to perform a pre-
18 feasibility study, which was completed in 2019. The same firm is now
19 performing a feasibility study, which will be completed in 3rd Quarter 2022.
20 The Companies included the option of Bad Creek II in the FERC Pre-
21 Application document for the relicensing of Bad Creek Project in February
22 2022 and entered into the Definitive Interconnection System Impact Study in
23 June 2022. In addition, the Companies plan to hire a third-party construction

company to review the Opinion of Probable Construction Cost. A complete list of the proposed near-term development activities for Bad Creek II, along with the relevant estimated cost for each activity, are set forth in Table 1 below:

Table 1: Bad Creek II Near-Term Development Activities

Activity Description	2022	2023	2024	Total
Pre-Feasibility/Feasibility Study	5,000,000			5,000,000
Support Project Optimization and Functional Design (Support EPC Tender)	1,000,000	3,000,000	3,000,000	7,000,000
Execute Phase 2 Geotech Exploration	1,500,000			1,500,000
Phase 2 Geotech Exploration Field Support and Analysis	1,500,000			1,500,000
Major PH Equipment Solicitation Support Activities				
Support Bid Spec Prep	1,000,000			1,000,000
Support OEM Bid Evaluation and Contract Negotiation	200,000	300,000		500,000
OEM Hydraulic Design and Model Testing		1,500,000	1,500,000	3,000,000
EPC Solicitation Support Activities				
HDR Support Contract Strategy and Planning		200,000	200,000	400,000
HDR Prepares Tech Specs / Exhibits in Support of Duke's EPC Solicitation			3,000,000	3,000,000
Large Generator Interconnect Study	255,000			255,000
EPC Independent Estimate Review	150,000	300,000		450,000
Project Mgmt, Project Engineering, Implementation Mgmt	150,000	250,000	350,000	750,000
Contingency	500,000	1,500,000	2,000,000	4,000,000
Licensing	800,000	3,200,000	3,500,000	7,500,000
Total	12,055,000	10,250,000	13,550,000	35,855,000

Q. WHAT IS THE PROJECTED CONSTRUCTION TIMELINE AND IN-SERVICE DATE FOR BAD CREEK II AND WHAT FACTORS DID THE COMPANY CONSIDER WHEN DEVELOPING THE IN-SERVICE DATE?

A. As discussed above, construction of Bad Creek II cannot be commenced without a FERC license. The Companies anticipate the construction of Bad Creek II to take approximately six years. Construction will begin in 2027, once the Companies receive the FERC license and regulatory approvals. This would put Bad Creek II's in-service date in 2033.

1 **Q. WHAT IS THE BENEFIT TO CUSTOMERS OF PURSUING THE**
2 **LICENSE FOR BAD CREEK II IN PARALLEL WITH NEEDED**
3 **RELICENSING FOR BAD CREEK I?**

4 A. Given the potential expansion opportunity, the Companies made the strategic
5 decision to relicense the project using the Integrated Licensing Process (“ILP”).
6 The ILP provides the most efficient and streamlined process of the relicensing
7 process options available to a FERC licensee, which benefits customers. As an
8 example, we successfully implemented the ILP for the downstream Keowee-
9 Toxaway Hydroelectric Project resulting in new license issuance in 2016, prior
10 to expiration of the project’s original license. With receipt of a new license for
11 Bad Creek expected in 2027, the current relicensing provides the shortest and
12 best opportunity to explore project expansion. If the Company does not include
13 Bad Creek II in the final FERC application, it will require the Companies to go
14 through a duplicate process after receiving the license for the Bad Creek Project,
15 which would take approximately five additional years from 2027 and cause
16 stakeholders to go through a duplicative process. In addition, investment in
17 Pumped Storage Hydro through Bad Creek II will provide the Company a
18 higher probability of receiving a 50-year license for Bad Creek I and II versus
19 a shorter duration license for Bad Creek I.

1 **Q. WHY IS IT REASONABLE AND PRUDENT FOR THE COMPANIES**
2 **TO ENGAGE IN INITIAL PROJECT DEVELOPMENT ACTIVITIES**
3 **FOR BAD CREEK II?**

4 A. Bad Creek II is identified as necessary in every portfolio assessed by the
5 Companies, and no intervenor has presented alternative modeling that identifies
6 a compliance plan without Bad Creek II. As such, the Companies believe it is
7 likely that Bad Creek II will be needed as they retire coal plants and execute on
8 energy transition and the Carbon Plan. Therefore, it is reasonable for the
9 Companies to continue to pursue development activities in order to develop
10 more refined cost estimates for future consideration by the Commission and to
11 preserve the potential for Bad Creek II to be developed on a timeline consistent
12 with that assumed in the Companies' modeling.

13 **Q. HOW DO YOU RESPOND TO THE PUBLIC STAFF'S CONCERN**
14 **THAT THE COMPANIES' ASSUMED TIMELINE FOR BAD CREEK II**
15 **MAY NOT BE REALISTIC?**

16 A. The Company has confidence that the new powerhouse can be in-service by
17 2033. A Pre-Feasibility Study has been completed and a Feasibility Study is
18 underway. These studies outline the technical needs to construct the new
19 powerhouse and include detailed timeline and cost estimates. Pursuing Bad
20 Creek II within the relicensing of the current facility will allow the Company to
21 receive the FERC license in the most efficient manner. Since Bad Creek II
22 presents an unique opportunity to add additional Pumped Storage Hydro

1 without the need of a new reservoir, a six-year construction timeframe is
2 achievable.

3 **IV. NEW NUCLEAR**

4 **Q. MR. NOLAN, WOULD YOU PLEASE DESCRIBE THE COMPANIES'**
5 **EXISTING NUCLEAR FLEET, PERFORMANCE OF THE NUCLEAR**
6 **FLEET, AND THE ROLE OF THE FLEET IN THE COMPANIES'**
7 **OVERALL GENERATION MIX?**

8 A. Duke Energy has the largest regulated nuclear fleet in the country, operating
9 eleven large light-water reactors at six sites across the Carolinas. The nuclear
10 fleet provides approximately 10,773 MW of capacity, which provides over 50%
11 of the electricity used by Duke Energy's customers in the Carolinas, and 35%
12 of Duke Energy's overall generation. This generation is approximately 83% of
13 the zero-carbon energy produced by Duke Energy overall. The nuclear fleet
14 avoided 50 million tons of carbon dioxide ("CO₂") emissions in 2021, which
15 equates to keeping nearly 10 million cars off the road, and positively impacting
16 the local communities.

17 The capacity factor is a ratio of the electrical energy produced compared
18 to the maximum that could have been produced at continuous full power,
19 demonstrating the long-standing reliability of the nuclear fleet. In 2021, the
20 Companies' nuclear fleet operated with a combined capacity factor of 95.72%,
21 establishing a new generation record, and marking the 23rd consecutive year
22 that the fleet capacity factor has exceeded 90%. During the five-year period
23 2017 through 2021, Duke Energy's nuclear plants achieved a combined

1 capacity factor of 94.83%, higher than the NERC five-year average capacity
2 factor of similarly sized and types of U.S. reactors for the same five-year period.
3 Duke Energy was the top-rated nuclear fleet in five of the last six years with
4 respect to low-cost performance, and in 2021 produced electricity at the lowest
5 cost per kWh among the eight largest U.S. nuclear fleets.

6 **Q. PLEASE COMMENT GENERALLY ON THE COMPANIES' TRACK**
7 **RECORD OF NUCLEAR OPERATIONS.**

8 A. The Companies believe that, in considering the Companies' request to pursue
9 development activities for SMRs, the Commission should consider Duke
10 Energy's demonstrated exemplary performance and the industry-leading
11 expertise that it can bring to bear in deploying new nuclear. While SMRs would
12 obviously be a new technology to the Carolinas, the Companies are confident
13 that their deep and established internal expertise on nuclear operations would
14 provide a strong foundation on which to build.

15 **Q. WHAT ARE THE BENEFITS OF NUCLEAR GENERATION?**

16 A. Duke Energy's nuclear fleet of 11 reactors has been producing power safely and
17 reliably for our Carolinas customers for over 50 years, since the H.B. Robinson
18 Nuclear Plant started commercial operation in 1971. Since then, the Duke
19 Energy fleet has generated more than 3.161 billion MWh of electricity in the
20 Carolinas. Our nuclear power plants can provide zero carbon generation 24
21 hours a day, seven days a week. This baseload generation is essential to
22 providing reliable energy, especially when paired with an ever-increasing
23 generation mix of variable renewable power. Nuclear power can help meet the

1 load demands of our customers when renewable generation is not available or
2 significantly reduced. The approximately 10,773 MW generated by Duke's fleet
3 of 11 reactors provided power to over 8 million homes in the Carolinas,
4 supporting the local communities with well-paying jobs and resulting in more
5 than \$251.4 million in taxes to local and state government in 2021.

6 **Q. PLEASE BRIEFLY DISCUSS YOUR PLANS TO PURSUE**
7 **SUBSEQUENT LICENSE RENEWAL FOR THE EXISTING**
8 **NUCLEAR.**

9 A. The Companies have announced plans to pursue subsequent license renewal
10 ("SLR") for all eleven operating nuclear units. Pursuing SLR for the fleet will
11 extend the operating life of these investments for an additional 20 years (80
12 years total). The licenses of the nuclear fleet are currently scheduled to expire
13 beginning in 2030, with the last unit ending operations in 2046. With SLR
14 approval, the retirements for the operating fleet will shift to 2050–2066.
15 Continued operation of the Duke Energy nuclear fleet is essential to ensure a
16 reliable transition to achieve net-zero generation. All of the Companies'
17 planning models rely on SLR of the existing nuclear units to achieve our net-
18 zero carbon emission goals, and no party to this proceeding has offered an
19 alternative compliance pathway that does not rely on these SLRs. Therefore,
20 the Companies believe that the Commission should approve the Companies'
21 continued pursuit of SLRs for the existing nuclear fleet.

1 **Q. HOW ARE NEW NUCLEAR REACTORS DIFFERENT FROM**
2 **EXISTING NUCLEAR FACILITIES?**

3 A. New nuclear reactor technology has evolved from nuclear plant designs that
4 have run safely and reliably for many years. The anticipated benefits from new
5 nuclear technologies are expected to exceed those that are provided by the
6 existing nuclear fleet. The new technology has improved on past designs and
7 provides additional safety features beyond those that already exist in plants that
8 are safely operating today. New nuclear includes SMRs, advanced reactors
9 (“AR”) and microreactors, as described in Table L-2 of the Carbon Plan. SMRs
10 are water-cooled reactors and ARs are non-water-cooled (e.g., molten salt,
11 liquid metal, or high-temperature gas). The modular design of these new
12 reactors allows for more off-site construction and decreases production
13 timelines. Designs have become smaller, meaning units require less capital
14 investment and are more flexible, allowing for greater ability to match power
15 output to system loads and to more accurately meet growth in demand. The
16 ability to load follow allows new nuclear to integrate well with variable
17 renewables, and higher operating temperatures for some ARs allows for other
18 uses such as thermal storage, hydrogen production, and industrial applications.
19 In addition, the new generation of nuclear plants include inherent safety
20 features, such as passive cooling systems and lower water capacity
21 requirements that allow facilities to shut down and self-cool through natural
22 circulation. This means that the system can turn off and cool indefinitely with

1 no operator intervention, and can operate in much smaller emergency planning
2 zones that allow for location in more populated areas.

3 SMRs are used in all portfolios in the Carbon Plan modeling to achieve
4 carbon neutrality by 2050. Since they are most similar to today's operating
5 reactors, SMR technology will be most feasible before 2034. ARs are modeled
6 in the plan beginning in 2038.

7 **Q. HOW ARE SMRs DIFFERENT FROM ARs?**

8 A. SMRs use water for cooling, just like all the commercial operating nuclear
9 plants in the U.S. today. Therefore, it is a well-known and proven technology,
10 with a more readily available supply chain. SMRs have a less challenging
11 licensing path because their design is based on existing large light-water
12 designs. ARs use liquid metal (e.g., sodium), molten salts (e.g., chlorides,
13 fluorides), or high-temperature gas (e.g., helium) for cooling. ARs provide
14 flexible operations that can support hydrogen production, thermal storage, and
15 integration with variable renewable energy. Although there are a few ARs
16 operating successfully today internationally, there are no operating AR
17 generation facilities in the U.S. Additionally, leading SMRs use fuel much like
18 that in current operating facilities, whereas many of the leading ARs use a
19 higher-enriched fuel, called high assay low enriched uranium ("HALEU").
20 Although there are efforts underway to develop U.S.-based HALEU enrichment
21 facilities, there are currently no enrichment facilities in the U.S. producing
22 HALEU, which provides additional schedule risk for any design using HALEU.

1 **Q. WHAT ARE THE OPPORTUNITIES FOR FEDERAL GOVERNMENT**
2 **FUNDING FOR ADVANCED NUCLEAR TECHNOLOGY PROJECTS?**

3 A. The Department of Energy (“DOE”) created the Advanced Reactor
4 Demonstration Program (“ARDP”) in 2020 to help domestic private industry
5 demonstrate advanced nuclear reactors in the United States. The awards are
6 cost-shared partnerships with industry that will deliver two first-of-a-kind ARs
7 to be licensed for commercial operations. X-energy and TerraPower/GEH were
8 the chosen award winners for the Xe-100 and Natrium reactors, respectively.
9 Duke Energy is a partner in the Natrium project, providing advisory and in-kind
10 consulting service to TerraPower. In 2021, the U.S. Congress passed the
11 Infrastructure Investment and Jobs Act that appropriated \$1.23B for each
12 awardee, officially funding the ARDP selected awards for the rest of the seven-
13 year term.

14 Additionally, DOE’s Loan Program Office has \$10.9 billion in loan
15 guarantee authority for nuclear projects—including \$2 billion specifically for
16 front-end projects. The loan guarantee program helps eliminate gaps in
17 commercial financing for energy projects in the United States that utilize
18 innovative technology to reduce, avoid, or sequester greenhouse gas emissions.

19 **Q. PLEASE DISCUSS THE CURRENT STATE OF NEW NUCLEAR**
20 **TECHNOLOGY.**

21 A. There are currently about five to ten new nuclear reactor technologies that can
22 be considered as viable candidates based on their design and licensing status in
23 the U.S. Of the leading technologies, four are scheduled to be built on five

1 different projects and are expected to be operational in the next decade. Below
2 are the five projects.

3 GE Hitachi BWRX-300 (SMR)

4 Ontario Power Generation is building a BWRX-300 (300 MW) at its Darlington
5 Site in Clarington, Ontario. It is scheduled to be operational in 2029.

6 Tennessee Valley Authority has signed an agreement to support preliminary
7 licensing for the potential deployment of a BWRX-300 (300 MW) at its Clinch
8 River Site in Oak Ridge, Tennessee. It is planned to be online in the early 2030s.

9 NuScale VOYGR (SMR)

10 NuScale Power has an agreement to build a VOYGR-6 plant (6 x 77 MW = 462
11 MW) for Utah Associated Municipal Power Systems at the Idaho National
12 Labs. It is scheduled to be operational by 2029. DOE is providing up to \$1.4B
13 in a cost-sharing arrangement as part of the zero carbon Power Project.

14 TerraPower/GEH Natrium (AR)

15 TerraPower is building a Natrium plant (345 MW) for PacifiCorp in Kemmerer,
16 Wyoming, near the site of one of its retiring coal plants. It is scheduled to be
17 operational in 2028. DOE has funded approximately \$1.31B (\$0.08B + \$1.23B)
18 as a cost-sharing arrangement as part of ARDP.

19 X-energy Xe-100 (AR)

20 X-energy and Energy Northwest/Grant County Public Utility are building an
21 Xe-100 plant (4 x 80 MW = 320 MW) in the state of Washington. It is scheduled
22 to be operational in 2028. DOE funded approximately \$1.3B as a cost-sharing
23 arrangement as part of ARDP.

1 **Q. HAVE THE COMPANIES SELECTED A PREFERRED NEW**
2 **NUCLEAR TECHNOLOGY AT THIS TIME?**

3 A. No. The Companies are currently performing a thorough review of potential
4 SMRs and ARs to determine the most viable, cost-effective new nuclear
5 technology for our customers. An SMR was used in the modelling as the first
6 units to be built due to similarity with existing reactor technology and
7 corresponding licensing advantages. Given the rapid pace of development for
8 both SMRs and ARs, the Companies believe it is prudent to move forward with
9 site selection and an ESP, which is technology neutral, and then select a
10 technology, either SMR or AR, at the appropriate development timeline. An
11 ESP application provides the Companies an opportunity to obtain NRC
12 approval of one or more sites for a new nuclear power plant, independent of a
13 specific nuclear plant design or an application to build. The ESP provides for
14 NRC approval of the siting of one or more reactor technologies (i.e., bounded
15 by the plant parameter envelope in the ESP) at a specific site for up to 20 years,
16 with the option to renew for an additional 20 years. Such a sequence will ensure
17 the Companies are positioned to select the best, most cost-effective technology
18 selection. The ESP results in a final agency position available for referencing in
19 subsequent applications for either a construction permit or a combined
20 construction and operating license (“COL”).

1 **Q. WHAT ARE THE NEAR-TERM DEVELOPMENT ACTIVITIES FOR**
2 **NEW NUCLEAR?**

3 **A. The near-term development activities for new nuclear are detailed in Table 4-7**
4 **of the Carbon Plan and are provided below.**

5 Near-Term Actions (2022-2024)

6 2022-2023

- 7 • Organize nuclear development staff for new nuclear builds
- 8 • Perform new nuclear alternative siting study
- 9 • Perform new nuclear technology selection
- 10 • Begin new nuclear ESP development
- 11 • Choose the advanced nuclear technology/company to build the first
- 12 plant(s)

13 2024

- 14 • Develop new nuclear construction and operating license application

15 Performing these development activities is essential to preserve the
16 potential to allow the initial new nuclear SMR unit in-service date of mid-2032
17 to be met. To achieve a mid-2032 in-service date, developing an ESP must be
18 started as soon as possible. An ESP takes approximately two years to develop
19 and submit, and an additional two years for NRC review and approval. The
20 estimated timeline for development of a SMR to be operational by mid-2032,
21 as shown in Table L-3 of the Carbon Plan, has the ESP being submitted to the
22 NRC in mid-2024.

1 **Q. WHAT IS THE PROJECTED COST OF THE NEAR-TERM**
 2 **DEVELOPMENT ACTIVITIES FOR NEW NUCLEAR?**

3 A. Table 2 below shows the cost estimate for the near-term development activities
 4 for new nuclear.

5 **Table 2: New Nuclear Near-Term Development Activities**

Activity Description	2022	2023	2024	Total
Begin new nuclear Early Site Permit (ESP) development	5,000,000	25,000,000	25,000,000	55,000,000
• Administrative and Financial Information • Site Safety Analysis Report (SSAR) • Plant Parameter Envelope • Environmental Report • Limited Work Authorization • Emergency Planning • Departures and Exemption Requests				
Begin development activities for the first of two SMR units	3,500,000	3,500,000	10,000,000	17,000,000
• Siting Assessment & Selection • Technology Assessment & Selection • Develop COL Application				
Total	8,500,000	28,500,000	35,000,000	72,000,000

6

7 **Q. WHAT IS THE PLANNED CONSTRUCTION TIMELINE/IN-SERVICE**
 8 **DATE FOR NEW NUCLEAR?**

9 A. The planned construction timeline and in-service date is provided in Appendix
 10 L “Nuclear” of the Carbon Plan, in Figure L-3: Estimated Timeline for
 11 Development of a SMR – To be Operational by Mid-2032. Key milestones to
 12 meet the mid-2032 timeline include:

- 13 • Submit an ESP to the NRC in late 2024
- 14 • Submit a COL application to the NRC by July 1, 2026
- 15 • Construction period July 1, 2029 to July 1, 2032
- 16 • Begin fuel load and low power operations 3rd Quarter 2032

1 **Q. PLEASE DISCUSS WHY NEW NUCLEAR IS IMPORTANT TO THE**
2 **COMPANIES' ABILITY TO REACH THE CARBON REDUCTION**
3 **GOALS SET BY HB 951.**

4 A. New nuclear provides firm, dispatchable, zero carbon energy to the system that
5 can be increased or decreased due to the greater flexibility of new nuclear
6 compared to traditional nuclear. Flexible, zero carbon energy is extremely
7 important for system reliability and the Companies' overall decarbonization
8 effort. As other technologies continue to develop, there may be additional
9 options for providing firm, dispatchable, zero carbon energy to the system, but
10 in the near-term, new nuclear appears to be one of the only options for this
11 system need. Additionally, ARs have even greater use to the system due to their
12 extremely flexible output. The pairing of thermal storage or other mechanisms
13 to shift power by providing a higher peak output when required or a lower
14 output to the system during periods of overproduction of renewable energy is
15 extremely valuable to the overall modeling and expected system configuration
16 in the 2030s and 2040s.

17 **Q. WHY IS IT REASONABLE AND PRUDENT FOR THE COMPANIES**
18 **TO ENGAGE IN INITIAL PROJECT DEVELOPMENT ACTIVITIES**
19 **FOR NEW NUCLEAR?**

20 A. As discussed above, nuclear is a reliable asset that contributes to the long-term,
21 low and stable electric rates realized by our customers. Nuclear is identified as
22 being necessary to achieve the interim CO₂ reduction goals in the four
23 Portfolios presented in the Carbon Plan and the two supplemental Portfolios

1 presented by the Modeling and Near-Term Actions Panel direct testimony. All
2 six portfolios include the addition of new nuclear ranging from 7.6 GW to 8.0
3 GW by 2050.

4 The Companies are achieving early carbon reductions through the
5 retirement of coal replaced with increased generation from variable renewables
6 like wind and solar supported by dispatchable natural gas resources. Further
7 reductions in carbon emissions will require a combination of variable resources,
8 storage, and additional zero carbon dispatchable generation to reliably meet the
9 energy demand. The Companies have used the phrase “zero-emitting load
10 following resource” to categorize this generation resource type. New nuclear is
11 based upon reliable technologies that can serve this need. New nuclear meets
12 the intent of a low-cost option when paired with variable renewables and
13 storage to reliably provide carbon reductions of 70% and beyond. New nuclear
14 that integrates thermal storage provides even more benefit as discussed above.

15 **Q. HOW DO YOU RESPOND TO THE COMMENTS OF THE PUBLIC**
16 **STAFF THAT THE PACE AND TIMING OF THE PROPOSED SMR**
17 **ADDITIONS ARE “VERY AGGRESSIVE AND REPRESENT**
18 **SIGNIFICANT PORTFOLIO RISK” AND THAT THE TIMELINES**
19 **ARE “SPECULATIVE”?**

20 **A.** The timeline to have the first new nuclear plant in operation in mid-2032 is
21 achievable with the development actions provided in the Carbon Plan filing,
22 and the risk mitigation measures the Companies are taking as noted below. The
23 Companies are taking a number of prudent steps to minimize the first-of-a-kind

1 risks associated with new nuclear deployment. First, the pursuit of an ESP will
2 allow the resolution of site safety and environmental issues before a technology
3 is selected or a decision to build has been made. The ESP process will allow
4 additional time to select a technology, ensuring selection of the most prudent,
5 cost-effective technology. As discussed above, there are four different
6 technologies being pursued by five different projects which are all expected to
7 be operational by 2029. With four different reactor technologies expected to be
8 demonstrated by the end of this decade, Duke Energy believes that it may be
9 prudent to seek to be a second mover to avoid first-of-a-kind costs but is
10 mindful that supply chain capacity is a risk factor that can impact deployment
11 timing and may alter that consideration.

12 To ensure the Companies are well-positioned to evaluate new nuclear
13 technologies, the Companies are participating in the utility advisory boards for
14 numerous technologies in order to stay current with developing technologies as
15 industry-leading designs emerge. For example, we are participating with
16 TerraPower and others in the development of the Natrium design funded by the
17 DOE's ARDP. This AR design will have integrated molten salt storage that will
18 integrate well with solar, maximizing the benefit of both technologies. The
19 Companies are pursuing a technology assessment process that will compare
20 risks in a formalized approach and provide a measured approach with regard to
21 deployment timing. The Companies will continue to evaluate new information
22 regarding the assessment of risks for technology, cost, and schedule for energy

1 transition. The near-term activities described in the Carolinas Carbon Plan are
2 targeted at this approach.

3 The proposed near-term actions support various deployment schedules
4 with different types of new nuclear technology. An early deployment schedule
5 will favor light-water SMR technologies, because the technology utilized in
6 them is similar to the plants that we operate today. A later deployment date
7 would allow the experience gained from the DOE's ARDP to be more
8 qualitatively assessed, opening the possibility for deployment of AR designs
9 that include enhancements in their operational characteristics, fuel designs and
10 safety systems. In addition, ARs have improved load-following characteristics
11 and/or integrated thermal storage that allow for better integration with variable
12 renewables like wind and solar that would provide economic benefits to the
13 customer. As a result, the Companies will continue to assess technology as new
14 information becomes available.

15 The Companies' proposed near-term actions enable a focus on light-
16 water SMRs early, allowing for a transition to ARs after they have demonstrated
17 performance. This approach allows the Company to meet the objectives of
18 HB 951 in meeting the 70% reduction early, while allowing for the benefits of
19 ARs to contribute to achieving net-zero by 2050.

20 **Q. HOW DO YOU RESPOND TO THE COMMENTS OF INTERVENORS**
21 **THAT NEW NUCLEAR TECHNOLOGY IS UNPROVEN?**

22 A. SMRs being developed today rely on a very proven technology, as they are
23 based on the same technology used in all of the commercial nuclear plants in

1 operation in the U.S. today. Light-water SMRs are either boiling water reactors
2 or pressurized water reactors, using water as their cooling source. The large
3 light-water reactors (“LLWR”) operating in the U.S. today have been operating
4 reliably and safely for more than 50 years. The SMRs have used lessons learned
5 from all of these years to improve on the technology that is being used in today’s
6 commercial fleet. As an example, the GEH BWRX-300 SMR is based on the
7 GEH Economic Simplified Boiling Water Reactor LLWR that has already been
8 licensed by the NRC as an improved design over the LLWRs in operation today.

9 ARs being developed today are also based on proven technologies. Test
10 and research reactors in the U.S. have used liquid metal, molten salts, or high
11 temperature gas as cooling since the 1960s. For liquid metal-cooled reactors,
12 the Experimental Breeder Reactor 2 (“EBR-2”) operated for 30 years (1964-
13 1994) in Idaho, and the Fast Flux Test Facility ran from 1982-1993 in the state
14 of Washington, both using liquid sodium as a cooling source. The Molten Salt
15 Reactor Experiment that ran at Oak Ridge National Lab in the 1960s is an
16 example of a molten salt-cooled reactor. For HTGR, the Peach Bottom Unit 1
17 nuclear station in Pennsylvania ran from 1966-1974, and the Fort St. Vrain
18 nuclear generating plant in Colorado ran successfully from 1979-1989 as a
19 power generation facility. The new ARs being developed have also used lessons
20 learned from these test and research reactors and improved the design,
21 providing a viable alternative to LLWRs. In addition, there are ARs currently in
22 operation today in a number of foreign countries, including the United Kingdom
23 (HTGRs), China (HTGR), and Russia (liquid sodium-cooled).

1 **Q. HOW DO YOU RESPOND TO COMMENTS THAT NEW NUCLEAR**
2 **TECHNOLOGY PRESENTS SIGNIFICANT ENVIRONMENTAL**
3 **RISKS AND SAFETY CONCERNS?**

4 A. The Companies fundamentally do not agree that new nuclear presents
5 significant environmental risks and safety concerns. The new technology has
6 improved on past designs and has many inherent safety features that make them
7 even safer than those plants operating today. As discussed earlier, when
8 comparing the benefits of new nuclear designs over existing operating plants,
9 the improved safety features allow the new reactors to be considered “walk-
10 away safe,” automatically shutting down and self-cooling for an extended
11 period of time, all with no operator actions required.

12 In addition, environmental impacts, site safety, and external hazards are
13 important factors in siting new nuclear plants. The NRC considers the issuance
14 of a license or an ESP to be a major federal action requiring the issuance of an
15 Environmental Impact Statement under the requirements of the U.S. National
16 Environmental Policy Act. To obtain an operating license from the NRC, the
17 process for new nuclear plants requires an extensive environmental evaluation,
18 a final safety analysis report, emergency planning and physical security
19 information. The environmental and safety requirements for new SMRs and
20 ARs are currently the same as for those required of large light-water cooled
21 reactors. However, the NRC is developing a new rulemaking² that will

² See 85 Fed. Reg. 71,002 (Nov. 6, 2020) (to be codified at 10 C.F.R. pt. 53).

1 streamline the licensing of new nuclear technologies due to the fact that the
2 improved inherent safety features of SMRs and ARs make some of the existing
3 regulations no longer necessary. The NRC is targeting the new rule issuance in
4 July 2025. These regulatory-required processes ensure that all environmental
5 and safety issues are acceptable for a new SMR or AR to be granted an operating
6 license.

7 **Q. HOW DO YOU RESPOND TO THE ASSERTION THAT DUKE**
8 **ENERGY SKEWS COST ESTIMATES IN FAVOR OF NEW NUCLEAR**
9 **AND AGAINST SOLAR, STORAGE, AND WIND?**

10 A. The Companies used reasonable cost estimates for new nuclear based on the
11 most updated information that was available at the time the estimate was
12 produced. These high-level cost estimates are primarily based on information
13 provided by the reactor technology vendors and industry operating experience.
14 The Companies acknowledge that the cost estimates for new nuclear will need
15 to be refined over time, just as is the case for all resources being considered for
16 energy transition and included in the Carbon Plan. But, as discussed above,
17 given its operating characteristics compared to other resources, new nuclear
18 will be an essential part of the path to carbon neutrality. As such, it is reasonable
19 and prudent for the Companies to pursue development activities in the near-
20 term, in part, to produce more refined cost estimates that can be considered by
21 the Commission in the future. As some of the new advanced nuclear projects
22 scheduled to be completed this decade move further along in the construction
23 cycle, more refined cost estimates can be determined. The Company is taking

1 prudent steps to minimize first-of-a-kind risks, such as the early resolution of
2 siting issues, participation in the utility advisory boards for numerous
3 technologies, participation in the DOE's ARDP, and a measured approach with
4 regards to deployment timing. The Company will continue to evaluate new
5 information regarding the assessment of risks for technology, cost, and
6 schedule.

7 **V. OFFSHORE WIND**

8 **Q. MR. POMPEE, PLEASE DISCUSS THE CURRENT STATE OF**
9 **OFFSHORE WIND GENERATION IN THE U.S.**

10 A. Offshore wind technology is relatively new in the U.S., but the deployment of
11 the technology has a 25-year track record globally. In the U.S., there are
12 currently seven offshore wind turbines in operation (five in Block Island, owned
13 by Ørsted and two off the coast of Virginia owned and operated by Dominion
14 Energy). However, the U.S. offshore wind market is burgeoning, with over 30
15 GW of projects with leases in place to achieve state carbon reduction and
16 economic development policy goals. In the last several years, the U.S. offshore
17 wind market has seen an increasing number of executed leases and project
18 development activity, mostly occurring in the Northeast.

19 Offshore wind on the Atlantic Outer Continental Shelf ("OCS") has
20 advantages because of the relatively shallow water depths that allow for fixed-
21 bottom installation technologies compared to the Pacific OCS, where floating
22 technology required. Fixed-bottom foundation technologies are the most
23 mature offshore wind foundation technology, with roughly 75% utilizing

monopile foundations and the remainder utilizing jacketed foundations, as is common in oil and gas exploration. Depending on the site conditions and the water depth, monopile or jacketed foundations are the likely foundation technologies to be deployed off the coast of North Carolina. The leasing and development of offshore wind parcels has been steadily moving south, with three leases in North Carolina executed in the last five years. Two of these leases were executed in July 2022 off the coast of Cape Fear, North Carolina in the Carolina Long Bay Area.

Q. DESCRIBE THE THREE SITING POSSIBILITIES FOR OFFSHORE WIND IN THE CAROLINAS.

A. Offshore wind in the Carolinas currently consists of three siting possibilities (i.e., only three WEAs). The Kitty Hawk parcel (“Kitty Hawk”) (a 200-square-mile area (~127,000 acres), approximately 27 miles from Corolla, N.C. on the Outer Banks) was auctioned in 2017 and acquired by Avangrid Renewables (“Avangrid”). The second area, known as Carolina Long Bay (“Carolina Long Bay”) a 170-square mile area (~110,000 acres), is composed of two wind leases of roughly 55,000 acres each located approximately 20 miles from Cape Fear, N.C., and was auctioned in May 2022. TotalEnergies Renewables USA, LLC and Duke Energy Renewables Wind, LLC each acquired one of the leases. The energy produced by projects in Carolina Long Bay and Kitty Hawk could produce approximately 4,800 MW. All the three parcels would require cabling from the wind farm to onshore, with Kitty Hawk having a significantly longer subsea cabling requirement due to its location near the North Carolina/Virginia

1 border. For all parcels, once the cabling comes onshore, network upgrades and
2 new transmission infrastructure will have to be built in order to connect to the
3 Companies' transmission system.

4 **Q. WHAT ARE THE BENEFITS OF OFFSHORE WIND?**

5 A. The benefits of offshore wind include carbon emissions reduction, fuel cost
6 savings, and increased renewable resource diversity in regions with high
7 penetration of solar energy. With a minimum of 12 GW of total system solar
8 identified to achieve the interim emissions reduction targets in the Carbon Plan
9 portfolios, offshore wind would provide important resource diversity to
10 complement solar variability.

11 The energy profile of offshore wind complements the energy profile of
12 solar for both daily and seasonal generation. For example, as more solar is
13 added, the summer peak planning hour shifts to the early evening as solar
14 generation decreases and offshore winds increase. Offshore wind especially
15 complements solar in the winter. The peak planning hour for the year has shifted
16 from the summer afternoon to the early winter morning. This is primarily due
17 to the increasing amounts of solar added to the system. Offshore winds highest
18 seasonal generation is in the winter mornings, when solar generation is not
19 available.

20 The relatively high-capacity factors and lower intermittency for
21 offshore wind compares favorably to other low carbon resources. The location
22 of offshore wind turbines, more than 20 miles from shore, allows for very large
23 wind farms, larger wind turbines and taller towers. This has the net result of

1 increasing the capacity and capacity factor of offshore wind, resulting in site
2 outputs typically measured in gigawatts. Offshore wind farm capacities are
3 typically orders of magnitude larger than onshore wind or solar farms, without
4 the associated land use issues.

5 **Q. WHAT IS THE PROCESS FOR DEVELOPMENT OF OFFSHORE**
6 **WIND SITES?**

7 A. The process of leasing offshore wind is managed by the BOEM, part of the
8 Department of the Interior. Once a lease has been executed, it takes
9 approximately 8 – 10 years from leasing a WEA to commercial operation.
10 Dominion Energy acquired a commercial lease in 2013, and nearly a decade
11 later, in August 2022, received approval from the Virginia State Corporation
12 Commission to move forward with a 2.6 GW Coastal Virginia Offshore Wind
13 project by 2026. Dominion Energy is still waiting approval of its COP to move
14 forward with this project.

Figure 1: BOEM Offshore Wind Development Process

As stated in the Carolinas Carbon Plan and by intervenors, the development of an offshore wind project can take up to 10 years. The “Site Assessment” shown in Figure 1 above, includes the Site Assessment work and the COP and approval. The development timeline provided by BOEM also illustrates the maximum expected time. The “Site Assessment” shown above represents the maximum amount of time BOEM allows for a lessee to perform this step and could be completed in three years versus the five years illustrated if sufficient pre-development approvals are received. When developing the Plan, Duke Energy took into consideration this timeline as well as the work required to achieve a 2030 commercial operation date, at the soonest. As a result of this schedule, it is prudent and reasonable to begin the development of offshore wind in the near-term so that the Companies can gather a more refined cost estimate for Commission consideration in the future and to preserve the

1 potential for offshore wind to be available on a schedule consistent with the
2 Companies' modeled assumptions.

3 **Q. PLEASE DISCUSS WHY OFFSHORE WIND IS LIKELY TO BE**
4 **IMPORTANT TO THE COMPANIES' ABILITY TO REACH THE**
5 **CARBON REDUCTION GOALS SET BY HB 951.**

6 A. Although offshore wind is only selected in certain of the Companies' Portfolios,
7 the Companies believe that it is prudent and reasonable to preserve the option
8 to diversify the Plan with offshore wind and many intervenors appear to agree.
9 Offshore wind could potentially alleviate the reliance on specific technologies,
10 potential gas pipelines, and the ability to procure, construct and operate an
11 unprecedented amount of solar in the Carolinas.

12 **Q. DID THE COMPANIES' MODELING IN THE CARBON PLAN**
13 **ASSUME OFFSHORE WIND IN A PARTICULAR WEA?**

14 A. No. The Companies' Carbon Plan modeling assumed a generic offshore wind
15 resource off the coast of North Carolina but did not assume a particular WEA,
16 because it is not necessary for modeling purposes to assume a particular WEA.

17 **Q. PLEASE DESCRIBE WHY SELECTION OF A WEA WILL BE**
18 **NECESSARY TO BEGIN NEAR-TERM DEVELOPMENT**
19 **ACTIVITIES.**

20 A. Most of the near-term development activities required are site-specific. That is,
21 the Companies must have obtained a specific WEA to commence with the site
22 assessment activities.

1 **Q. PLEASE COMMENT GENERALLY ON THE AVAILABLE OPTIONS**
2 **FOR WEAS.**

3 A. As discussed above, there are only three WEAs available at this time.
4 Importantly, N.C. Gen. Stat. § 62-110.9(2) specifies that “[a]ny new generation
5 facilities or other resources selected by the Commission...shall be owned and
6 recovered on a cost of service basis by the applicable electric public utility.”
7 The legal issues related to this issue will be addressed as directed by the
8 Commission in comments to be filed by the Companies on September 9, 2022.
9 However, for purposes of this testimony, counsel for the Companies have
10 informed us that the Companies are legally required to own any offshore wind
11 generation selected by the Commission as part of the Carbon Plan.

12 Given that background, the Carolina Long Bay lease obtained by Duke
13 Energy Renewables Wind, LLC appears at this time to be the only WEA
14 definitely available for further development by the Companies. The comments
15 submitted by Avangrid and TotalEnergies do not indicate a clear desire to sell
16 their WEAs to the Companies (or to develop a wind generation facility on their
17 WEA and then sell the entire asset to the Companies). Therefore, absent direct
18 expressions of interest, there is essentially only one option for pursuing
19 development activities for offshore wind at this time.

20 **Q IS DUKE ENERGY WILLING TO CONSIDER POTENTIAL**
21 **ARRANGEMENTS WITH AVANGRID AND TOTALENERGIES IN**
22 **WHICH DUKE ENERGY PURCHASES THE WEAS ?**

1 A. Yes. The Companies remain open to opportunities for ownership of cost-
2 effective offshore wind WEAs to develop on behalf of our customers.

3 **Q ASSUMING THAT AVANGRID AND TOTALENERGIES DO NOT**
4 **EXPRESS A CLEAR DESIRE TO SELL THEIR RESPECTIVE WEAS,**
5 **WHAT WOULD BE THE NEXT STEP WITH RESPECT TO CAROLINA**
6 **LONG BAY?**

7 A. Assuming the Commission agreed that it is prudent and reasonable to pursue
8 further offshore wind development activities, the Companies would seek
9 affiliate approval from the Commission to transfer the Carolina Long Bay lease
10 from Duke Energy Renewables Wind, LLC. In parallel with such transfer, the
11 Companies would proceed with development activities on the Carolina Long
12 Bay lease to further the opportunity to develop an offshore wind project.

13 **Q. WHAT ARE THE NEAR-TERM ACTIVITIES AND COSTS**
14 **ASSOCIATED WITH THE DEVELOPMENT ACTIVITIES FOR**
15 **OFFSHORE WIND?**

16 A. As discussed above, the key near-term development activity is obtaining a
17 WEA. As such, these costs include the cost of acquiring the Carolina Long Bay
18 WEA lease from the Companies' affiliate (including the requisite approval from
19 the Commission). The additional costs include the annual rent for the lease to
20 BOEM in the amount of \$3 per acre per year.

21 The near-term activities required to continue developing the Carolina
22 Long Bay lease will help ensure that the area is able to be further developed.

23 The near-term activities being planned include the development of a SAP, site

- 1 survey activities and preliminary engineering. The near-term costs presented do
2 not include the system upgrades required to ensure the transmission system is
3 ready to support the injection of offshore wind (depending on the portfolio).
4 These near-term activities include:
- 5 a. Development of the SAP (6-12 months) for approval by BOEM within 12
6 months of acquiring a lease (June 2023). The SAP includes a list of site
7 characterization activities that are required to be performed to gain a more
8 detailed understanding of the lease area and how to plan, engineer and
9 develop the WEA. SAP approval is required in order to deploy a
10 meteorological buoy to collect wave, wind, current and other data that will
11 help inform design of foundations, towers and wind turbine components as
12 part of the COP.
 - 13 b. Develop a Survey Plan as part of the SAP (2023-24) to include the following
14 surveys:
 - 15 i. Geophysical surveys
 - 16 ii. Geotechnical surveys
 - 17 iii. Baseline biological surveys
 - 18 iv. Met-ocean data collection (deploy floating LiDaR and buoys).
- 19 BOEM must approve the SAP before the lessee can deploy
20 meteorological buoys for data collection.

c. Begin development of the COP including baseline survey activities, engineering, design and fabrication reports for proposed offshore wind project as part of the federal, state and local permitting activities. The COP is required to be approved by BOEM before any construction activities can be performed on the OCS. Development of the COP can take as few as 3 years and no more than 5 years once the SAP is approved by BOEM. All federal, state and local approvals coincide with submission of the COP under the National Environmental Policy Act.

d. Begin development work to support the transmission interconnection facilities from the landing site to the Point of Injection (expected to be the New Bern substation). This work would include evaluation of land needed, preliminary engineering for routing path, feasibility study of potential beach landing, creating engineering standards, developing and executing stakeholder engagement plan. Additionally, the work would require preliminary permitting requirements for the eventual construction of transmission from the landing site to New Bern; approximately 40 miles.

The costs for the near-term development activities are shown in Table 3 below:

Table 3: Offshore Wind Near-Term Development Activities

Activity Description	2022	2023	2024	Total
Lease	\$155,000,000	\$200,000	\$200,000	\$155,400,000
Development Expenses	\$2,000,000	\$20,000,000	\$40,000,000	\$62,000,000
Transmission from landing site to point of injection	\$5,000,000	\$10,000,000	\$85,000,000	\$100,000,000
Construction	\$0	\$0	\$0	\$0
Total:	\$162,000,000	\$30,200,000	\$125,200,000	\$317,400,000

1 A mix of internal project development and external consultants will be used,
2 including project management, engineering, environmental, stakeholder
3 engagement and community outreach resources.

4 **Q. WITH THIS BACKGROUND, WHAT DO YOU ANTICIPATE TO BE**
5 **THE TIMELINE FOR THE FURTHER DEVELOPMENT OF**
6 **OFFSHORE WIND RESOURCES?**


7 A. It is our understanding that Duke Energy Renewables Wind, LLC is currently
8 working on the SAP, which is targeted for completion by mid-2023 based on
9 the timeline established by BOEM. The SAP includes, among other elements,
10 the development of a Survey Plan for deployment of a meteorological buoy and
11 floating lidar device to collect important data for the engineering and design of
12 an offshore wind project. Upon receiving BOEM approval for the SAP as well
13 as other applicable permits, the lessee is allowed to deploy meteorological
14 buoys and floating LIDAR technology. Assuming site characterization and
15 subsequent engineering starts in 2023, development and submittal of the COP
16 could be completed by mid-2025, and approvals by BOEM in 1-2 years. To
17 achieve year-end 2030 commercial operation, equipment procurements would
18 most likely have to be initiated prior to getting the final COP and permitting
19 approvals. This could present significant financial risk for the Companies and
20 its customers. Timelines for commercial operation beyond 2030 would reduce
21 the financial risk as well as allow for permitting and supply chain efficiencies
22 and technology advancements to be realized.

1 **Q. THE PUBLIC STAFF RAISED A CONCERN WITH THE COMPANIES’**
2 **ABILITY TO CONSTRUCT OFFSHORE WIND DUE TO THE JONES**
3 **ACT. PLEASE DESCRIBE THE JONES ACT.**

4 A. The Jones Act (part of the Merchant Marine Act of 1920) requires the use of
5 ships that have been constructed in the United States, fly a U.S. flag, are owned
6 by a U.S. corporation and crewed by U.S. citizens or permanent residents when
7 used for transport of goods by water between U.S. ports. This requirement
8 applies to offshore wind facilities off the U.S., and all the available wind parcels
9 in the Carolinas are similarly impacted. Typically, large pieces such as the
10 turbine nacelle or blades are transported and installed using a jack-up vessel.
11 Because there are no Jones Act-compliant jack-up vessels in use in the United
12 States, the use of an alternate Jones Act-compliant vessel is required and adds
13 complexity to construction. Public Staff suggested that this requirement is a risk
14 to the Companies’ ability to construct offshore wind facilities.

15 **Q. HOW DO THE COMPANIES PLAN TO ADDRESS THE SCARCITY OF**
16 **JONES ACT COMPLIANT VESSELS TO CONSTRUCT OFFSHORE**
17 **WIND FACILITIES?**

18 A. There are two methods to address the current scarcity of Jones Act compliant
19 vessels capable of constructing offshore wind facilities. First, a Jones Act
20 compliant feeder vessel can transport installation components from port and
21 transfer to an installation vessel at the site. Figure 2 below from the U.S.
22 Government Accountability Office shows an example installation using
23 separate vessels to comply with the Jones Act.

Figure 2: Example Jones Act-Compliant Installation

Source: GAO. | GAO-21-153

Second, the Companies expect that, as the U.S. offshore wind market matures, the Jones Act vessels will become available towards the latter half of the decade. For example, Blue Ocean Energy Marine, LLC., a Dominion Energy Virginia affiliate, is fabricating the first Jones Act compliant vessel, called the Charybdis, for installation of the 2.6 GW Coastal Virginia Offshore Wind project. The vessel Charybdis is scheduled to be completed in 2023, with the subsequent Coastal Virginia Offshore Wind project scheduled for completion in 2026. Furthermore, on June 23, 2022 the Biden Administration launched the Federal-State Offshore Wind Partnership with the goal of growing American-made clean energy. Crucially, the Biden Administration announced specialized financing for “Vessels of National Interest” (in support of offshore wind projects). The lead time to construct a Jones Act compliant offshore wind turbine installation vessel is estimated at 3 years. Given that the development of the offshore wind projects, themselves, has a longer lead time than

1 construction of a turbine installation vessel, the Companies expect the vessel
2 market to catch up with demand.

3 **Q. PLEASE COMMENT GENERALLY ON THE POTENTIAL FOR**
4 **OFFSHORE WIND PROJECTS TO BE ONLINE BY 2030.**

5 A. The timeline shown in the Carbon Plan Appendix J was presented as an example
6 of a project development timeline. This aligns with the BOEM maximum
7 timeline to submit a COP. As previously mentioned, this represents the
8 maximum allowable timeline. Projects may be completed in a shorter time
9 period; however, this comes with increased risk and the need to perform
10 development work as early as possible and, therefore, requires regulatory
11 certainty to proceed. According to their comments, Avangrid concurs that the
12 development of an offshore wind project should take “roughly 8-10 years from
13 lease acquisition.”³ Such a timeline could put Carolina Long Bay in operation
14 between 2030 and 2032, as represented in the Carolinas Carbon Plan.

15 The model used to develop the scenarios presented in the Plan was
16 provided with multiple offshore wind capacity scenarios to achieve the 70%
17 reduction goals. At the time of modeling, only one parcel had sufficient
18 development, based on publicly available information, to be deemed feasible
19 for a 2030 commercial operations date. This parcel was limited to 800 MW
20 based on the submitted COP and because the transmission upgrade
21 requirements to accommodate 800 MW of offshore wind was achievable by

³ Avangrid Comments at 16.

1 2030. Above that amount, new transmission lines would have to be constructed,
2 which was not achievable prior to 2030. Initially, the 2030 date was not included
3 in the model because of the ownership requirements of HB 951, and the Kitty
4 Hawk phase I was slated to connect to Virginia. However, the Companies
5 adjusted the approach based on stakeholder feedback.

6 For runs that achieved 70% carbon reduction after 2030, the model was
7 provided an additional 1,600 MW to select based on a generic offshore wind
8 project. At the time, this was based on the official numbers in the BOEM
9 Proposed and (subsequent) Final Sale Notices for Carolina Long Bay. In order
10 to simplify the model, the build-out was presented in distinct phases,
11 demarcated by the 800 MW transmission limitation. From a construction
12 perspective, any development of offshore wind would be performed with the
13 best project management and construction principles.

1 **Q. HOW DO YOU RESPOND TO COST CONCERNS REGARDING**
2 **OFFSHORE WIND?**

3 A. The projected costs presented in the Plan and used for modeling are high-level
4 estimates based on indicative pricing, industry data and multiple sources.
5 However, one of the key purposes of the proposed development activities is to
6 develop more detailed cost, scope, schedule and engineering estimates. As with
7 any major construction project, projects of this size and scale carry risks, but
8 risks can be mitigated with associated engineering and design studies, including
9 Pre-Front-End Engineering Design (“FEED”), FEED, Site Surveys, Supply
10 Chain Assessment, Port Study, as well as detailed designs. After approval of the
11 SAP, Duke Energy will begin to collect wind, wave and current data that will
12 inform the pre-Front End Engineering and Design. As Site Characterization
13 data is collected through geophysical and geotechnical surveys, this information
14 will inform the engineering and design of foundations, transition pieces and the
15 wind turbine tower. Based on early discussions with engineering firms, we
16 understand this process to be iterative—meaning that we will refine the
17 engineering and the cost estimates throughout the process to develop. In
18 summary, the development activities set forth above will help inform future cost
19 estimates that will be brought to the Commission through a future Carbon Plan
20 proceeding. At that time, the Commission will have the full opportunity to
21 consider any cost concerns along with all other factors in deciding whether to
22 select offshore wind as a resource.

1 As the U.S. offshore wind market matures, the costs of manufacturing,
2 installation and operational costs are expected to decrease. The extent of cost
3 declines will be driven by maturity in the supply chain and the extent to which
4 onshoring of advanced manufacturing is available at a lower cost than European
5 manufactured components. Early announcements in the southeast are
6 promising; including a subsea cable factory expansion in South Carolina, a
7 Siemens Gamesa wind blade factory in Virginia, existing inter-array cable
8 manufacturing at Southwire in Huntersville, NC. With more than 2,000 parts in
9 a wind turbine, the economic development and supply chain opportunities are
10 innumerable.

11 **VI. CONCLUSION**

12 **Q. MR. REPKO, ARE THERE ANY FINAL TAKEAWAYS YOU WOULD**
13 **LIKE TO SHARE WITH THE COMMISSION?**

14 A. Yes. The Companies believe that it is likely that these three long lead-time
15 resources will be needed to meet the ambitious carbon reduction goals of
16 HB 951 and therefore that it is prudent and reasonable to pursue development
17 activities in the near-term to further develop the resources, pursue their initial
18 regulatory and permitting requirements and refine cost estimates. The Company
19 is not asking for approval of these resources at this time but is requesting
20 approval of the decision to pursue the development activities and to incur costs
21 set forth in Table 1 (Bad Creek II), Table 2 (SMRs) and Table 3 (Offshore Wind)
22 above, consistent with its comments to be submitted on September 9, 2022, and
23 the requested relief in its Application.

1 If the Companies do not undertake development activities in the near-
2 term for offshore wind, SMRs, and Bad Creek II, these resources will not be
3 available on the timelines contemplated by the portfolios. Preserving these
4 resource options on the contemplated timelines is important to the future
5 execution of the Companies' Carbon Plan.

6 **Q. MESSRS. REPKO, IMMEL, NOLAN, AND POMPEE, DOES THIS**
7 **CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

8 **A. Yes.**

Duke Energy Carolinas, LLC and Duke Energy Progress, LLC
Summary of Direct Testimony – Long Lead-Time Resources
Regis Repko, Steve Immel, Chris Nolan, Clift Pompee
Carolinas Carbon Plan
Docket No. E-100, Sub 179

1 My name is Regis Repko, and I am the Senior Vice President of Generation and
2 Transmission Strategy for Duke Energy Carolinas, LLC and Duke Energy Progress,
3 LLC. I am here today testifying together with Steve Immel, Chris Nolan, and Clift
4 Pompee on the “Long Lead-Time Resources Panel.” I will present a summary of my
5 direct testimony and that of Messrs. Immel, Nolan and Pompee.

6 The purpose of the Panel’s testimony in this proceeding is to provide a factual overview
7 of the Companies’ plans to increase the amount of pumped hydro storage through the
8 construction of a second powerhouse at our existing Bad Creek I facility, called “Bad
9 Creek II,” pursue the development of small modular reactors, known as SMRs, and
10 pursue the development of offshore wind generation. This panel’s testimony provides
11 the annual projected expenditures for the development of each of these resources over
12 the next three years.

13 All three of the resources discussed in this panel require long lead times to develop,
14 construct, and incorporate into the Companies’ resource mix as compared to the other
15 resources presented in the Carbon Plan. Specifically, the development of Bad Creek
16 II, SMRs, and Offshore Wind each have lead times of 7-10 years, or longer, compared
17 to the approximate 3-5-year lead times for the more established generation technologies
18 presented in the Plan. The Companies believe we will need an “all of the above”
19 strategy with these three resources and that they will all be needed to achieve HB 951’s
20 carbon neutrality goals over the long term. As this panel will discuss in more detail,
21 the Companies are requesting Commission approval of the decision to incur the
22 following costs related to the near-term development work for Bad Creek II, SMRs,
23 and Offshore Wind.

- 24 • Development of Bad Creek II includes expanding the capacity of the
25 Companies’ Bad Creek I pumped hydro storage facility to include a
26 second powerhouse. To develop this resource, the Companies intend to
27 conduct a feasibility study; develop an Engineering, Procurement and
28 Construction strategy, and continue to develop an application to the
29 Federal Energy Regulatory Commission to relicense Bad Creek I to
30 incorporate the Companies’ construction and operation of Bad Creek II.
- 31 • To pursue development of SMRs, the Companies must begin work on
32 an Early Site Permit, or ESP, that will be submitted to the Nuclear
33 Regulatory Commission, for a to-be-determined site for this resource;
34 perform a due diligence review to identify a nuclear technology for the
35 SMRs that will ultimately be constructed; and choose a company that
36 will construct the new nuclear technology. The ESP will allow the

1 Companies to pursue development of a new nuclear resource, regardless
2 of the technology ultimately selected, and is a valuable resource in and
3 of itself.

- 4 • To further pursue development of offshore wind generation, the
5 Companies must secure an ownership interest in a lease for a Wind
6 Energy Area, where the offshore wind resource will be located, and
7 initiate and develop various permitting activities, including developing,
8 submitting, and obtaining approval a Site Assessment Plan from the
9 Bureau of Ocean Energy Management, beginning the stakeholder
10 engagement process, developing a Construction and Operation Plan,
11 and initiating an interconnection study process.

12 Because of the lead times associated with the study, permitting, and construction of the
13 three resources discussed in this panel, the Companies must begin this work to best
14 understand the future costs of each resource and ensure that they will be available
15 within our projected timeframes. By starting the development work on these resources,
16 the Companies will take an important first step towards the delivery of clean energy
17 from resources that are necessary to meet the reliability, least-cost planning, and carbon
18 emissions reduction requirements of HB 951.

19 The Companies emphasize that we are not requesting that the Commission to select
20 these long-lead time resources for inclusion in the Carbon Plan now. Rather, the
21 Companies are only requesting Commission approval of the decision to incur the costs
22 associated with the near-term development activities for these three resources. This
23 near-term development activity will allow the Companies to take additional critical
24 steps towards initial development work, refining the cost estimates and timelines and
25 then to present such information to the Commission in the biennial 2024 Carbon Plan
26 update or a future Carbon Plan update proceeding. This concludes the summary of this
27 Panel's direct testimony.

1 MS. LINK: And the panel is now
2 available for questions from the parties and the
3 Commission on the direct testimony.

4 CHAIR MITCHELL: All right. Avangrid,
5 you're up.

6 CROSS EXAMINATION BY MR. SMITH:

7 Q. Good morning. My name is Ben Smith. I
8 representative Avangrid Renewables, LLC in this docket.
9 My client's interest in this docket are relatively
10 limited to offshore wind development for the Carbon
11 Plan, so my questions will mostly be focused there.
12 That being said, some of these questions will be a
13 little bit broader in scope, but relative to your
14 direct testimony.

15 I'd like to start with some background
16 questions, and anyone of the four of you I think could
17 answer this.

18 How many people does Duke Energy Progress
19 have working full-time on offshore wind development at
20 this time?

21 MS. LINK: Your Honor, I'm gonna object.
22 I'm not sure what the relevance of the number of
23 people of one Company working on offshore wind
24 development is.

Page 131

1 MR. SMITH: I think it's relevant to the
2 extent that they're asking for near-term action
3 plans to the long-lead development including
4 offshore wind to talk about where their status is
5 right now.

6 CHAIR MITCHELL: All right. I'll
7 overrule. I'll allow the question, and do your
8 best to answer it.

9 THE WITNESS: (Regis Repko) There is a
10 team within our commercial affiliate working on
11 that. I do not know the exact numbers. I also
12 know that they are, you know, engaging industry
13 expertise with the development activities they're
14 progressing after the acquisition of the lease
15 area.

16 Q. And the commercial affiliate, is that Duke
17 Energy Renewables?

18 A. Duke Energy Renewables Wind, LLC.

19 Q. Okay. And so just to be clear, within the
20 two Duke regulated utilities that presented the Carbon
21 Plan, you're not aware of any offshore wind development
22 personnel that are currently employed?

23 A. Not direct development personnel, in the
24 energy area at least, correct.

Page 132

1 Q. And taking that to the question of permitting
2 BOEM permitting, getting SAP, getting COPs, does -- did
3 Duke regulated entities have personnel who are
4 currently employed to do that permitting work?

5 A. That permitting work is being pursued per our
6 commercial affiliate.

7 Q. Okay. So Duke Energy Renewables --

8 A. Wind, LLC, correct.

9 Q. -- Wind, LLC.

10 And how many projects has Duke successfully
11 permitted in federal waters at this point?

12 A. We have not pursued permitting any projects
13 in federal waters at this point.

14 Q. And talking to the four of you in this panel,
15 do any of y'all have a background in offshore wind
16 development?

17 A. None of the four of us on this panel do, but
18 personnel within our commercial affiliate, Duke Energy
19 Renewables Wind, does.

20 Q. Thank you. All right. I'm gonna move on to
21 some questions about permitting, and specific to parts
22 of the direct testimony. And, Mr. Pompee, I'm gonna
23 speak to you first, and probably mostly. Moving to
24 page 47 of your direct testimony. Just let me know

1 when you're there.

2 A. (Clift Pompee) I'm there.

3 Q. Okay. You respond to the question, "What are
4 the near-term activities and costs associated with the
5 development activities for offshore wind?" And over
6 the next few pages, you request approval to prepare a
7 site assessment plan, or an SAP, and a construction and
8 operations plan, or a COP, for an offshore wind
9 resource, which you also request in the Carbon Plan.

10 Can you confirm that the Bureau of Ocean
11 Management [sic], or BOEM, requires these actions of
12 any offshore renewable energy leaseholder?

13 A. I can confirm that.

14 Q. Thanks. And apologies, I'm having a little
15 bit of trouble hearing you, if you wouldn't mind
16 speaking a little bit into the mic.

17 MS. LINK: If you move the mic closer,
18 Mr. Pompee.

19 THE WITNESS: Okay. Is that better?

20 Q. That's better, thank you.

21 A. Yeah, I can confirm that.

22 Q. Thank you. And is it your understanding in
23 your work that nonregulated utility developers
24 regularly execute this type of offshore wind permitting

1 work?

2 A. I'm aware that, yeah, this work has been
3 executed in the U.S., yes.

4 Q. And so since these permitting actions are
5 required of any offshore renewable energy leaseholder,
6 can you please explain why it's necessary for Duke
7 regulated to assume ownership of a lease area in order
8 to perform those actions? Or I think you're saying --
9 actually, I'm gonna restate that question based on your
10 earlier answer from Mr. Repko.

11 Y'all are saying that the -- your affiliate,
12 Duke Energy Renewables Wind, will be taking the
13 permitting work on?

14 A. (Regis Repko) They are progressing with that
15 at the current time. I do not know at the rate of
16 which that's progressing.

17 Q. Sure. Part of the testimony sort of
18 indicated that there were four steps that had to happen
19 to, sort of, move through offshore wind. I think it
20 was four. And number one -- it was listed in order of
21 number one, there's a conveyance that had to happen,
22 and then you would move forward with these different
23 permitting activities.

24 Is it fair to say that when you were

Page 135

1 describing those four, you might not have meant them in
2 that order, and it was just generally four things that
3 had to happen? And I can find the reference point, but
4 I'm just trying to short-circuit a lot of these
5 questions.

6 MS. LINK: Chair Mitchell, I think it
7 would be helpful if he could point the witnesses to
8 the testimony.

9 MR. SMITH: Will do. Just give me one
10 second.

11 (Pause.)

12 Q. All right. I think I found it. Page 11 to
13 page 12. And I believe this is Mr. Repko's testimony,
14 but apologies if I'm off on that. Okay.

15 Reading from page -- from line 22, "The
16 primary near-term development activities for offshore
17 wind are as follows. Number 1, secure an ownership
18 interest in a lease for a wind energy area where the
19 offshore wind resource will be located; number 2,
20 initiate and develop permitting activities which will
21 consist of, A, developing and submitting an SAP and
22 beginning to engage with stakeholders, B, developing a
23 COP, and C, initiating an interconnection study
24 process; and 3, obtaining approval of an SAP from the

1 Bureau of Ocean Energy Management."

2 Does that a fair -- did I recite your
3 testimony accurately?

4 A. You did.

5 Q. Okay. And so I guess what I'm asking is, it
6 sounds like number 2 is occurring right now on your
7 list prior to number 1.

8 A. Number 2, the development around really the
9 SAP is progressing at some rate within our commercial
10 affiliate, the rate at which I'm not certain.

11 Q. Okay. But is it Duke -- and I'm talking
12 about Duke regulated, is it your position that you must
13 secure an interest in a wind energy -- wind energy area
14 prior to these permitting activities to be completed?

15 A. Yes. The acquisition for the Companies to
16 secure a wind energy area lease is essential to make
17 sure that those development activities progress at the
18 rate necessary to make offshore wind an option to the
19 Commission for selection as part of the Carbon Plan.

20 Q. All right. Thank you. When you talk about
21 to make sure that offshore wind is an option to the
22 Carbon Plan, could you explain, in what way would it --
23 how could it progress where it wouldn't be an option?

24 A. It would progress at the point where the

1 development and subsequent activities would make it
2 viable in the time frame that the Commission selects to
3 meet the goals of the House Bill 951.

4 Q. Understood. So I'm gonna move on, and I
5 might come back. I'd like to talk a little about the
6 lease areas. And, Mr. Pompee, this might be you, but
7 it could be anyone.

8 How many wind turbine positions could be
9 located within the Duke Energy Renewables own Carolina
10 Long Bay lease area?

11 A. (Clift Pompee) I'm sorry, can you clarify
12 what you mean by wind turbine positions?

13 Q. How many wind turbines, the large sort of
14 fan-looking things that spin and produce energy.

15 A. Yes. So that number is variable, and it's
16 based on technology development. So you have to look
17 at what's available today and what's gonna be available
18 in the coming years. So, you know, it could be
19 anywhere from something in the 60s to something in the
20 90s. And you have to do the work to determine your
21 wind profile such that you can determine how best to
22 maximize a wind energy area.

23 Q. Thank you. And can you talk a little bit
24 more about what work has been done by Duke regulated to

1 get that profile?

2 A. The Duke regulated group, we looked at
3 high-level potential layouts for the area prior to the
4 lease execution, but the work to get to any actionable
5 level has to happen from here going forward. And
6 that's really what we're asking for. As, you know,
7 Mr. Repko mentioned, to maintain the timeline for
8 availability of wind to be selected if the Commission
9 selects offshore wind.

10 A. (Regis Repko) It is a key point that we have
11 verified, that the lease area of Carolina Long Bay that
12 was acquired by our commercial affiliate can meet all
13 of the needs in terms of the capacity, the generation
14 that has been modeled thus far in the Carbon Plan.

15 Q. Thank you. And how many of those -- you
16 spoke about 60 to 90 and spoke about doing some of the
17 development.

18 How many of the wind turbine positions in the
19 Duke Energy Renewables Wind-owned Carolina Long Bay
20 lease area are at risk of being lost due to the
21 24-nautical-mile viewshed buffer that's currently being
22 requested by various North Carolina delegates?

23 A. (Clift Pompee) Yeah. That's an interesting
24 question, because the number is not so much dependent

1 on the 24 nautical miles, it's really dependent on the
2 stakeholder work that has to happen to really determine
3 what the best positioning is from a viewshed
4 perspective. The 24-nautical-mile number is based off
5 of a static understanding of what was presented in
6 other projects, and it's really more dynamic than that.

7 There's work that has to be done to determine
8 what the viewshed is, and that's when you would look at
9 how many wind turbines would be put out there as well
10 as how to best meet the output requirements.

11 Q. So is it fair to characterize your testimony
12 that Duke is seeking to have a static 24-nautical-mile
13 viewshed buffer changed to reflect a more dynamic model
14 that you see for your project?

15 A. No, that is not fair. I think what I was
16 alluding to is that Duke Energy would continue to do
17 the work, as we have always done, to work with our
18 stakeholders to ensure that we meet their needs. And
19 that 24 nautical miles is just a number. The real work
20 has to be to ensure that the communities that we serve
21 are heard and that we meet their needs and their
22 concerns.

23 Q. And what stakeholder activities are currently
24 ongoing related to the 24-nautical-mile viewshed

1 buffer?

2 A. I'm not aware of the specifics that are
3 currently occurring with the Duke Energy Renewables
4 Wind.

5 A. (Regis Repko) Again, there's a couple key
6 aspects to keep in mind. So opposition relative to
7 offshore wind projects is common. The Vineyard Wind
8 project by Avangrid Renewables had opposition as well.
9 And again, through a stakeholder process, you work to
10 reconcile that through a number of different ways.

11 The second point is that BOEM, in the initial
12 input before the auction over the Carolina Long Bay,
13 recognized the stakeholder input around the viewshed
14 concerns and extended that out to 18 nautical miles.

15 A. (Clift Pompee) Right. They had to go
16 20 miles.

17 A. (Regis Repko) And then the third point I
18 would bring up, it's relevant around the Carolina and
19 Long Bay lease, is that it's a triangle shape. And our
20 commercial affiliate sought that lease very
21 purposefully, that any extension of exclusion area to
22 account for viewshed would result in a minimal loss or
23 a lower loss of the number of turbines.

24 Q. Let's talk about that point, then.

Page 141

1 CHAIR MITCHELL: All right. Mr. Smith,
2 let's break. Let's stop now. We're gonna take our
3 morning break. Let's go off the record and come
4 back in at 11:15.

5 (At this time, a recess was taken from
6 11:00 a.m. to 11:17 a.m.)

7 CHAIR MITCHELL: All right. Let's go
8 back on the record, please. Go ahead, Mr. Smith.

9 MR. SMITH: Thank you.

10 Q. I'm actually gonna go back. I was able to
11 review my notes. I'd like to go back to permitting for
12 just a minute and then go back to the viewshed buffer.

13 Are you-all familiar with the BOEM
14 requirements for SAP and COP permitting?

15 A. (Regis Repko) Yes. Those are prescribed in
16 the Code of Federal Regulations.

17 Q. And within those requirements, regardless of
18 a conveyance to Duke regulated, Duke Energy Renewables
19 Wind is required to complete an SAP and a COP within
20 certainly time frames, otherwise they risk forfeiture
21 of the lease, correct?

22 A. There are time frames prescribed under the
23 BOEM process and per the Code of Federal Regulations.
24 BOEM does have discretion to extend those time frames,

1 and they have done that for projects.

2 Q. Okay. And those time frames, is it your
3 understanding that it's -- SAP must be submitted within
4 a year of the lease acquisition, and a COP must be done
5 within five years of the SAP; is that your
6 understanding?

7 A. That is correct. And again, BOEM does have
8 discretion and has granted extensions to those time
9 frames.

10 Q. I'm gonna move on back to the viewshed risk.
11 All right. So before we took our break, you had
12 mentioned that the Carolina Long Bay lease area is
13 triangular shaped. And I'm not gonna restate what you
14 testified to, but I'm gonna ask, sort of, about if the
15 24-mile static nautical -- sorry, excuse me --
16 24-nautical-mile static viewshed buffer is, sort of,
17 held up and sort of required for the Carolina Long Bay
18 lease area, Duke Energy Renewable Wind Carolina Long
19 Bay lease area, do you know -- did you say if you know
20 how many turbines would be lost?

21 A. So I did not say. So a couple key points.
22 So the 24-nautical-mile exclusion area is not required
23 and not enforceable because it's out in international
24 waters beyond the 3-mile time frame for state

1 jurisdiction. However, it will be our intention to
2 develop any offshore wind project commensurate to the
3 communities that we serve and through a stakeholder
4 process.

5 Q. So just so I have this clear, if you are
6 following through with that static 24-nautical-mile
7 viewshed buffer, do you know how many -- how that would
8 affect the Duke Energy Renewable Wind Carolina Long Bay
9 lease area and the amount of turbines it might have?

10 A. I do not.

11 A. (Clift Pompee) I'm not aware of a particular
12 number, but I will say, and, you know, to reiterate or
13 to back-up what Mr. Repko mentioned, beyond that, you
14 know, he did mention the shape, right? The -- any loss
15 of area is minimized because of the shape of the wind
16 energy area as well as -- you know, these things are
17 dynamic, and there are various ways that you can set up
18 the wind turbines, different wind turbine sizes to
19 optimize the energy that you get out of the wind energy
20 area.

21 So, you know, we seem to be stuck on the
22 nautical mile buffer, but I don't think that's the full
23 story of how you optimize a wind energy area.

24 Q. I agree. Are you aware of any current

1 North Carolina delegate protests to the Kitty Hawk
2 lease area?

3 A. I am not.

4 Q. And is it your understanding that the Kitty
5 Hawk -- the Kitty Hawk wind lease area falls outside of
6 the 24-nautical-mile viewshed buffer?

7 A. It is.

8 Q. Okay. So let's say half of the turbine
9 positions were lost to viewshed risk, and the maximum
10 project capacity in the zone was less than even one
11 right size HVDC project.

12 Would you still consider that to be a prudent
13 investment on behalf of ratepayers?

14 MS. LINK: Objection. Chair Mitchell,
15 this hypothetical assumes many different facts that
16 really have no bearing on -- there's nothing in the
17 record that would yield that these are reasonable
18 facts for a hypothetical.

19 MR. SMITH: I can move on.

20 CHAIR MITCHELL: Okay.

21 Q. I want to go to page 42 of your direct
22 testimony. There's a statement that says, "The
23 relatively high" -- excuse me -- "high-capacity factors
24 and lower intermittency for offshore wind," and I'll

1 cut it off there, because that's where these questions
2 go to.

3 Can you explain the relevance of net capacity
4 factor when assessing a generation asset, and in
5 particular, an offshore wind asset?

6 A. Sure. So in my statement where I say
7 relatively high-capacity factor and lower
8 intermittency, I go on to talk a little bit more about
9 how offshore wind really complements solar. And in the
10 Carbon Plan, there's a high level of solar that is
11 being proposed, and offshore wind very well complements
12 that. On the capacity factor side, the higher the
13 capacity factor, the more energy you can get out of a
14 wind energy area.

15 Q. And do you know the relative net capacity
16 factors profiled for the Duke Energy Renewable Wind's
17 Carolina Long Bay area and the Kitty Hawk lease areas?

18 A. I do not, and I'll elaborate on why I don't.
19 Specifically, the work that we're proposing to be done
20 as part of the SAP involves meteorological work and
21 assessment work that would further refine the Carolina
22 Long Bay wind energy area that would give us the
23 information to be able to say definitively what the net
24 capacity factors are.

1 Any numbers that are out there currently on
2 net capacity factor are based off of available wind
3 data that is outside of the wind energy area, so
4 they're subject to refinement, and that's really what
5 we're asking for.

6 Q. I want to clarify. You, I think -- and
7 correct me if I'm wrong, did you just say that any
8 numbers that are out there are outside the wind energy
9 areas?

10 A. To my knowledge to date, there have not been
11 any meteorological wind studies that have been done
12 inside the wind energy area. Any potential net
13 capacity factors are based off of wind data from towers
14 that are outside the of Carolina Long Bay wind energy
15 area.

16 Q. Okay. And getting back to NCF a little bit,
17 NCF is net capacity factor. Sorry, I know, it'll be
18 death by acronym.

19 Would you agree the most important input to
20 determining an offshore wind facility's NCF is its wind
21 speed?

22 A. No, I would disagree. I think wind speed is
23 one aspect of net capacity factor. Another important
24 aspect is the layout of the site, how you choose to put

1 wind turbines. And another one is, when you get into
2 engineering, you select a wind turbine that is
3 optimized for the particular wind speed.

4 Q. Thank you. And I think you've answered this
5 question, but -- so apologies, and any objection.

6 But have you had a meteorologist provide a
7 report on the wind speeds and NCFs of the Carolina Long
8 Bay or the Kitty Hawk lease areas?

9 A. No, we have not. And again, I'll reiterate,
10 I think the long-lead work that we're asking for
11 approval to undertake is specifically so we can get to
12 that level of detail and be able to, you know,
13 ascertain what those net capacity factors would be.

14 Q. Thank you. And have you looked at the
15 publicly available data resources, such as NREL or
16 Energy.gov, at the wind speed in the -- in the Duke
17 Energy Renewable Wind's Carolina Long Bay lease area
18 and in the Kitty Hawk lease Area?

19 A. Yes, we have.

20 Q. And how do they compare?

21 A. The Kitty Hawk parcel has a higher wind than
22 Carolina Long Bay, and so would expect a bit of a
23 higher capacity factor.

24 Q. So it's fair to say that publicly available

1 third-party data suggests that the Carolina Long Bay
2 lease area has a material lower wind speed than the
3 Kitty Hawk lease area, and so Kitty Hawk is very likely
4 to have a materially better NCF?

5 MS. LINK: Objection that the question
6 is vague. "Material" is not defined.

7 MR. SMITH: I will restate without the
8 word "materially."

9 Q. Is it fair to say that --

10 CHAIR MITCHELL: Mr. Smith, let me rule
11 on the objection. I'm gonna sustain the objection.
12 Restate it, and also do your best to avoid a
13 compound question.

14 Q. Is it fair to say that, based on publicly
15 available third-party data, that the Carolina Long Bay
16 lease areas have materially lower wind speeds than the
17 Kitty Hawk lease areas?

18 MS. LINK: Renew my objection, Chair
19 Mitchell.

20 CHAIR MITCHELL: All right. And I'll
21 sustain it. Mr. Smith, ask it in a different way,
22 if you can.

23 MR. SMITH: Sure. I restated something
24 that I shouldn't have.

Page 149

1 Q. Mr. Pompee, is it fair to say the Carolina
2 Long Bay lease area has profiled in publicly available
3 third-party studies lower wind speeds than the Kitty
4 Hawk lease area?

5 A. It is fair to say that. That is available
6 data, and I believe, you know, we're talking about the
7 net capacity factor. And I'll just remind you,
8 Mr. Smith, that, you know, there's more than just a
9 particular wind speed that goes into the net capacity
10 factor, although it is an important piece. The actual
11 number, right, the number, the actual net capacity
12 factor is not knowable at this point because the work
13 hadn't been done.

14 Q. But based on publicly available third-party
15 data, Kitty Hawk is likely to have a better NCF than
16 Carolina Long Bay lease area?

17 A. That is correct. And I think the -- the
18 quantifiable number is unknowable, how much better.

19 Q. Has Duke regulated done any -- actually,
20 scratch that. I'm gonna move on.

21 Has Duke made their own estimation of
22 equivalent CAPEX value to reflect materially different
23 net capacity factors between lease areas?

24 A. Yes. I believe we looked at that.

Page 150

1 Q. And can you tell me what the conclusions are
2 with regard to CAPEX comparisons between Kitty Hawk and
3 Carolina Long Bay?

4 A. Without getting into the specific numbers, I
5 don't have on the top of my head, I think what we
6 established was -- you know, as I mentioned, there are
7 very many factors that go into one of these projects.
8 We felt that, on a CAPEX perspective, the lower net
9 capacity factors were offset by the shorter
10 transmission distances from a CAPEX perspective,
11 Carolina Long Bay to Kitty Hawk.

12 Q. And to your point about the important factors
13 in considering net capacity factor, including design,
14 it's fair to say that all developers could design their
15 lease areas in the optimal manner, correct?

16 A. Absolutely.

17 Q. I'm gonna move on to page 49 of your direct
18 testimony. Are you there?

19 A. Yes.

20 Q. There's a table of cost estimates at the
21 bottom of page 49; do you see that?

22 A. I do.

23 Q. Referring to the table, how did Duke estimate
24 the \$62 million figure for development expenses?

1 A. So we looked at what type of work would be
2 required in the next couple of years, and we gave it a
3 high-level estimate as to what would be required to be
4 done in the next couple of years to get the development
5 of the Carolina Long Bay lease area to a point where we
6 felt like we could come back to the Commission with
7 better, more refined information.

8 Q. So would you expect a similar projection of
9 development costs to apply to either of the other two
10 lease areas?

11 A. So this is just based off of our estimate. I
12 wouldn't venture to say what other entities are
13 spending to develop their lease areas.

14 Q. Sure. But it's Duke's position that this
15 development cost is specific to Duke Energy Renewable
16 Wind's Carolina Long Bay lease area?

17 A. No. These are our estimates on the
18 regulated. We don't know what Duke Energy Renewables
19 Wind has allocated or what their estimates are to
20 perform this work.

21 Q. I'm sorry, I might have misstated the
22 question.

23 I guess I'm asking, is this \$62 million
24 figure specific to the Duke Energy wind -- Renewable

1 Wind Carolina Long Bay lease area?

2 A. Yes. Specifically, we're talking about the
3 work to get the lease from -- to get the wind energy
4 are from lease to SAP.

5 Q. Okay. Thank you. All else being equal --
6 actually, scratch that.

7 In terms of making decisions about near-term
8 development for long lead, would you agree that a lease
9 area with similar development, capital and operational
10 cost with a better wind speed would deliver more value
11 to ratepayers?

12 A. I would disagree. As I mentioned a few
13 minutes ago, there are lots of factors that determine
14 what the value is going to be. I think there's --
15 obviously total CAPEX is part of that. And if you look
16 at the two lease areas, there are significant
17 differences that would go into the CAPEX.

18 And I think we would, again, say that the net
19 capacity factor is offset by the longer transmission
20 line going from the facility to the point of
21 interconnection.

22 Q. Okay. Thank you.

23 A. (Regis Repko) I would also add that the
24 criteria for House Bill 951 is not the lowest cost per

Page 153

1 any single resource, it's the lowest cost path. So you
2 can actually have just the necessary component of
3 offshore wind to meet the desired decarbonization goal
4 and time frame. It might be slightly higher in cost,
5 but still contribute to have an overall lower cost path
6 than a fully larger developed project.

7 Q. Thank you, Mr. Repko. I'm gonna move on to
8 page 47 of your testimony. If you could turn there,
9 please.

10 A. (Witness complies.)

11 (Clift Pompee) I'm there.

12 Q. On page 47, you say, "Assuming the Commission
13 agreed that it is prudent and reasonable to pursue
14 further offshore wind development activities, the
15 Companies would seek affiliate approval from the
16 Commission to transfer the Carolina Long Bay lease area
17 from Duke Energy Renewables Wind, LLC."

18 I was hoping you could take me through, what
19 does that conveyance look like from a regulatory
20 perspective?

21 A. So I'm gonna go ahead and defer this question
22 to Mr. Repko who I think is better equipped to answer.

23 MS. LINK: And I'll just note, Chair
24 Mitchel, that this may get into also a legal

1 response in terms of what an actual affiliate
2 transfer application looks like. So to the extent
3 Mr. Repko can answer it, he will, but there's also
4 a legal component to it.

5 MR. SMITH: I am only asking about
6 regulatory actions that Duke regulated would need
7 to make.

8 CHAIR MITCHELL: All right. Proceed
9 with the question.

10 Q. Would you like me to restate?

11 A. (Regis Repko) Please.

12 Q. On page 47, it says, "Assuming the Commission
13 agreed that it is prudent and reasonable to pursue
14 further offshore wind development activities, the
15 Companies would seek affiliate approval from the
16 Commission to transfer the Carolina Long Bay lease from
17 Duke Energy Renewables Wind, LLC."

18 Can you take me through what regulatory
19 activities Duke regulated would have to do for that
20 conveyance?

21 A. Yes. As I understand it, it's an affiliate
22 transfer, right, so it is a legal transaction between
23 the two -- between our commercial affiliate and the
24 Companies, or the Company, DEP; and then it would be a

1 subsequent acceptance of that affiliate transfer by the
2 Commission.

3 Q. And what other -- actually, scratch that.

4 Would there be any other requirements, from a
5 regulatory perspective, beyond the affiliate
6 transaction review by the Commission for Duke to move
7 forward with the Duke Energy Renewable Wind's Carolina
8 Long Bay lease area wind development?

9 A. I believe that transfer would also have to be
10 filed and recognized by BOEM.

11 Q. But is there any sort of further
12 certification that would have to be done at the
13 North Carolina Utilities Commission, like a CPCN
14 filing, a CEPCN?

15 A. Not that I'm aware of for the affiliate
16 transfer.

17 Q. Actually, I was talking about the development
18 of Carolina Long Bay.

19 What would have to be done for moving forward
20 with that development?

21 A. So what we're asking for in this proceeding
22 is a decision to incur the cost associated with the
23 development of the three long-lead items, offshore wind
24 being one of them. So we're really looking for a

Page 156

1 decision direction by the Commission that they want
2 offshore wind to be considered as an option and
3 developed to that extent to make it available as an
4 option. And we have those -- we provided a view of
5 what those development activities look like and an
6 approximate cost for that.

7 So in terms of the actual cost incurred and
8 recovery of that, we would be looking for a separate
9 proceeding, whether that be another Carbon Plan or rate
10 case or anything of that nature, that we would be
11 required to demonstrate the reasonableness and prudence
12 of those costs associated for the development of those
13 resources.

14 Q. Okay. Thank you. I'm gonna move on to
15 timing.

16 Are you familiar with HB 951's requirement
17 that Commission take all reasonable steps to reach a
18 70 percent carbon reduction goal by 2030?

19 A. Yes.

20 Q. In your testimony, at the bottom of page 43,
21 you reference the Dominion CVOW project. Let me know
22 when you're there.

23 A. (Witness peruses document.)

24 There.

1 Q. The CVOW project was inquired [sic] in 2013
2 and hopeful to achieve a 2026 COD, which is a 13-year
3 development timeline; is that correct?

4 A. Correct.

5 Q. And in your testimony, on the same page, you
6 reference an 8- to 10-year minimum timeline to achieve
7 COD from lease acquisition; isn't that right?

8 A. That is correct.

9 Q. Is it your understanding that the Kitty Hawk
10 lease area was purchased at lease auction in 2017?

11 A. (Clift Pompee) Yes. So this was my
12 testimony. I am familiar with that.

13 Q. Okay. And, Mr. Pompee, is it your
14 understanding that Kitty Hawk has been developed ever
15 since, including achieving both SAP and COP submissions
16 as well as significant engineering studies, same
17 studies which you call out on page 55 of your testimony
18 as important derisking agents?

19 A. It is my understanding that Avangrid
20 Renewables has submitted a SAP that was accepted, and
21 has also submitted a construction operation plan, a
22 COP, that has not yet been approved.

23 Q. And the Carolina Long Bay lease area was only
24 purchased this past May and has had significantly less

1 time than Avangrid Renewables has had to do the
2 permitting work that you just referenced?

3 MS. LINK: Objection. Using the word
4 "significant," again, it's vague, it's not defined.

5 Q. Would you agree that --

6 CHAIR MITCHELL: Let me rule.

7 MR. SMITH: Excuse me.

8 CHAIR MITCHELL: That's okay. Let me
9 rule. Do you have a response to the objection that
10 you'd like me to hear?

11 MR. SMITH: I can restate the question
12 differently.

13 CHAIR MITCHELL: All right. So I'll
14 sustain the objection. Please restate the
15 question.

16 Q. Would you agree that Duke Energy Renewables
17 Wind has had less time to do their SAP and COP
18 permitting work than Avangrid Renewables has had for
19 Kitty Hawk?

20 A. Yes, I would agree to that. And I would also
21 state that, you know, the timeline as laid out in my
22 testimony, still stands at 8 to 10 years.

23 Q. And moving to page 50 of your testimony. You
24 make a statement that -- are you there?

Page 159

1 A. Yes. Can you also refer me to the line,
2 because it's hard for me to follow?

3 Q. Sure. Lines 19 to 20.

4 A. Yes.

5 Q. You state that to try and -- or am I
6 characterizing your testimony correctly to say that
7 you -- to try and construct a project out of the Duke
8 Energy Renewable Wind lease ready -- area to be ready
9 to deliver power by 2030 could present significant
10 financial risk for the Companies and its customers?

11 A. Yes, that is what I stated. And, you know,
12 in my testimony I stated that, you know, the earliest
13 time frame that we would expect Carolina Long Bay to
14 have commercial operations is by year-end 2030 based on
15 an 8- to 10-year development cycle. There are
16 significant risks with that, in terms of procurements
17 prior to getting final BOEM COP approvals. So yes,
18 that is --

19 Q. So given all of what you just said and the
20 2030 deadline we just discussed, how do you respond to
21 the concern that the Duke Energy Renewables Wind lease
22 area is not the best suited option to achieve HB 951's
23 required timeline?

24 A. I think they're --

Page 160

1 MS. LINK: I would object. The 2030 is
2 not -- the characterization that it's a deadline.
3 It's an interim target in the statute.

4 CHAIR MITCHELL: All right. Mr. Smith?

5 MR. SMITH: We've taken the position
6 that the 2030 is a deadline. So I guess I would
7 ask -- I guess I could, you know, submit that it's
8 a legal argument, but I wouldn't mind restating the
9 question under -- within the guidelines that --

10 CHAIR MITCHELL: All right. So I'll
11 sustain the objection. Restate your question.

12 Q. So restating it. Apologies if this gets a
13 little marble-mouthed.

14 How do you respond to the concern that
15 Duke -- that the Duke Energy Renewable Wind's lease
16 area is not the best-suited option to achieve the 2030
17 70 percent reduction?

18 A. (Regis Repko) If I may, I will answer that.
19 We acknowledge in the Carbon Plan, Appendix J for wind,
20 that, if the 2030 date is the date that the Commission
21 chooses, that a parcel that is further along in
22 development would be the most likely course of action.
23 That is the Kitty Hawk parcel.

24 However, beyond that, any extension beyond

Page 161

1 that, 2032 or beyond, allows for options, including
2 Carolina Long Bay, that can be developed in both time
3 frame and scale at the Commissioner -- at the
4 Commission's choosing by the Companies.

5 Q. Thank you. Okay. Moving to some
6 cost-effective question -- cost-effectiveness
7 questions.

8 Would you agree that, compared to solar and
9 other fuel resources -- and this could be for either
10 Mr. Repko or Mr. Pompee -- offshore wind is a time- and
11 capital-intensive asset class?

12 A. (Clift Pompee) Yes.

13 Q. Has Duke Commissioned any third-party studies
14 to ensure that your near-term action to acquire
15 Carolina Long Bay from Duke Energy Renewables Wind is
16 the most cost-effective solution for ratepayers?

17 A. (Regis Repko) Again, I will go back to our
18 modeling, in terms of the amount of offshore wind
19 within our models. So we have very deliberate portions
20 of offshore wind that is included throughout our
21 modeling portfolios that contribute. And we've shown
22 the cost of each, in terms of how that contributes.

23 Again, I'll make the point that the criteria
24 of House Bill 951 is not the lowest cost of a wind

Page 162

1 project or a solar, it is the least-cost path, the cost
2 of the overall portfolio to achieve the carbon
3 reduction goals.

4 Q. I don't think anyone would disagree with
5 that.

6 So if you haven't done any further studies
7 beyond modeling, and correct me if you have, can you
8 explain to me why acquiring a lease made later in time
9 for an offshore wind lease area without permitting it
10 and potentially worse project fundamentals is a good
11 deal for North Carolina ratepayers?

12 MS. LINK: Objection. It's a compound
13 question. There's multiple facts that are not in
14 evidence.

15 MR. SMITH: Well, I disagree. We've
16 established that the offshore wind lease area is --
17 was made -- was acquired later in time. The
18 permitting has not been completed. And we've
19 talked about project fundamentals, we can have a
20 disagreement about whether good or bad on wind
21 factor and whether to rely on NREL and Energy.gov
22 wind speed characterizations. But I do think that
23 it relied upon facts that are before the
24 Commission.

1 MS. LINK: And the Kitty Hawk permitting
2 is not completed either.

3 MR. SMITH: Kitty Hawk's witnesses will
4 have the opportunity to testify as to the state
5 of -- the status of the Kitty Hawk wind lease
6 areas' permitting.

7 CHAIR MITCHELL: Let's do this. I'm
8 gonna overrule the objection, but I'm gonna direct
9 you to break your question up so that you don't
10 have compound question. State it clearly so the
11 witness understands what you're asking and he can
12 answer, and we'll give the response the weight it's
13 due.

14 Q. Can we agree that the Carolina Long Bay lease
15 area was acquired in a BOEM auction later in time than
16 the Kitty Hawk?

17 A. (Clift Pompee) Yes.

18 Q. And can we agree that the Carolina Long Bay
19 wind lease area permitting, as far as you know, has not
20 been completed?

21 A. Yes, I can agree to that.

22 Q. And can we agree that wind speed factors
23 contained and published by NREL and Energy.gov show
24 higher wind speeds for the Kitty Hawk wind lease area

1 than the Carolina Long Bay lease areas?

2 A. Yes. And I will add again, because I believe
3 I addressed this earlier, that the wind speed is only a
4 factor. And specifically, there's one other factor
5 that negates the wind speed differences between the two
6 areas.

7 Q. And what is that other factor?

8 A. It's the capital cost of the longer export
9 cable from the offshore wind farm to the point of
10 interconnection.

11 Q. And can you characterize the difference in
12 cost between the two?

13 A. I can. So in Avangrid's direct testimony,
14 they actually had an arithmetic error. The
15 characterization was each percent of net capacity
16 factor represented \$50 million in CAPEX, which I'm not
17 disputing. I think that's close to our numbers. The
18 testimony stated that Kitty Hawk net capacity factor
19 was 43 percent versus Carolina Long Bay's 36 percent.

20 As I stated earlier, that's not something
21 that's knowable right now because the work hasn't been
22 done for the 36 percent. But even if we accept that,
23 that represents a 7 percent difference in net capacity
24 factor at \$50 million dollars per percent of net

1 capacity factor. And that's directly in Avangrid's
2 testimony. They stated that the difference in CAPEX is
3 \$850 million. The arithmetic doesn't work. It's
4 \$350 million.

5 The export cable from Kitty Hawk to the point
6 of interconnection, which you heard from witness
7 Roberts is New Bern, at least the way we see it in
8 terms of least-cost path, has the Kitty Hawk export
9 cable at roughly twice the length of Carolina Long Bay.
10 You would have to use a high-voltage DC, which works
11 out to roughly \$340-ish million of additional CAPEX for
12 the double-length high-voltage DC export cable.

13 Q. So without conceding any of Kitty Hawk's
14 points they made in their testimony, am I understanding
15 you to say that there is still a delta between the cost
16 associated between the potential value of the Kitty
17 Hawk lease area versus the cost of what you claim is
18 the longer interconnection cost process?

19 A. No, I don't see a cost delta. What I see is
20 high-level estimates that are roughly within, you know,
21 margins of error around \$350 million in terms of
22 offset.

23 Q. So \$350 million, \$340 million, give or take a
24 few million bucks?

1 A. So I think that, you know, at this point we
2 are not looking at, you know, estimates that are
3 project specific. We're looking at high-level
4 estimates. \$350 million could easily be 328. 338
5 could easily be 360, right? We don't have any
6 indicative pricing. We haven't done, you know,
7 procurements to know exactly.

8 These are just estimates based off of GIS
9 data of what the cable lengths could be, and based off
10 of public information of what these high-voltage DV
11 cables run on a per-mile basis.

12 Q. And it's your understanding -- or is it your
13 understanding that Avangrid Renewables contests Duke's
14 position on the amount of cabling that needs to be
15 done?

16 A. Yes, it is. And that was really the point of
17 my statement here, is that the -- without getting into
18 too much detail, there are lots of concerns with the
19 proposed path that Avangrid is suggesting to get to
20 their lower export cable length. Specifically going
21 through the Pamlico Sound and Neuse River. We think
22 there are significant environmental concerns associated
23 with that proposed path.

24 Q. So would it be fair to say that a third-party

Page 167

1 transparent study of the three different wind lease
2 areas might lead us to a conclusion about these
3 different things?

4 A. I don't think that's necessary because the
5 process, itself, for getting the permitting is very
6 clear, in terms of, if you're going to disturb
7 environmentally somewhere, like the Pamlico Sound that
8 has -- relies a lot on fishing, there's wildlife, that
9 you should be seeking alternatives. And only if there
10 are no alternatives would you do that. I don't think
11 we need a third-party study to tell us that you
12 would -- the alternative is to go through the Atlantic
13 Ocean.

14 Q. Okay. So given the high stakes involved for
15 ratepayers upon embarking on an offshore wind project,
16 which you've done a very good job of sort of outlining
17 some of the risks involved here, and the fact that
18 there are at least two options available to
19 North Carolina ratepayers, in terms of Kitty Hawk and
20 Carolina Long Bay, do you agree that it's imperative to
21 choose the better of the two options to serve
22 ratepayers in accordance with House Bill 951?

23 A. (Regis Repko) I'll answer that. There has
24 not been an explicit statement by Avangrid that they

1 are willing to sell the Kitty Hawk parcel. They have
2 made expressions of interest, but they have not clearly
3 stated that they are willing to sell. We don't know if
4 they would sell, we don't know at what price. We don't
5 know at what time frame, nor can they be compelled to
6 sell.

7 So if we go back to September time frame of
8 last year, BOEM began communications that they intended
9 to auction the Carolina Long Bay. It was called
10 Wilmington East then, but I'll stay with the Carolina
11 Long Bay parcel. So at that time we were aware of
12 that. In December comes legislation of House Bill 951.
13 And with that auction -- the reason BOEM was auctioning
14 the Carolina Long Bay early in this year, 2022, is
15 because there was a federal moratorium on offshore
16 energy exploration that took effect July 1st of this
17 year.

18 And what that means, or what that meant at
19 that time, there would be no opportunity for further
20 offshore wind parcels for up to 10 years. That is the
21 length of the moratorium. So with that lens, that we
22 have House Bill 951, offshore wind could potentially be
23 a component of that and not have the option, we -- and
24 the lease coming around Carolina Long Bay, the senior

1 management of the Company directed that all options for
2 a wind energy area be assessed and pursued.

3 The outcome of that evaluation, assessment,
4 and pursuit is that we participated or we had -- there
5 was direction that our commercial affiliate participate
6 in the auction for the Carolina Long Bay. The
7 commercial affiliate, Duke Energy Renewables Wind, won
8 the parcel. So there was a parcel immediately
9 available to the Company. It is available at cost.
10 That cost was demonstrated to be at market for a lower
11 price of the two in the -- in the auction that was
12 conducted by a third party.

13 So it is -- it is the clearest and most
14 straightforward path for offshore wind -- for the
15 Company to develop offshore wind to a scale and time
16 frame at the discretion of the Commission.

17 Q. Thank you, Mr. Repko.

18 At the beginning of that answer, you
19 referenced that Avangrid Renewables has not taken a
20 position that they would like to sell the Kitty Hawk
21 wind lease area; is that right?

22 A. That is correct. They have not made an
23 explicit statement in their testimony that they would
24 sell.

1 Q. Do you have the Avangrid Renewables direct
2 testimony in front of you right now?

3 A. I do not.

4 MR. SMITH: Chair, I didn't anticipate
5 that he would reference Avangrid Renewables' direct
6 testimony, so I don't have copies for the witness.
7 Can I ask questions on it subject to check?

8 MS. LINK: Can you show him one copy?

9 CHAIR MITCHELL: Do you have a copy of
10 the testimony that you can put in front of him?

11 MR. SMITH: Mr. Snowden is gonna help me
12 out.

13 CHAIR MITCHELL: Let's let his counsel
14 look at it a swell.

15 (Pause.)

16 Q. Okay. I have just handed you the direct
17 testimony of Michael Starrett and Becky Gallagher; is
18 that correct?

19 A. That's correct.

20 Q. And this testimony was made on behalf of
21 Avangrid Renewables, LLC; is that correct? You can see
22 the top of the page.

23 A. That's correct.

24 Q. Okay. I'm gonna begin reading at line 3.

Page 171

1 "Ms. Gallagher, please comment on the future
2 prospects for the Kitty Hawk lease area and whether
3 Avangrid Renewables would consider selling the Kitty
4 Hawk lease area."

5 Answer: "Avangrid Renewables is open to any
6 manner of transaction that is on reasonable terms and
7 fairly values the Kitty Hawk lease area, including PPA
8 transactions or a sale of the lease area in whole or in
9 part."

10 Do you see that testimony?

11 A. I do.

12 Q. Can you explain the delta between what this
13 testimony says and your position that Avangrid
14 Renewables says that it is not explicitly for sale?

15 A. Yes. It says it's open to manners of
16 transaction. It talks about reasonable terms, fairly
17 values. So there is nothing -- I mean, all those are
18 subjective and, you know, subject to negotiations. So
19 there is no certainty that it would sell. It also
20 includes transactions such as PPAs that are not within
21 the realm of House Bill 951 prescriptions of ownership.

22 Q. We can discuss the prescription of ownership
23 for -- I believe you said it was sited in international
24 waters, offshore wind at a different time. But I want

1 to focus on sort of what you're saying with regard to
2 open any manner of transaction that is on reasonable
3 terms.

4 Is it your position that Avangrid Renewables
5 shouldn't be allowed to negotiate for the sale of the
6 lease area?

7 A. So our position is that, again, with that --
8 the backdrop of what transpired around the timeline of
9 House Bill 951, we pursued all options for wind energy
10 area lease. And when no other options were available
11 to us, we elected to -- we decided to participate in
12 the BOEM auction for the Carolina Long Bay wind energy
13 area to ensure that offshore wind was available for the
14 Commission's discretion for the Carbon Plan.

15 Q. Okay. So just to get back to your earlier
16 point about Kitty Hawk not explicitly being for sale.

17 Would you agree that it would be explicitly
18 for sale following a negotiation between two parties,
19 based on this testimony?

20 A. I can't say where those discussions would
21 end.

22 Q. All right. I'm gonna move on. All right.
23 Going back, and this is a -- goes to the request that's
24 made in the Carbon Plan about near-term actions to,

1 sort of, enable offshore wind.

2 Has Duke Commissioned any third parties to
3 ensure that their Near-Term Action Plan to acquire
4 Carolina Long Bay from Duke Energy Renewables Wind is
5 the most cost-effective solution for ratepayers?

6 MS. LINK: Objection. I think that's
7 been asked and answered. I think he asked that
8 about 15 minutes ago.

9 MR. SMITH: All right. I'll move on. I
10 don't recall asking that, but I'll take your word
11 for it.

12 Q. For the Carbon Plan, are there any generation
13 or ancillary service, sort of, projects that are --
14 actually, let me strike that and start that question
15 over a little more clearly.

16 Are there any generation assets in Duke's
17 Carbon Plan that are going to be subject to an RFP
18 process?

19 A. Yes.

20 Q. Can you tell me about those?

21 A. I mean, generally, you know, there are --
22 there's the exception carve-out relative to solar. But
23 even -- even -- even within the realm of the ownership
24 aspects of the utilities, we go through RFP competitive

Page 174

1 bid events for EPC services and things of that nature.
2 And we would do that with any development of an
3 offshore wind project as well. So resources expertise,
4 we would seek that out, go through a competitive bit,
5 particularly for construction and development
6 activities.

7 So really broadly across the whole generation
8 portfolio replacement, there would be competitive
9 bidding such as RFPs associated with it.

10 Q. And what about a type of build-own transfer
11 structure, anything like that? Is there anything like
12 that that's gonna happen commensurate with the Carbon
13 Plan request of Duke?

14 A. Build-own transfers are an option. As a
15 matter of fact, we have had outreach by European
16 developers of offshore wind that were interested in a
17 build-own transfer model relative to the Carolina Long
18 Bay parcel.

19 Q. And is that something that you'd be open
20 doing to any of the offshore wind lease areas off the
21 coast of North Carolina?

22 A. Again, it's our desire that it's appropriate
23 from an ease and simplicity and a time frame standpoint
24 that we develop the Carolina Long Bay parcel.

1 Q. So you're bypassing a more competitive
2 structure?

3 A. No. I'm reflecting on the history of what
4 transpired, in terms of us pursuing and evaluating
5 lease options.

6 Q. Would Duke be interested in a joint ownership
7 venture on any of the offshore wind lease areas, a
8 51/49 split or something else creative?

9 A. Our position is House Bill 951 precludes that
10 type of arrangement.

11 Q. So Duke regulated has to be the sole owner of
12 any project, including any offshore wind sited in
13 international waters?

14 A. That is our understanding of House Bill 951.

15 MR. SMITH: Okay. That's all I have.

16 CHAIR MITCHELL: All right. CCEBA?

17 MR. BURNS: Thank you, Madam Chair.

18 CROSS EXAMINATION BY MR. BURNS:

19 Q. Gentlemen, my name is John Burns. I'm the
20 general counsel of Carolina's Clean Energy Business
21 Association, which I'll refer to as CCEBA, and you'll
22 hear that a lot around here. So it's a pleasure to
23 talk to all four of you today. Most of my questions
24 will be directed to Mr. Nolan, because their directed

Page 176

1 at SMRs and new nuclear. That's the topic I intend to
2 cover today.

3 To the extent any of you other gentlemen have
4 any input, please interject, but let's only talk one at
5 a time for the benefit of the court reporter. All good
6 with that?

7 Duke anticipates that new nuclear will be an
8 indispensable part of any of its portfolios, doesn't
9 it, Mr. Nolan?

10 A. (Chris Nolan) That is correct.

11 Q. There's no portfolio in your Carbon -- in
12 Duke's Carbon Plan that gets to net zero by 2050
13 without the deployment of new nuclear technology?

14 A. That is correct.

15 Q. You go into the differences in your direct
16 testimony, but SMR and advanced reactors are not the
17 same thing in Duke's lexicon; is that right, you're
18 referring to two different things?

19 A. That is correct.

20 Q. Can you make a -- can you briefly distinguish
21 between those two?

22 MS. LINK: And, Mr. Nolan, could you
23 move closer to the mic a bit.

24 MR. BURNS: Thank you. I should have

1 said that myself.

2 Q. Go ahead.

3 A. Thank you. So small modular reactor
4 typically refers to a size that's 300 to 350 megawatts
5 or less. In the context of clarity and the testimony,
6 when we talk about SMRs, we're talking about
7 light-water reactors.

8 Q. Okay.

9 A. Advanced reactors can also be SMRs, but we
10 chose to talk about them as advanced reactors, meaning
11 they're not light-water cooled.

12 Q. Is that a consistent terminology across the
13 industry or might there be references in the -- in
14 documentation that refer to SMRs and they're actually
15 referring to things like molten salt reactors, that you
16 refer to as advanced reactors?

17 A. There could be. So there's lots of different
18 titles. There's advanced nuclear, advanced reactors,
19 advanced small modular reactors.

20 Q. Okay.

21 A. What we try to do is provide clarity and use
22 SMR for light water and advanced reactor for not light
23 water.

24 Q. Thank you. I have a few questions about SMRs

1 first, if you don't mind.

2 A. Certainly.

3 Q. How many SMR reactors are included in one
4 plant as modeled for the Carbon Plan?

5 A. So -- could you restate your -- clarify your
6 question.

7 Q. My understanding is that one of the benefits
8 of SMRs is that multiple reactors can be placed at one
9 location; inside one building, for instance, that might
10 have more than one reactor in that plant; is that
11 right?

12 A. So different designs have different
13 attributes. I appreciate the clarification. So if
14 you're talking about a new-scale reactor, all the
15 modules are in the same pool.

16 Q. Okay.

17 A. And so they can be either 50 or 77 megawatts.
18 There can be 4, 6, or 12.

19 Q. In your -- go ahead. Sorry.

20 A. If you look at the GE BWRX-300, it is a unit
21 that's 285-megawatt electric in a building, and you
22 could put multiple buildings on a site.

23 Q. And so because Duke has not identified a
24 particular technology or a particular manufacturer that

Page 179

1 it wishes to adopt as part of its future plans in
2 North Carolina, you can't tell us whether it will be
3 one 275-watt small modular reactor or, you know,
4 multiple 75-watt small modular reactors in the
5 anticipated units to be brought online in your plant?

6 A. We have not selected a technology.

7 Q. Okay. Thank you. According to Figure 6 of
8 the executive summary of the Carbon Plan -- that's on
9 page 14 of the Carbon Plan. I don't know if you have
10 that with you.

11 A. I do.

12 Q. I think -- because it's been referred to so
13 many times, I think we can refer to it, and subject to
14 check, but I -- there will be -- new nuclear will not
15 be part of any of the four portfolios proposed by Duke
16 before 2030; is that correct?

17 A. Before what date?

18 Q. 2030.

19 A. I think that's a true statement. I don't
20 know if that's in the Carbon Plan.

21 Q. Gotcha. Portfolio 3 and Portfolio 4 both
22 bring on 0.3 gigawatts, or 300 megawatts, of new
23 nuclear online by 2034.

24 Is that consistent with your recollection?

Page 180

1 A. They would be online by 2034, correct.

2 Q. All right. And about 300 megawatts would be
3 one plant?

4 A. It could be, yes.

5 Q. Okay. By 2035, is it correct that all four
6 portfolios proposed by Duke would have approximately
7 600 megawatts of new nuclear?

8 A. That is correct.

9 Q. And that can be found in figure 7 for
10 reference for the testimony and for the transcript.

11 And so based on the math you just did, 600
12 megawatts would probably be two plants.

13 A. (No response.)

14 Q. All right. To be clear, however, at least
15 one of Duke's proposed portfolios would, in fact, reach
16 70 percent reduction by 2030 in CO2 levels according to
17 Duke's own modeling; isn't that right?

18 A. That is correct.

19 Q. And it would do that without any new nuclear
20 plants online of any design?

21 A. That is correct.

22 Q. As I understand your testimony and the
23 materials presented in the Carbon Plan, Duke believes
24 that SMRs are the best option for initial investment in

1 new nuclear; is that right?

2 A. That is correct.

3 Q. Meaning the liquid -- the water reactors that
4 you referenced earlier?

5 A. I think what we're saying is light-water
6 reactors are more similar to the reactors that we
7 operate today.

8 Q. Okay. And the SMRs -- sorry, please
9 continue.

10 A. And therefore there is lower technical
11 uncertainty associated with their development and
12 deployment.

13 Q. Okay.

14 A. And so for an aggressive schedule and
15 aggressive deployment, we are recommending light-water
16 reactors.

17 Q. And in layman's terms, it's because the
18 technology is similar to what might be down at the
19 Harris plant but newer and smaller?

20 A. Correct.

21 Q. Okay. But you have not yet chosen a design
22 or a manufacturer?

23 A. That is correct.

24 Q. Okay. Is it -- is it fair to say that Duke

1 believes that SMR technology will lead to supply chain
2 for small modular reactors?

3 A. I believe, if you look at the actions of the
4 administration and the funding that DOE is providing
5 and the tax credits that are in the Inflation Reduction
6 Act, that the government is moving in that direction.
7 I think utilities are watching that. So I believe
8 we're seeing a general movement in that direction.

9 Q. And we've heard this, I think, a few times in
10 the last week and a half, that the IRA will have an
11 effect going forward on the technology being discussed.

12 Would that apply also to nuclear?

13 A. There are components that apply to both
14 nuclear in terms of production tax credit, investment
15 tax credit. And if a unit integrated storage, it could
16 potentially qualify for a storage credit as well.

17 Q. Would it -- would you agree with me that we
18 may not know the full implications of the IRA before
19 2034? Or let's see, let me rephrase that.

20 We may not know the full implications of the
21 IRA on nuclear technology before the end of 2033?
22 2023. I can't talk.

23 A. I think we're looking to see the guidance
24 that will come out from the Department of Treasury on

1 how to apply those credits to see their value and then
2 roll them in to what our cost estimates will be.

3 Q. Is one of the advantages that, if we move
4 towards this technology, as you discussed in the
5 administration's course of action, that it may lead to
6 construction of these types of small modular reactors
7 offsite and delivery to your site; is that how it would
8 work?

9 A. The idea with the small modular reactors is
10 they are standardized design; modular, which means
11 there's more offsite construction. There will be some
12 field construction, but less.

13 Q. But there's no such supply chain as of yet,
14 is there?

15 A. One has not been built; that is correct.

16 Q. There is no factory constructing module --
17 parts for modular reactors in the United States, is
18 there?

19 A. I can't make that sweeping statement.

20 Q. There is no current SMR anywhere in the world
21 that is generating power and providing it for
22 commercial operation, is there?

23 A. That is correct.

24 Q. Certainly not one in the United States?

1 A. That is correct.

2 Q. And that includes both liquid cooled, small
3 modular reactors, and the advanced reactor technology
4 that you also speak of in your testimony?

5 A. That is correct. But I would qualify that
6 statement by talking about the advanced demonstration
7 projects that are currently being funded by the
8 Department of Energy that will put a small modular
9 reactor -- an advanced reactor in Wyoming, and an
10 advanced reactor in Washington State before the end of
11 the decade.

12 Q. Is it a fair comparison to compare that to,
13 sort of, the prototype of a new car model? That it's
14 out there, it works, it drives down the road, but
15 they're not manufacturing 10,000 of those this year?

16 A. I think it's a very important step. I think
17 it will answer a lot of questions, and something that
18 the rest of the industry can learn from.

19 Q. Okay. In addition to not having chosen a
20 technology yet, Duke has not identified a site selected
21 for the construction of an SMR plant, has it?

22 A. That is correct.

23 Q. In fact, your recommended near-term execution
24 plan seeks authorization to engage in the permitting

1 and site selection process?

2 A. That is correct.

3 Q. According to -- I don't know, you don't have
4 the Carbon Plan in front of you, but I understand from
5 Table 4-1 on Chapter 4 of the Carbon Plan, that Duke
6 seeks permission to, quote, begin new nuclear early
7 site permit for one site as part of the Near-Term
8 Execution Plan.

9 Do you have that in front of you?

10 A. I do, yes.

11 Q. Okay. In that -- that's Table 4-1. And in
12 the lower half of that table, on page 5 of Chapter 4,
13 it discusses the proposed resource development options
14 for the 70 percent interim target.

15 And under new nuclear, to the right, it says
16 "begin new nuclear early site permit ESP for one site,"
17 correct?

18 A. Correct.

19 Q. So you anticipate an ESP process for one site
20 by 2030?

21 A. That is correct.

22 Q. Can you tell me what is included in -- or
23 actually, the second bullet point under that is to
24 begin development activities for first of two SMR

1 units; is that right?

2 A. Correct.

3 Q. Can you tell me what is included in beginning
4 development activities for the first of two SMR units?

5 A. Certainly. So for an early site permit that
6 is technology neutral, you develop a plant parameter
7 envelope which bounds the technologies of interest.
8 And then you evaluate how many units could fit on that
9 site based on the attributes. And you look at both the
10 environmental and the site safety characteristics of
11 the site.

12 It's a very important step, in terms of
13 regulatory risk reduction. It addresses environmental
14 issues under NEPA, the National Environmental
15 Protection Act. It also addresses site safety issues
16 like flooding, upstream dam failure, and looks at the
17 seismic suitability. In doing the seismic suitability,
18 you need to have some information about the
19 technologies.

20 So really the development activities would be
21 to understand the technologies, assess the
22 technologies, and then gain the necessary technical
23 information to support the licensing process.

24 Q. Does that process include notifying local

1 governments that Duke proposes to place a nuclear plant
2 in their community?

3 A. So the NEPA process associated with the early
4 site permit has extensive community engagement.

5 Q. I understand that the Nuclear Regulatory
6 Commission has amended the emergency zone that might
7 apply to a small modular reactor as opposed to a
8 current technology nuclear plant; is that correct?

9 A. It's technology specific, but yes, the NRC is
10 looking at the characteristics of the reactor and
11 evaluating the emergency planning zone accordingly. If
12 you look at some of the advanced reactors, if you look
13 at the Sodium, it operates at atmospheric pressure, so
14 there's no real energy to drive a release. If you look
15 at the X-energy, the containment structure is the fuel
16 pedal itself.

17 So if you look at new scale, it's a totally
18 passive system. They were able to argue successfully
19 that the emergency planning zone should be adjusted
20 to reflect the design.

21 Q. But there would be an emergency planning zone
22 for any nuclear facility in any community, correct?

23 A. Yes.

24 Q. And there would be security issues and other

1 things that the Company must take into account to
2 operate a nuclear plant?

3 A. Security is part of the requirements for it,
4 right.

5 Q. Okay. According to the chart on page 32 of
6 your testimony -- I need to get myself there too, if
7 you'll hold on. It's the drawbacks of having one
8 screen versus many pages, so I appreciate your
9 patience. Are you there on page 32?

10 A. I am, thank you.

11 Q. Do you see the chart on that page?

12 A. Table 2, yes.

13 Q. Table 2 that has new nuclear near-term
14 development activities?

15 A. That is correct.

16 Q. Based upon that chart, I understand that
17 initial development activities for the first of two
18 units would cost \$17 million between 2022 and 2024?

19 A. That is correct.

20 Q. The ESP process in that same chart, which is
21 the permitting process that you discussed --

22 A. Correct.

23 Q. -- would cost \$55 million between 2022 and
24 2024, correct?

1 A. That is what the chart says, correct.

2 Q. Do you agree with the numbers in that chart?

3 A. Yes.

4 Q. Okay. Has Duke already incurred the costs
5 listed under 2022 in this chart?

6 A. We have not.

7 Q. Okay. So would you incur those costs between
8 a December 30th order of this Commission and a
9 December 31st end of year?

10 A. So our goal in developing this chart was to
11 articulate the earliest that the dollars could be
12 spent. We anticipate spending about a million dollars
13 this year.

14 Q. Okay.

15 A. But the \$5 million is there in case that we
16 get direction from the Commission earlier in the year
17 and would move forward.

18 Q. If you got indication -- hypothetically, if
19 the Commission were to approve a Near-Term Execution
20 Plan that contained -- that included this -- these
21 procedures, would you -- I guess, would you move the
22 2022 column over to the right and spend \$30 million in
23 2023; do you know?

24 A. I think that the dollars would carry forward.

1 I don't know the exact split between 2023 and 2024.

2 Q. Is the timeline gonna push another year?

3 A. I don't think it would push by a year, but
4 no.

5 Q. In the first -- the first two years for an
6 ESP process with the Nuclear Regulatory Commission for
7 one plant is then a \$55 million commitment; is that
8 right?

9 A. So it's not for a plant, it's for a site.

10 Q. For one site?

11 A. And it's for multiple technologies. So for
12 example, just hypothetically, a site is approved for
13 four units. The first two units could be one design,
14 if the technology evolves and another design becomes
15 superior in terms of how it fits into our system. The
16 second, the third, and fourth unit could be a different
17 design. So the ESP has more versatility than a per
18 site application.

19 Q. So it's per unit or per site?

20 A. It's per site.

21 Q. Okay. Thank you for the --

22 A. I meant per-unit application.

23 Q. Thank you for the clarification. I
24 appreciate that.

Page 191

1 But that \$55 million associated with the --
2 or listed in the chart on page 32 doesn't get you all
3 the way to the NRC permit, itself, does it?

4 A. No. We estimate that it's -- it's an effort
5 somewhere between 50 and \$75 million.

6 Q. 50 and \$75 million per site?

7 A. Per site.

8 Q. Okay. You anticipated my next question,
9 thank you. Now I need to skip ahead.

10 In your testimony on page 31, lines 18
11 through 22, you testify that the ESP process takes two
12 years with an additional two years for NRC review and
13 approval, correct?

14 A. Yes.

15 Q. Is that with every site or with every unit?

16 A. Site.

17 Q. One further question about that testimony.
18 You mention on -- you mention in that block, lines 18
19 through 22, Table L-3 of the Carbon Plan, which is on
20 page 7 of Appendix L, as showing the estimated timeline
21 for development.

22 For clarity, and I've checked this, do you
23 mean to refer to Figure L-3 on page 12 of Appendix L?

24 A. That is correct.

Page 192

1 Q. Okay. Just for the record, I wanted to make
2 that clarification.

3 A. Thank you.

4 Q. Thank you. That timeline shows it is
5 approximately 10 years from vendor path start to
6 beginning fuel load and low-power operation of a unit;
7 is that right?

8 A. That's a general thumb, yeah.

9 Q. Okay. I would expect that there would be
10 efficiencies and redundancies built in once Duke has
11 gone through this process with a few permitting
12 processes for a few SMRs; is that right?

13 A. There would be some efficiencies, yes.

14 Q. So you might say you'd get better at it?

15 A. Yes.

16 Q. But your initial estimate is a timeline of 10
17 years per -- is that per site or per unit?

18 A. Per unit.

19 Q. Okay. Any advanced reactor technology -- go
20 ahead.

21 A. Let me --

22 Q. Clarify.

23 A. Let me correct that. So it would be per
24 license. So the regulatory process would be -- so, for

Page 193

1 example, let's say that we were just focusing on two
2 units that are mentioned in the Carbon Plan, you would
3 be, one, licensing activity. So you'd ESP one time for
4 multiple sites, an operating license, let's say for two
5 units. And then -- but the construction would be a
6 unit-specific activity.

7 Q. Did you just say that you would do ESP one
8 time for multiple sites?

9 A. I'm sorry, multiple units at a site.

10 Q. Okay.

11 A. I'll slow down.

12 Q. No, that's fine, because I'm asking questions
13 in a very haphazard manner, so go ahead.

14 A. An early site permit is for a site and can be
15 multiple units.

16 Q. Gotcha.

17 A. A license has to be for units at a site. It
18 can be multiple units.

19 Q. Gotcha.

20 A. So those are singular activities for the
21 application you're looking at. Construction would be a
22 unit-specific activity.

23 Q. Understood. Any advanced reactor technology
24 would be different from an SMR, right?

Page 194

1 A. The technologies are different, correct.

2 Q. So depending on the technology selected,
3 there would be a new learning curve for Duke and a new
4 learning curve for the NRC for all that permitting
5 process that we just talked about?

6 A. I think that the NRC is preparing, we'll
7 likely see parallel permitting processes, not from
8 Duke, but from the industry.

9 Q. Okay. Do you have Appendix E of the Carbon
10 Plan before you?

11 A. I do not.

12 MR. BURNS: I might need a copy for the
13 witness. Yes, I have my copy, but not for the
14 witness. Bear with me, Madam Chair. May I
15 approach the witness?

16 CHAIR MITCHELL: You may.

17 Q. I'm gonna hand you this document for your
18 review. I'll refer to the page, I think it's already
19 in the record since it was filed. So I don't think I
20 need to introduce that as an exhibit, but if you could
21 take a look at pages 35 and 36 of Appendix E.

22 A. (Witness peruses document.)

23 Q. I'm sorry they're not stapled together, but
24 counsel was good enough to give me a copy. So are you

1 there?

2 A. Yes.

3 Q. All right. Now, I understand this is --
4 relates -- Appendix E relates to quantitative analysis
5 and modeling, and you did not perform the modeling
6 that's represented in Appendix E, did you?

7 A. That is correct.

8 Q. But I want to draw your attention to is
9 Table E-3.

10 A. E-3?

11 Q. I'm sorry, excuse me, I didn't -- E-39.
12 Thank you. Duke Energy discusses constraints that were
13 placed on the model that limited annual selection of
14 new nuclear units in Table E-39, and total cumulative
15 nuclear units in Table E-40.

16 Do you see those two tables?

17 A. Yes.

18 Q. The total cumulative number of new nuclear
19 units allowed in the model by 2048-plus, on the bottom
20 line there, is 21; is that right?

21 A. Correct.

22 Q. That's 21 approximately 300-megawatt nuclear
23 reactors, which is characterized in this chart as 14
24 SMRs and 7 advanced nuclears; is that right?

1 A. That is correct.

2 Q. That's for the modeling.

3 Does Duke believe that it will be able to
4 site 21 new nuclear reactors in and around North and
5 South Carolina over the next 30 years?

6 A. To it's -- to meet net zero is a very
7 challenging goal. And if you -- the Nuclear Energy
8 Institute recently sent a letter to the Nuclear
9 Regulatory Commission estimating that nationwide there
10 would need to be 162 new gigawatts of nuclear energy to
11 meet the goal.

12 Q. Understood.

13 A. This is what we would need to do to be able
14 to accomplish the goal.

15 Q. I agree, and I under --

16 A. And so when we're looking at the sites, we're
17 looking for sites that can handle multiple units.

18 Q. Does Duke believe that it will be able to
19 site 21 new nuclear reactors in and around North and
20 South Carolina over the next 30 years?

21 A. Yes.

22 Q. What risks to that plan has Duke concluded in
23 its analysis and decision to rely to such an extent on
24 those new nuclear?

Page 197

1 MS. LINK: Objection. Now we're in
2 modeling. This panel is about --

3 MR. BURNS: Understood.

4 MS. LINK: -- the near-term
5 development --

6 MR. BURNS: I will direct those --

7 MS. LINK: -- activities.

8 MR. BURNS: Thank you. That's an
9 effective objection and I'll withdraw my question.
10 But I will reserve the right to ask that to the
11 Modeling Panel on rebuttal.

12 Q. But you do have knowledge of the risks
13 inherent in the construction and operation of a nuclear
14 plant, don't you?

15 A. True.

16 Q. Do you have the knowledge of the risks in
17 siting a nuclear plant?

18 A. Yes.

19 Q. Okay. And there are risks to an accelerated
20 plan of multiple nuclear -- bringing multiple nuclear
21 reactors online in a short time frame, aren't there?

22 A. I think there's a technology risk, and I
23 think the ARDP projects are doing a lot to address
24 those. And so we're looking very closely at first

1 event plans. I think there's regulatory risks. I
2 think that's why we're looking at environmental and
3 siting to make sure we address those. I think there's
4 construction risks.

5 And so I think the technology risks and the
6 construction risk, in terms of schedule certainty, I
7 think will be resolved after the first number of
8 copies, then I think it becomes a supply chain
9 capacity.

10 Q. So there's also a supply chain risk.

11 There'd be a risk with fuel supply risk too,
12 would there not?

13 A. I think that is a risk that the Department of
14 Energy is addressing.

15 Q. You mention in your testimony that Duke is an
16 investor in the Natrium project, correct?

17 A. No, we're not an investor. We're part of the
18 project.

19 Q. Part of the project.

20 Natrium is a molten-salt fast reactor; is
21 that right?

22 A. It's a liquid sodium.

23 Q. Liquid sodium. Thank you. And it uses --
24 you address in your testimony that it uses HALEU fuel?

Page 199

1 A. Yes.

2 Q. How do you pronounce -- is there a -- is it
3 HALEU?

4 A. So it's an acronym, it's HALEU. It's
5 high-assay low-enrichment uranium.

6 Q. It's true, isn't it, that the most ready
7 source of that fuel, HALEU, is Russia currently?

8 A. That is correct.

9 Q. Duke anticipates, though, that it will be
10 able to overcome the risk of -- well, let me rephrase
11 this.

12 The Ukraine war has placed a restriction on
13 the supply of HALEU fuel, has it not?

14 A. So I'll answer the question that I think
15 you're asking, which is capacity challenges for HALEU.

16 So the Inflation Reduction Act included
17 \$700 million for DOE to pursue that -- the domestic
18 source.

19 Q. Okay.

20 A. If you look at the current enrichment
21 facilities, the technology is the same, you're just
22 increasing enrichment. So it becomes a capacity issue.

23 And so one of the ways the DOE is addressing
24 the capacity issue is to put a procurement in place to

Page 200

1 put a buy order in that will cause these enrichment
2 facilities to increase their capacity and go through
3 the licensing process, which is a high enrichment
4 typically security requirement exchange. So we believe
5 that that challenge is being resolved.

6 Q. And Duke anticipates that it will be able to
7 overcome those risks, right?

8 A. Correct.

9 Q. Duke's experience in nuclear -- highly
10 trained staff and employees and its leadership in
11 nuclear technology makes it particularly suited to
12 achieve this ambitious timeline; is that your
13 testimony?

14 A. That is correct.

15 Q. So when Duke wants to get something done, it
16 can get it done, right?

17 MS. LINK: Objection. I just think it's
18 a statement, but --

19 MR. BURNS: Just asking if he agreed
20 with the statement in cross.

21 CHAIR MITCHELL: All right. I'm gonna
22 sustain the objection. Be more specific with your
23 question.

24 Q. And generally speaking -- I'll pursue a

1 different question.

2 Generally speaking, which risk is Duke more
3 able to overcome, one where the variables are within
4 its control or one based upon facts not within its
5 control?

6 A. I believe one of the reasons that we're
7 focusing on an early site permit is because those are
8 within our control. And I believe we're recommending
9 that we monitor the ones that are not in our control.

10 Q. Okay. But the effect of the war on Ukraine
11 on supply of nuclear fuel is not within Duke's control,
12 is it? Of HALEU fuel.

13 A. I -- so two different questions. Is it fuel
14 or HALEU?

15 Q. HALEU.

16 A. It's not in our control.

17 Q. But transmission constraints in its own
18 balancing areas is likely to be something that Duke can
19 overcome?

20 A. So I'm not here to testify for transmission,
21 although transmission is an important part of siting.

22 Q. Okay. Duke's position is that it should be a
23 second entrant into this new nuclear market; is that
24 right?

Page 202

1 A. I believe we've laid out a process for the
2 Commission to manage risks and focus on siting while
3 the technology develops as a prudent course.

4 Q. Your testimony and the testimony of your
5 panel is that it would be prudent for Duke to be sort
6 of an early adopter in the initial round of reactor
7 projects once the test projects are complete; is that
8 right?

9 MS. LINK: Objection. I don't -- I
10 would ask counsel to point where in the testimony
11 it talks about being an early adopter.

12 Q. Have I fairly characterized your testimony
13 there, sir.

14 A. I believe that you used the statement second
15 mover, and I believe that's a fair characterization.

16 Q. Thank you. That's a fair answer. Thank you.
17 Did you calcu- -- is there a calculation of
18 the levelized cost of the energy anticipated in the
19 Carbon Plan to be produced by new nuclear, or would
20 that be a question best addressed at the modeling?

21 A. The modeling team.

22 Q. Do you, as a person with experience in
23 nuclear energy, expect costs associated with the
24 deployment of new nuclear technology to increase or

1 decrease in the next 15 years?

2 A. So are you talking about the cost to operate
3 the existing fleet or costs to construct the plants?

4 Q. Cost to construct plants.

5 A. Cost to construct plants typically follows a
6 patten where they increase and then decrease.

7 Q. And how long do they increase, typically?

8 A. We have not gone through a cycle in recent
9 times for me to make a projection.

10 Q. And no one's gone through a cycle for the
11 construction of an SMR; is that right?

12 A. That is correct.

13 Q. No further questions at this time. Thank
14 you.

15 CHAIR MITCHELL: All right. We'll start
16 with CIGFUR. We'll break for lunch at 12:45.

17 CROSS EXAMINATION BY MS. CRESS:

18 Q. Good afternoon, gentlemen. My name is
19 Christina Cress, counsel for CIGFUR. I have the
20 coveted spot right before lunch. I don't think I will
21 get through my questions, but I will try my best. And
22 these questions are gonna be directed to the panel as a
23 whole, so anybody, please, just chime in if you are the
24 most appropriate person to answer the question.

1 Duke's projected cost and rate impact
2 estimates provided for the Carbon Plan do not include
3 costs associated with Duke's plans to pursue 20-year
4 subsequent license renewals of existing nuclear
5 resources; is that right?

6 A. (Chris Nolan) That is correct.

7 Q. How much does Duke expect these SLRs to cost?

8 A. So a subsequent license renewal application
9 is a licensing process that provides the option to
10 operate an additional 20 years. We expect them to cost
11 between 45 and \$50 million per site.

12 Q. What is the basis for that cost estimate?

13 A. The basis for the cost estimate is really
14 what we saw during the initial license renewal phase.
15 Our process is similar, and so therefore we think those
16 estimates are pretty reasonable.

17 Q. Are you aware that Virginia Electric & Power
18 Company, doing business as Dominion Energy Virginia,
19 recently pursued regulatory approval for these SLRs for
20 its Surry Units 1 and 2 and North Anna Units 1 and 2?

21 A. I am.

22 MS. CRESS: At this time, I'd like to
23 introduce an exhibit, and it's this pile right
24 here. And I'll request permission from the Chair

Page 205

1 to identify -- to mark this exhibit as CIGFUR II
2 and III Long Lead-Time Panel Direct Cross
3 Examination Exhibit Number 1, which is a copy of
4 Dominion's recent petition of Virginia Electric &
5 Power Company for approval of a rate adjustment
6 clause designated rider SNA in Case Number PUR2021
7 to 29.

8 CHAIR MITCHELL: All right. The
9 document will be marked as CIGFUR II and III Long
10 Lead-Time Panel Direct Cross Examination Exhibit 1.

11 (CIGFUR II and III Long Lead-Time Panel
12 Direct Cross Examination Exhibit

13 Number 1 was marked for identification.)

14 Q. Gentlemen, I'm gonna direct your attention to
15 the top of page 2 of the pleading, itself, which is the
16 ninth page of the document.

17 A. (Witness peruses document.)

18 (Regis Repko) I apologize, page 9?

19 Q. So it will say page 2 at the bottom of the
20 pleading, but it will be the ninth page of the
21 document.

22 Now that you have this in front of you, can
23 you please confirm that the current cost projection for
24 the SLRs of these four Dominion Energy Virginia SLRs is

Page 206

1 currently projected to cost up to \$3.9 billion?

2 MS. LINK: Your Honor -- I mean, Chair
3 Mitchell, I would object. She's asked if he can
4 confirm something that -- a piece of paper that's
5 been put in front of his -- him on the witness
6 stand. He can read the document, but I don't
7 believe he has any information that he could
8 confirm the cost estimate.

9 MS. CRESS: Chair Mitchell, I'm happy to
10 restate the question and simply ask the witness to
11 read what the document says into the --

12 CHAIR MITCHELL: All right. I'll
13 sustain the objection. Ask your question that way.

14 MS. CRESS: Thank you.

15 Q. So please, if you would, instead turn to the
16 previous page, and we'll start at the bottom of that
17 page. There's a sentence that begins with the word
18 "specifically." If you could please read that complete
19 sentence into the record.

20 A. (Chris Nolan) "Specifically, the Company
21 seeks a determination that it is reasonable and prudent
22 for the Company to pursue the nuclear license,
23 extensions, and related projects, which a current cost
24 projection of \$3.9 billion, and approve of cost

Page 207

1 recovery through rider SNA for phase 1 of the program,
2 which includes those investments to date and for the
3 following three calendar years, 2022 through 2024,
4 totalling approximately \$1.2 billion. In support" --
5 so am I done?

6 Q. Yes. Thank you. That was the end of the
7 sentence, thanks. And if you could, please turn to
8 what will be shown as page 4, but it's really the 11th
9 page of the document.

10 Do you see where under Section 3B there's a
11 section titled "Capital Upgrade Component"?

12 A. Correct.

13 Q. Okay. Can you please read paragraph 8 into
14 the record.

15 A. "In order to maintain the safety,
16 reliability, and efficiency of the Surry and North Anna
17 units up to 80 years of operation, the Company has
18 identified 33 capital upgrade component projects that
19 must be undertaken in addition to the SLRAs. The
20 Company created an extensive screening process in
21 determining whether project was necessary and eligible
22 for the capital upgrade component of the SLR."

23 Q. Has Duke determined whether capital upgrades
24 will be necessary for the pursuit of SLRs for its

1 existing nuclear fleet?

2 A. So we invest in our fleet to maintain its
3 safety and reliability. And we make improvements,
4 changes, component replacements based on aging and
5 degradation as part of our capital budget. And that
6 capital budget is -- the viability of the plan is
7 evaluated in the IRP periodically by the Commission.
8 And so the SLR provides an option for continued
9 operation.

10 It is not an option -- it is not an attempt
11 to gain additional capital dollars for the maintenance
12 of the plant.

13 I think Dominion is -- has a different
14 approach, and if you look at it, it talked about the
15 SLRs and upgrade projects. And so I think our
16 estimates for SLR would be the same, they're just
17 including a lot of projects.

18 Q. It's possible, is it not, that the Nuclear
19 Regulatory Commission could conditionally grant SLRs to
20 Duke Energy and require that the Company undertake
21 certain capital upgrade costs as part of the SLRs?

22 A. So typically, component degradation is
23 something that's managed under the current operating
24 license, and we're required to maintain safety on a

1 daily basis. The subsequent license renewal looks at
2 age and management, so it typically looks at concrete,
3 buried cable, and do you have the appropriate
4 surveillance programs in place to manage aging.

5 So there typically are requirements in the
6 license, but they're monitoring programs, they're not
7 capital upgrades. Capital upgrades would be required
8 under the existing license.

9 Q. And so I believe you answered that question
10 on, you know, what happens on a typical basis, what
11 happens usually. My question is, is it possible that
12 the NRC could conditionally grant these SLRs contingent
13 upon the Company making certain capital upgrades to the
14 nuclear fleet?

15 A. So I'm not in a position to say how the NRC
16 would use its authority. I've not seen that.

17 Q. So as you sit here today, have the Companies
18 definitively determined whether or not capital upgrades
19 would be necessary in conjunction with pursuit of these
20 SLRs?

21 A. I think -- I think what I tried to state in
22 my testimony is that we look at the material condition
23 of the plan and maintain it in accordance with using
24 the annual capital budget. We have not looked

1 specifically at the license renew period, but don't
2 expect it to be any different than what we see on a
3 day-to-day basis now.

4 Q. Okay. Thank you. Switching gears. It is --

5 CHAIR MITCHELL: Mr. Nolan, make sure
6 you're in your mic, sir.

7 THE WITNESS: Thank you.

8 Q. It's possible for any of the Long Lead-Time
9 resources included in Duke's proposed Carbon Plan, that
10 project development activities may not ultimately
11 result in generation plant that is placed into service;
12 is that correct?

13 A. That is possible.

14 Q. And how will ratepayers be protected against
15 the risk that Long Lead-Time project development
16 activities may not result in new generation plant that
17 becomes used and useful in the provision of electric
18 service?

19 A. So I think what we're asking for in the
20 Carbon Plan is for the Commission to approve the
21 decision to expend resources. But any recovery of
22 resources would be in a future proceeding. I think
23 exploring these options to look at the timing that they
24 could be available and in the best path to provide a

Page 211

1 low-cost option for the customer or valuable, some
2 paths may prove successful, some paths may prove not.
3 And the Commission will do a prudency review.

4 A. (Regis Repko) If I might add just a broader
5 view. So as we propose here, there's a very specific
6 set of development activities proposed for the
7 Commission's decisions. To your question, so we can
8 progress down a path on time frame, a very limited time
9 frame and actions. The Companies support caps relative
10 to those costs. And then a third strategy, again,
11 holistically is not to be a first mover, to be a second
12 mover.

13 We already have a Bad Creek 1 facility, so
14 we've demonstrated its construction and operation.
15 SMRs, again, we expect we will be a second mover.
16 Along those lines, we already have Companies that are
17 out in front with signed contracts and direction
18 relative to SMRs. Offshore wind, a number of projects
19 from the Northeast on down the Atlantic that will be
20 able to learn from and gain from those efficiencies.

21 Q. Thank you for that. And would your answer be
22 the same, gentlemen, if we're talking about how would
23 ratepayers be protected from the risk of stranded
24 assets?

Page 212

1 A. (Chris Nolan) So one of the things we're
2 asking for is an early site permit. I think an early
3 site permit has value on its issuance. It's approved
4 for 20 years, it can be renewed up to additional
5 20 years, it's technology neutral. And we've
6 demonstrated in the Carbon Plan that it's not a -- it's
7 not if, but when.

8 And so I think that asset has value to the
9 customer. And I only spoke to that one specifically
10 because it's what's in the scope of this panel.

11 Q. Thank you.

12 MS. CRESS: Looking at the time, do I
13 need to --

14 CHAIR MITCHELL: Yeah, we'll go ahead
15 and break now.

16 MS. CRESS: Thank you, Chair Mitchell.

17 CHAIR MITCHELL: All right. Let's go
18 off the record. We'll be back on at 1:45.


19 (The hearing was adjourned at 12:46 p.m.
20 and set to reconvene at 1:45 p.m. on
21 Tuesday, September 20, 2022.)
22
23
24

CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA)
COUNTY OF WAKE)

I, Joann Bunze, RPR, the officer before whom the foregoing hearing was conducted, do hereby certify that any witnesses whose testimony may appear in the foregoing hearing were duly sworn; that the foregoing proceedings were taken by me to the best of my ability and thereafter reduced to typewritten format under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 23rd day of September, 2022.



JOANN BUNZE, RPR

Notary Public #200707300112

