

PLACE: Dobbs Building, Raleigh, North Carolina

DATE: Wednesday, September 28, 2022

TIME: 1:32 p.m. - 4:59 p.m.

DOCKET NO.: E-100, Sub 179

BEFORE: Chair Charlotte A. Mitchell, Presiding

Commissioner ToNola D. Brown-Bland

Commissioner Daniel G. Clodfelter

Commissioner Kimberly W. Duffley

Commissioner Jeffrey A. Hughes

Commissioner Floyd B. McKissick, Jr.

Commissioner Karen M. Kemerait

IN THE MATTER OF:

Duke Energy Progress, LLC, and

Duke Energy Carolinas, LLC,

2022 Biennial Integrated Resource Plans

and Carbon Plan

VOLUME: 29

1 A P P E A R A N C E S:
2 FOR DUKE ENERGY CAROLINAS, LLC and DUKE ENERGY
3 PROGRESS, LLC:
4 Jack E. Jirak, Esq., Deputy General Counsel
5 Kendrick C. Fentress, Esq., Associate General Counsel
6 Jason A. Higginbotham, Esq., Associate General Counsel
7 Kathleen Hunter-Richard, Esq.
8 Duke Energy Corporation
9 Post Office Box 1551
10 Raleigh, North Carolina 27602
11
12 Andrea Kells, Esq.
13 E. Brett Breitschwerdt, Esq., Partner
14 McGuireWoods LLP
15 501 Fayetteville Street, Suite 500
16 Raleigh, North Carolina 27601
17
18 Vishwa B. Link, Esq., Partner
19 McGuireWoods LLP
20 Gateway Plaza
21 800 East Canal Street
22 Richmond, Virginia 23219-3916
23
24

1 A P P E A R A N C E S Cont'd.:
2 Lara S. Nichols, Vice President,
3 State & Federal Regulatory Legal
4 Duke Energy Corporation
5 4720 Piedmont Row Drive
6 Charlotte, North Carolina 28210
7

8 FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:
9 Taylor Jones, Esq., Regulatory Counsel
10 4800 Six Forks Road, Suite 300
11 Raleigh, North Carolina 27609
12

13 FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY, NATURAL
14 RESOURCES DEFENSE COUNCIL, and THE SIERRA CLUB:
15 Gudrun Thompson, Esq., Senior Attorney
16 David, L. Neal, Esq., Senior Attorney
17 Nicholas Jimenez, Esq., Senior Attorney
18 Southern Environmental Law Center
19 200 West Rosemary Street, Suite 220
20 Chapel Hill, North Carolina 27516
21
22
23
24

1 A P P E A R A N C E S Cont'd.:

2 CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY RATES II

3 AND III:

4 Christina D. Cress, Esq., Partner

5 Douglas E. Conant, Esq., Associate

6 Bailey & Dixon, LLP

7 434 Fayetteville Street, Suite 2500

8 Raleigh, North Carolina 27601

9

10 FOR CAROLINA UTILITY CUSTOMER ASSOCIATION and

11 FOR TECH CUSTOMERS:

12 Matthew B. Tynan, Esq.

13 Brooks Pierce

14 Post Office 26000

15 Greensboro, North Carolina 27420

16

17 Craig Schauer, Esq.

18 Brooks Pierce

19 1700 Wells Fargo Capitol Center

20 150 Fayetteville Street

21 Raleigh, North Carolina 27601

22

23

24

OFFICIAL COPY

Oct 04 2022

1 A P P E A R A N C E S Cont'd.:
2 FOR CAROLINAS CLEAN ENERGY BUSINESS ASSOCIATION:

3 John D. Burns, Esq., General Counsel
4 811 Ninth Street, Suite 120-158
5 Durham, North Carolina 27705

6
7 FOR BRAD ROUSE:

8 Brad Rouse, Pro se
9 Brad Rouse Consulting
10 3 Stegall Lane
11 Asheville, North Carolina 28805

12
13 FOR CLEAN POWER SUPPLIERS ASSOCIATION:

14 Ben Snowden, Esq., Partner
15 Erin Catlett, Esq., Associate
16 Jack Taggart, Esq., Associate
17 Fox Rothschild LLP
18 434 Fayetteville Street, Suite 2800
19 Raleigh, North Carolina 27601

20
21
22
23
24

1 A P P E A R A N C E S Cont'd.:
2 FOR THE ENVIRONMENTAL WORKING GROUP:
3 Andrea C. Bonvecchio, Esq.
4 The Law Offices of F. Bryan Brice, Jr.
5 127 West Hargett Street, Suite 600
6 Raleigh, North Carolina 27601

7
8 Carolina Leary, Esq.
9 1250 I Street Northwest, Suite 1000
10 Washington, DC 20005

11
12 FOR WALMART INC.:
13 Carrie H. Grundmann, Esq., Member
14 Spilman Thomas & Battle, PLLC
15 110 Oakwood Drive, Suite 500
16 Winston-Salem, North Carolina 27103

17
18 FOR CITY OF CHARLOTTE:
19 Karen Weatherly, Esq., Senior Assistant City Attorney
20 600 East Fourth Street
21 Charlotte, North Carolina 28202

22
23
24

1 A P P E A R A N C E S Cont'd.:

2 FOR APPALACHIAN VOICES:

3 Catherine Cralle Jones, Esq.

4 The Law Offices of F. Bryan Brice, Jr.

5 127 West Hargett Street, Suite 600

6 Raleigh, North Carolina 27601

7

8 FOR REDTAILED HAWK COLLECTIVE, ROBESON COUNTY

9 COOPERATIVE FOR SUSTAINABLE DEVELOPMENT, ENVIRONMENTAL

10 JUSTICE COMMUNITY ACTION NETWORK, and DOWN EAST ASH

11 ENVIRONMENTAL AND SOCIAL JUSTICE COALITION:

12 Ethan Blumenthal, Esq.

13 ECB Holdings LLC

14 1624 Nandina Comers Alley

15 Charlotte, North Carolina 28205

16

17 FOR NC WARN and

18 FOR CHARLOTTE-MECKLENBURG NAACP:

19 Matthew D. Quinn, Esq.

20 Lewis & Roberts, PLLC

21 3700 Glenwood Avenue, Suite 410

22 Raleigh, North Carolina 27612

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR BROAD RIVER ENERGY, LLC:

3 Patrick Buffkin, Esq.

4 Buffkin Law Office

5 3520 Apache Drive

6 Raleigh, North Carolina 27609

7

8 FOR KINGFISHER ENERGY HOLDINGS, LLC, and

9 FOR PERSON COUNTY, NORTH CAROLINA:

10 Patrick Buffkin, Esq.

11 Buffkin Law Office

12 3520 Apache Drive

13 Raleigh, North Carolina 27609

14

15 Kurt Olson, Esq.

16 The Law Office of Kurt J. Olson, PLLC

17 Post Office Box 10031

18 Raleigh, North Carolina 27605

19

20 FOR NORTH CAROLINA ELECTRIC MEMBERSHIP CORPORATION:

21 Tim Dodge, Esq., Regulatory Counsel

22 3400 Sumner Boulevard

23 Raleigh, North Carolina 27616

24

1 A P P E A R A N C E S Cont'd.:

2 FOR THE CITY OF ASHEVILLE and COUNTY OF BUNCOMBE:

3 Jannice Ashley, Esq., Senior Assistant City Attorney

4 City Attorney's Office

5 70 Court Plaza

6 Asheville, North Carolina 28801

7

8 Curt Euler, Esq., Senior Attorney II

9 Buncombe County

10 200 College Street, Suite 100

11 Asheville, North Carolina 28801

12

13 FOR MAREC ACTION:

14 Bruce Burcat, Esq, Executive Director

15 MAREC Action

16 Post Office Box 385

17 Camden, Delaware 19934

18

19 Kurt J. Olson, Esq.

20 Law Office of Kurt J. Olson, PLLC

21 Post Office Box 10031

22 Raleigh, North Carolina 27605

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR TOTALENERGIES RENEWABLES USA, LLC, and

3 FOR CLEAN ENERGY BUYERS ASSOCIATION:

4 Joseph W. Eason, Esq.

5 Nelson, Mullins, Riley & Scarborough LLP

6 4140 Parklake Avenue, Suite 200

7 Raleigh, North Carolina 27612

8

9 Weston Adams, Esq.

10 Nelson, Mullins, Riley & Scarborough LLP

11 1320 Main Street, Suite 1700

12 Columbia, South Carolina 29201

13

14 FOR PORK COUNCIL:

15 Kurt J. Olson, Esq.

16 Law Office of Kurt J. Olson, PLLC

17 Post Office Box 10031

18 Raleigh, North Carolina 27605

19

20 FOR COUNCIL OF CHURCHES:

21 James P. Longest, Jr., Esq.

22 Duke University School of Law

23 Box 90360

24 Durham, North Carolina 27708

1 A P P E A R A N C E S Cont'd.:

2 FOR AVANGRID RENEWABLES, LLC:

3 Benjamin Smith, Esq.

4 Todd S. Roessler, Esq.

5 Joseph S. Dowdy, Esq.

6 Kilpatrick Townsend & Stockton LLP

7 4208 Six Forks Road, Suite 1400

8 Raleigh, North Carolina 27609

9

10 FOR SEAN LEWIS:

11 Sean Lewis, Pro se

12 640 Firebrick Drive

13 Cary, North Carolina 27519

14

15 FOR THE USING AND CONSUMING PUBLIC, THE STATE, AND ITS

16 CITIZENS:

17 Margaret Force, Esq., Special Deputy Attorney General

18 Tirrill Moore, Esq., Assistant Attorney General

19 North Carolina Department of Justice

20 Post Office Box 629

21 Raleigh, North Carolina 27602

22

23

24

1 A P P E A R A N C E S Cont'd.:

2 FOR THE USING AND CONSUMING PUBLIC:

3 Lucy Edmondson, Esq., Chief Counsel

4 Robert Josey, Esq.

5 Nadia L. Luhr, Esq.

6 Anne Keyworth, Esq.

7 William E.H. Creech, Esq.

8 William Freeman, Esq.

9 Public Staff - North Carolina Utilities Commission

10 4326 Mail Service Center

11 Raleigh, North Carolina 27699-4300

12

13

14

15

16

17

18

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

T A B L E O F C O N T E N T S
E X A M I N A T I O N S

TRANSMISSION PANEL OF SAMMY ROBERTS, MAURA FARVER	PAGE
Examination By Commissioner Hughes.....	16
Examination By Commissioner Kemerait.....	24
Examination By Commissioner Hughes.....	28
Examination By Chair Mitchell.....	31
Examination By Commissioner Duffley.....	53
Examination By Commissioner Hughes.....	55
Examination By Commissioner Clodfelter.....	58
Examination By Ms. Grundmann.....	60
Examination By Mr. Burns.....	66
Examination By Ms. Cress.....	67
Examination By Mr. Snowden.....	70
Examination By Chair Mitchell.....	81
LONG LEAD-TIME RESOURCES PANEL OF REGIS REPKO, CHRIS NOLAN, AND CLIFT POMPEE	PAGE
Direct Examination By Ms. Link.....	87
Prefiled Rebuttal Testimony of Regis Repko, ... Chris Nolan, and Clift Pompee	90
Prefiled Summary Testimony of Regis Repko, Chris Nolan, and Clift Pompee	116
Cross Examination By Ms. Grundmann.....	120
Cross Examination By Mr. Freeman.....	122
Redirect Examination By Ms. Link.....	136

		Page 14
1	Examination By Commissioner Clodfelter.....	139
2	Examination By Chair Mitchell.....	142
3	Examination By Commissioner Clodfelter.....	155
4	Examination By Ms. Grundmann.....	156
5	Examination By Mr. Freeman.....	158
6	Examination By Ms. Link.....	160
7	Examination By Chair Mitchell.....	162
8	Examination By Mr. Smith.....	163
9	Examination By Ms. Link.....	163
10	Examination By Chair Mitchell.....	165
11	Examination By Commissioner Clodfelter.....	167
12	GRID EDGE PANEL OF LON HUBER AND TIM DUFF	PAGE
13		
14	Direct Examination By Ms. Fentress.....	169
15	Prefiled Rebuttal Testimony of Lon Huber and .. Tim Duff	173
16	Prefiled Summary Testimony of Lon Huber and ... Tim Duff	189
17		
18	Cross Examination By Ms. Cralle Jones.....	191
19		
20		
21		
22		
23		
24		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

E X H I B I T S

IDENTIFIED/ADMITTED

Transmission and Solar	-/85
Procurement Panel Rebuttal Exhibits 1 through 3	
CPSA Transmission Panel Rebuttal ...	-/85
Cross Examination Exhibit 1	
Public Staff Long Lead-Time	121/168
Resources Panel Rebuttal Testimony Cross Examination Exhibits 1 and 2	
Grid Edge Panel Rebuttal	171/-
Exhibit 1	

OFFICIAL COPY

Oct 04 2022

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P R O C E E D I N G S

CHAIR MITCHELL: Let's go back on the record, please. We will continue with questions from Commissioners. And you've completed your questions. Let me see if Commissioner Hughes has questions.

COMMISSIONER HUGHES: Yes, thank you.

Whereupon,

SAMMY ROBERTS, MAURA FARVER,

having previously been duly sworn, were examined and testified as follows:

EXAMINATION BY COMMISSIONER HUGHES:

Q. I want to ask a few questions about an example, because that's how I understand things a little bit better when I'm thinking about something. Let's take an 80-meg state-of-the-art solar plus storage facility, okay? Just -- you got it for your birthday, you unwrap it. This is a question for you on the transmission side.

Can you think of a place to put it where it would just be an ideal asset today? So what you'd be thinking about is I'm gonna go ahead and put it here, and after I do it, my life have -- transmission is gonna be easier, it's gonna be better. Transmission

1 system is gonna be stronger, rather than what's it just
2 gonna cost to put it there.

3 A. (Sammy Roberts) Right. So today, assuming
4 red zone projects or without?

5 Q. Today.

6 A. Okay. Today. Without. So a good question.
7 And, you know, you got to consider the different
8 aspects associated with how that resource is gonna
9 function. So for battery storage coupled with the
10 solar, you're gonna have to consider charging. I
11 believe I stated to the Public Staff the other day
12 that, with respect to that charging, we're not gonna
13 study battery storage for charging on peak, because it
14 doesn't really make sense. You know, that -- you want
15 that energy to be delivering to load to serve customer
16 demand on peak. And from a carbon perspective, you
17 know, displacing coal, if you had coal on during that
18 peak.

19 So, you know, from a transmission
20 perspective, I don't know that I would see solar plus
21 storage as a transmission asset; i.e., deferring
22 transmission, so I don't think I would be placing it to
23 utilize it in that matter. I would be utilizing more
24 so to be able to serve loads.

1 If I could get decent land availability for
2 the solar, ideally I'd place it near a load center.
3 You limit losses, your battery is gonna be discharging
4 at the peak to serve that load center. So that's --
5 ideally that's the location that I would see, if I had
6 the land associated with the solar needs.

7 Q. Does it make a difference if it's -- if it
8 can be charged from the grid? I'm thinking because
9 we're, kind of, settled on that as being, I think,
10 during this hearing as the ideal, so it can get charged
11 from a grid, or does that make a deference?

12 A. Yes. From -- with respect to grid charging,
13 once again, we'll be studying that grid charging and
14 making sure that the transmission system can support
15 that. So yeah, you would have to look at where that
16 energy, if it weren't provided by solar; i.e., cloudy
17 days, rainy days, snowy days, if it wasn't provided by
18 the local solar, then where would that energy come
19 from.

20 Q. I hate to be too hypothetical, but I'm gonna
21 go ahead and say you're given this, it's your birthday
22 gift, you have to install it within the next year.

23 Can you think of a place on the transmission
24 grid that would be your -- like your ideal place? Or

1 can you think of what you would do to find out where
2 that ideal place is? So it's a question at least a
3 little bit more on the benefit side than just how can I
4 minimize my cost.

5 Can you -- you know, what would you do to
6 just go ahead and find that ideal spot where the asset
7 would be somewhat of a benefit?

8 A. Once again, if the land availability was
9 there, it would be near a well-connected 230 substation
10 that was near a load center.

11 Q. Okay. And, I mean, would you have to do any
12 more -- we heard -- we heard that, with it being able
13 to be charged by the grid in going out, it might
14 require actual modeling as a source, you know, not -- I
15 mean, what kind of modeling would you have to do?
16 Would you have to do a lot of modeling to, kind of,
17 confirm that's a good spot?

18 A. Yes. I mean, we'd have to look at it as,
19 once again, a load, but not at the peak. I think, in
20 our practice, we've got some load levels defined at or
21 below this load level it can be charged, or it will be
22 studied for charging. And then the discharge at peak.
23 So you'd look at discharging from that facility during
24 winter peak, you'd look at discharging from that

1 facility probably during solar peak as well as
2 output -- at solar peak, probably output at net demand
3 peak.

4 Q. So, you know, I'm assuming that that's all
5 done through some sort of power flow modeling.

6 And do developers have the same access to
7 that same kind of modeling as you had? I don't know if
8 you were here when I asked --

9 A. Yes.

10 Q. -- a question about what's the single thing
11 that might speed up the interconnect.

12 So if we wanted developers to go and find
13 that same that you picked, do they have all the same
14 information that you have?

15 A. Yeah. So I know they have access to the --
16 like the DISIS study, for example, this time around, or
17 past generator interconnection studies. I know that we
18 post -- we would post those studies -- I think this was
19 true for the transitional cluster study. We would post
20 those study cases where the developer or anyone, a
21 consultant, whoever could access those cases, and they
22 should be able to take those and replicate the results.

23 I heard what Mr. Norris said, but they should
24 be able to take those cases and replicate the results.

1 They would need to have the PowerGEM TARA application,
2 which is what we used. But having that and having
3 those cases, they should be able to replicate the
4 results.

5 Q. But if they didn't want to -- I'm sorry to
6 push, but if they didn't want to replicate and they
7 just wanted to duplicate and do it -- be able to go do
8 it themselves, so they were identifying on their own,
9 kind of -- so when, you know, put it through the study,
10 it was -- there's no surprises.

11 A. Right. If -- go ahead.

12 A. (Maura Farver) Well, I was going to say, I
13 think you're hitting on a really interesting conundrum,
14 that, if a particular location on the grid is flagged
15 as a great location, then lots of projects are going to
16 want to site there. So then when you end up in a
17 cluster, suddenly you have a lot of projects right
18 there, and that spot that used to look great probably
19 won't look so great anymore.

20 And so that's why it's very tricky to provide
21 that kind of guidance as to optimal placement in the
22 way that you're suggesting, because as soon as you make
23 that announcement, then it's probably no longer an
24 optimal spot, because you can exceed the capability

1 there easily. It's a difficult problem.

2 Q. So we're stuck? We can't do what everyone
3 would agree would be -- make the most sense?

4 A. (Sammy Roberts) In the past, that guidance
5 has been provided through -- since at least 2018, that
6 I recall, it's been provided through red zone maps.
7 And that has changed some over time, it's expanded some
8 over time. But we have provided that guidance with
9 respect to if you choose to locate in this area, then
10 you're probably gonna incur network upgrades, and it
11 may take a while to get those network upgrades in
12 service.

13 Now, that's not to say if you locate -- if
14 you request interconnection outside of that red zone,
15 there won't be network upgrades. In fact, I've stated
16 in testimony there probably will be some network
17 upgrades. And it's dependent on volume and location as
18 to what those upgrades are.

19 Q. I know -- I appreciate that. I know I'm
20 simplifying it. But it does seem like those maps might
21 not be enough to really actually find where is gonna be
22 the ideal setting.

23 And the follow-up is getting back to this
24 price signal question. So this would seem like it

1 would be a facility that we would support more than
2 some of the other facilities that we've talked about or
3 you could imagine that were gonna be in places not
4 nearly as beneficial.

5 Do we send the right price signal to that
6 kind of project? Does the RFP process benefit that
7 type of project?

8 A. (Maura Farver) I think if we ever identified
9 a particular area of the system where we felt we really
10 needed that power, then we could direct a general area.
11 You know, if -- so I think that there are examples in
12 other states where they have local RFPs, and in
13 particular -- to meet particular needs.

14 But in the case of solar, usually we're
15 driven so much by land availability and trying to have
16 the right geography/topography, and just the amount of
17 area, that I don't think that predetermining specific
18 locations of where solar would be optimal on the grid
19 is very helpful because it's so dependent on the land
20 availability really.

21 Q. Okay. I won't ask you to go through the same
22 exercise with just a standalone battery where land
23 wasn't quite as much of an issue. But you could think
24 about what the answers would be where we took land out

1 of the equation. But it really helps me to kind of
2 figure out where we're going. That's all.

3 CHAIR MITCHELL: Okay. Commissioner
4 McKissick?

5 COMMISSIONER MCKISSICK: Actually, I
6 think the panel's done a great job in responding to
7 questions I had in the back of my mind,
8 particularly as it related to public of staff
9 issues. So I don't have any further questions.

10 CHAIR MITCHELL: All right.
11 Commissioner Kemerait?

12 EXAMINATION BY COMMISSIONER KEMERAIT:

13 Q. Yes. Good afternoon. Ms. Farver, I've got a
14 couple of questions related, I think, to your statement
15 on page 6 that you already quoted or read on line 15,
16 which states, "To date, these red zone upgrades have
17 created insurmountable cost hurdles for developers.
18 One or two projects being asked to bear the upfront
19 costs" -- excuse me, "the upfront burden of that cost."

20 And so my question's gonna relate to that and
21 then also some information that you provided to CPSA's
22 attorney in response to his questions. But for future
23 solar procurements after the 2022 solar procurement, my
24 understanding is that there would be potentially two

1 ways to allocate the transmission cost that would be --
2 that a generator would trigger for those transmission
3 upgrades.

4 And the first one you, I think, explained a
5 response to questions would be that in the bid
6 evaluation process in the solar procurement, that the
7 costs would be allocated. The costs that were assigned
8 to the generator in DISIS would be evaluated in the bid
9 process, correct?

10 A. (Maura Farver) Correct.

11 Q. And then the second possible way that I don't
12 think you talked about, but I'd just like to see if
13 this is correct, is that there would be the potential
14 that the generators would be responsible for paying for
15 those costs themselves. They wouldn't just be
16 allocated, but the costs that are assigned in DISIS,
17 the generators would have to pay for in the solar
18 procurement.

19 Is that another -- another way that it could
20 be handled?

21 A. Correct.

22 Q. Okay. And then, I guess in response to the
23 statement that you made on page 6, and then we heard
24 testimony that about 3,500 or 3,600 megawatts of

1 projects that have bid into the 2022 solar procurement
2 are located in the red zone area. And I recognize that
3 you said that some of the projects may drop out of
4 DISIS before -- before phase 2 of DISIS, so that number
5 is not certain for sure.

6 But with this greater number of megawatts in
7 projects, have you done any analysis about whether
8 these projects now would be able to pay for their
9 network upgrade costs, because it would be -- those
10 large costs would be shared among a greater number of
11 projects, or at least a greater number of megawatts?

12 A. I have not done an evaluation to that effect.
13 I think we'll have to wait for the DISIS phase 1
14 results before we'll see how those costs are spread
15 over the generators that are currently in this cluster.
16 I think I'm missing the other part of your question.

17 Q. So that is my question. So after you look at
18 the results, is that something that you will be
19 considering or is that an analysis that will be -- that
20 will be performed?

21 A. So I don't know that we currently have any
22 other mechanism to distribute those costs that are
23 triggered, except what's designed through the
24 interconnection process or through proactive

1 transmission planning. So I think those are really the
2 two avenues that are available to us. And the reason
3 that we are recommending moving forward with the red
4 zone upgrades is because that brings us to a scenario
5 where, ultimately, the costs are spread over a much
6 larger swath of projects and we don't fall into the
7 same pattern of costs falling to not enough megawatts
8 and not moving forward. Costs falling to not enough
9 megawatt and not moving forward. And so that is the,
10 as I understand it, avenue available to us today to
11 move these forward.

12 And over time, they will be spread over many
13 megawatts, but today we don't have perfect foresight as
14 to how many exactly megawatts there will be.

15 Q. And that's helpful. I think the one thing
16 that I would like to some clarification about is that,
17 if the red zone upgrades are approved by the NCTPC as
18 the public policy projects, if that were to occur, then
19 they would not be included in the base plan or the
20 baseline. And so then they would not be allocated
21 among the projects in the solar procurement. So I'm
22 seeing a little bit of a disconnect here, so maybe I'm
23 misunderstanding it.

24 A. Let me see if I understand your question

1 correctly. So if they're approved by the NCTPC and
2 they move forward, for the '22 procurement it was our
3 understanding from the Commission's order that they
4 should be part of the evaluation for the '22 RFP. I
5 think that how they're incorporated into the evaluation
6 for '23 and beyond is still to be decided.

7 And so it might be that, if they are approved
8 and they're in the baseline for a '23 DISIS, that there
9 might be something to design in the RFT such that it's
10 not just zero assigned to those red zone projects, but
11 that there's some cost reflected in the evaluation
12 process to recognize that there was a transmission cost
13 associated with it. Is that what you mean?

14 Q. That's very helpful, to understand that there
15 might be a mechanism for some sort of allocation even
16 if they're approved by the NCTPC. So thank you.

17 A. That would be new territory for us, but I
18 think there's certainly much that we still have to
19 design for our next RFP.

20 Q. Okay. Thank you.

21 CHAIR MITCHELL: All right. Any other
22 questions, Commissioners? You may.

23 EXAMINATION BY COMMISSIONER HUGHES:

24 Q. Is it possible that the rankings for the RFP

1 could be really different, depending on whether you
2 take into consideration -- I think it is, but whether
3 you take into consideration the transmission cost?

4 So if -- if we had -- if take that off the
5 table and just rank the -- rank the prices and then
6 we -- you have that ranking, and then you add the
7 transmission and you have a different ranking, which
8 ranking will you use, just the second ranking?

9 A. The way the 2022 solar procurement is
10 designed is that we would use the ranking with
11 transmission costs included.

12 Q. Okay. So if there was -- had been a decision
13 midstream or -- to actually go ahead with the red zone,
14 then the result of the RFP is we are no longer taking
15 in the low-cost projects by the time they get
16 connected?

17 A. It would have, you know, potentially changed
18 the ranking because projects located in the red zone
19 would -- if the red zone upgrades were already approved
20 at this point in time and had been approved prior to
21 this RFP, if they were, you know, already included in
22 our local transmission plan, then we would not be
23 assigning those costs to generators in DISIS.

24 And so to that extent, it would have an

1 impact on what the ultimate costs are assigned to those
2 generators and it would theoretically change the
3 ranking.

4 Q. I mean, it seems like, if that's the case,
5 the outcome is not gonna be the least cost for
6 customers, because they're gonna -- they would be
7 paying the socialized red zone costs, and then now they
8 are no longer getting what competition did for driving
9 down the price, because it's -- the ranking is based
10 on -- so customers, it would seem like, are not gonna
11 get the actual least cost of the projects.

12 A. (Sammy Roberts) So if put a developer hat
13 on, and I know that transmission cost is not an
14 obstacle, bidding on a project in the red zone, my bid
15 is probably gonna be lower to ensure it's competitive
16 and it wins.

17 A. (Maura Farver) I'd also add that things were
18 moving very quickly to get the '22 RFP off the --

19 Q. No, no, no, I understand.

20 A. Well, I mean, this is -- if the red zone
21 upgrades are approved by NCTPC and, sort of, ready for
22 the baseline in '23, all of these future projects will
23 show that as part of their baseline. So it's not a
24 continual --

1 Q. Right. It's just the 2022.

2 A. -- issue, necessarily, it's, sort of, a
3 limited slice of this '22 RFP wouldn't have had the
4 foresight of knowing that those upgrades were going to
5 be paid.

6 Q. That makes sense. Okay. Thanks.

7 EXAMINATION BY CHAIR MITCHELL:

8 Q. Okay. So I just have a few to follow up on
9 the discussion that you all have been having on the red
10 zone projects as well as procurements. Because I -- I
11 thought -- I'm just confused at this point and I -- I
12 don't -- I'm hoping I can not be confused by the time I
13 get out of this hearing room. And that may -- that's
14 my plan. And we all know --

15 A. (Maura Farver) I hope we can help.

16 Q. Okay. So the way I understand what the
17 Companies are asking of this Commission in this
18 proceeding is that the Companies want us to indicate
19 that the red zone projects are needed to enable the
20 solar targets identified in the portfolios that are
21 included in the Carbon Plan.

22 Do I understand the Companies' request
23 correctly?

24 A. (Sammy Roberts) That's -- excuse me, that's

1 correct. We're requesting acknowledgement that the red
2 zone projects are needed to be able to execute the
3 Carbon Plan.

4 Q. And so if we give the -- if the Commission
5 gives the Companies that acknowledgement, then what?

6 A. As stated, with respect to the NCTPC process,
7 we've got to present the supplemental studies to the
8 TAG, and then, end of the year, present the local
9 transmission plan draft. The Commission order should
10 coincide with around the time the NCTPC publishes a
11 final -- final report. And so, you know, we would hope
12 to have that Commission acknowledgement to use to
13 bolster that yes, these need to be in the local
14 transmission plan. Because until that final report is
15 published online, they're not in the local transmission
16 plan.

17 Q. So if they're in the local transmission plan,
18 assuming that the NCTPC votes to include them in the
19 local transmission plan, how does the Company act on
20 that?

21 A. If they're in the local transmission plan,
22 they're considered part of our transmission additions
23 plan at that point.

24 Q. And so the Company -- I'm sorry, I didn't

1 mean to interrupt you.

2 A. No worries. They become projects as part of
3 the transmission additions plan.

4 Q. So the Company would construct, and it would
5 be capital investment just like any other capital
6 investment the Company makes?

7 A. That's correct.

8 Q. Okay. Before you-all came back on rebuttal,
9 I thought I understood your testimony to be that the --
10 if the Company -- if the Commission were to give you
11 this acknowledgement and the Companies were successful
12 in convincing the OS -- the OSC; is that right -- to
13 vote on -- to vote to approve the projects, the
14 projects would be included in the local transmission
15 plan or the baseline for the 2022 procurement; did I
16 misunderstand that?

17 A. So they would become part of the baseline for
18 the 2023 --

19 Q. Okay.

20 A. -- DISIS.

21 Q. Okay.

22 A. (Maura Farver) There might be --

23 Q. 2023. So for the next DISIS window; is that
24 right?

1 A. (Sammy Roberts) That's correct.

2 Q. Okay.

3 A. I think Ms. Farver has a clarifying.

4 Q. Okay. Please, Ms. Farver.

5 A. (Maura Farver) Correct me if I'm wrong, that
6 when a transmission upgrade is part of the local
7 transmission plan, it would -- the cost of that upgrade
8 would then not be assigned to a generator in their
9 ultimate interconnection agreement. And so I think
10 there's a timing question here of when exactly that
11 becomes official in the transmission plan.

12 The -- I don't know if it would be in time
13 for a phase 2 cost estimate to assign that cost
14 elsewhere or if it would still be on the generator, but
15 by the time the interconnection agreement is signed in
16 Q1 early 2024, it may have become a contingent facility
17 at that point, in which case the cost would not be
18 assigned to the generator and the ultimate
19 interconnection agreement.

20 Q. Okay.

21 A. Mr. Roberts, please correct me if I've
22 misstated that.

23 A. (Sammy Roberts) Yeah, so, I mean, all that
24 sounded correct in a normal world, but we're not in a

1 normal world. And so the way the 2022 procurement is
2 structured, it seems like we would have to move forward
3 with evaluating these projects, and the costs included
4 would consider the red zone expansion plan projects.

5 Q. Okay. So -- okay. So --

6 A. (Maura Farver) So I may have misspoken in
7 that the costs won't be assigned elsewhere until the
8 2023 DISIS begins.

9 A. (Sammy Roberts) Right. That's my
10 understanding.

11 Q. So then all of those red zone-dependent
12 projects that are participating in 2022, it's likely
13 that they're not gonna move forward unless --

14 A. (Maura Farver) It will depend on how many of
15 these upgrades an individual project hits and what the
16 allocation is.

17 Q. So there's a chance that before -- I'm
18 just -- I'm trying to work out timing here. So there's
19 a chance that if -- if a project in the 2022 -- if a
20 bid in the 2022 procurement is dependent on a red zone
21 project, that it could be assigned costs associated
22 with that red zone project if you-all haven't been able
23 to add the red zone projects to the baseline?

24 A. I think it --

1 Q. Given the timing of our order and your
2 ability to get it through?

3 A. I think it is a question of timing as to when
4 the official approval comes, when the cost estimates
5 are provided, and when the reports and the ultimate
6 interconnection agreement is executed.

7 Q. Okay. I'm just trying to figure out. We
8 have watched -- we watched CPRE tranche 3 fall apart.
9 That's my word, just a simple shorthand. Then we kind
10 of watched the transitional cluster -- you know, we all
11 know what happened to the transitional cluster. Then
12 are we gonna say the same thing happened with 2022 if
13 we were to -- well, I'm just -- that's a -- don't even
14 answer that question, it's just a -- it's just a sort
15 of thought that I have in my mind.

16 So for -- you've done -- I appreciate your
17 hanging in there and answering these questions. I'm
18 just trying to get through all of this. But the -- and
19 you've talked -- you've responded to questions from
20 Commissioners about -- I think Commissioner Kemerait
21 said post 2022 there would be two ways to deal with --
22 again, these were my words, deal with upgrade costs.
23 Upgrade costs, specifically the red zones.

24 And you mentioned including them in the bid

1 evaluation process so that each bid is allocated, you
2 know, a certain percentage of upgrade costs that it
3 triggers. Or the generator could be responsible for
4 paying whatever percentage of the upgrade costs it
5 triggers.

6 Did I understand that correctly?

7 A. I think that was a good summary.

8 Q. Okay. Is it -- but why is that just post
9 '22. I mean, couldn't that still happen in the 2022
10 procurement? Couldn't that same approach, either of
11 those two options?

12 A. I believe it would require the Commission
13 changing the stance that it shouldn't be included in
14 the baseline. So we've been designing the '22 RFP
15 based on the Commission's order that these upgrades
16 would not be in the baseline, and so I imagine that
17 would have to change in order to change anything to the
18 '22 RFP.

19 Q. Okay. And I guess I didn't understand
20 Commissioner Kemerait's question to be assuming the
21 projects were included in the baseline. I just
22 assumed -- was that your question? Okay. I understood
23 her question to be how are we gonna deal with network
24 upgrade costs going forward.

1 Because, you know, I guess my -- my question
2 at this point is, we've been using the world
3 "allocated," and we -- and probably the conflation here
4 is mine. We allocate -- we could allocate costs to
5 bids for purposes of determining their
6 competitiveness -- that's kind of what Commissioner
7 Hughes was getting to -- or we can ultimately allocate
8 costs.

9 And in certain respects, you know, we've been
10 through this in many different proceedings now where we
11 understand, at the federal level, costs are allocate --
12 we're talking about federal jurisdictional costs,
13 they're allocated in accordance with the Companies'
14 OATTs on file with the federal government. But -- but
15 there are also costs -- or there are state
16 jurisdictional costs that aren't subject to that
17 federal allocation process that's established at the
18 federal level.

19 Do I understand that correctly? And do I
20 understand that costs -- let me ask a non-compound
21 question.

22 Do I understand that we've been talking about
23 that costs could be allocated either to a bid for
24 evaluation competitiveness purposes, or costs -- and/or

1 costs can be allocated to the generator for payment
2 purposes? I'm just talking about we can use term in
3 one of two ways.

4 A. (Maura Farver) Yes, I agree, we've been
5 talking about it in both. That sometimes we're talking
6 about allocation just in the bid evaluation --

7 Q. Right.

8 A. -- and sometimes we've been talking about
9 allocation in terms of assigning that cost to the
10 generator for them to pay in order to interconnect.

11 Q. For them to ultimately pay. And I'm sorry I
12 spoke over. You let me --

13 CHAIR MITCHELL: I'm sorry, Joann.

14 Q. So -- okay. So going forward, we just need
15 to be careful when we use the word allocation, if we're
16 talking about allocating the bid for the purposes of
17 determining its competitiveness, or allocating to the
18 ultimate payer.

19 My question for this panel is, so if we give
20 the Company what it wants, what it's requested on the
21 red zone, which is an acknowledgement that they're
22 needed to move towards the Carbon Plan obligation --
23 951 obligations the Company now has, does that -- does
24 the Company take from that any implications or does the

1 Company become obligated in any way with respect to
2 then how it recover those -- recovers those costs?
3 Meaning then is it obligated to recover those costs
4 from its ratepayers, or could it turn around and devise
5 a cost allocation scheme or paradigm that could involve
6 recovery from generators? Direct assignment approach.

7 A. (Sammy Roberts) I don't know of any cost
8 allocation methodology that is currently in place --

9 Q. Okay.

10 A. With respect to assigning those to a
11 generator after they're approved and in the
12 transmission additions plan not associated with a
13 specific generator interconnection.

14 A. (Maura Farver) I'm not aware of a different
15 way that we could assign those costs, and that's
16 probably a legal question or legal interpretation as to
17 is there some other mechanism for cost allocation aside
18 from the generator or through the local transmission
19 plan. I don't know. I'd want to check with FERC
20 attorneys and others.

21 Q. Okay. So I'll ask my question one more time.
22 I understand what each of you is saying. I'll ask it
23 one more time, because my question wasn't clear.

24 If we approve -- or if we acknowledge that

1 the red zone projects are needed, and then the Company
2 moves forward to -- with the NCTPC process, gets the
3 approval it needs there, and then includes the --
4 includes those transmission projects in its
5 transmission addition plan and ultimately builds them,
6 is there anything keeping the Company from
7 recovering -- if it's directed to do so by the
8 Commission, recovering certain of those costs from
9 generators?

10 A. I think that's a legal question that I don't
11 know the answer to.

12 Q. Okay. Okay. That's fair. That's fair. And
13 has the Company given thought to how we -- if we move
14 forward with the red zone projects, as the Company has
15 requested and is planning to do based on testimony
16 y'all provided and in the Carbon Plan itself, how do --
17 how can the Companies, and therefore the Commission, be
18 certain that customers are getting the most
19 competitively priced solar that there is? And by
20 "competitively priced," I mean taking into account all
21 of the costs that those specific facilities are
22 imposing on the network.

23 A. As a hypothetical, I think there's probably
24 an opportunity in future RFPs to include a piece of the

1 evaluation to take this into account. I don't have a
2 proposal or details worked out today as to what that
3 would look like. But I think that that is something
4 that could be designed for and included in an RFP
5 evaluation.

6 Q. So post 2022?

7 A. Yes.

8 Q. Okay. So 2022, the plan would be for the
9 Company -- again, make sure I'm clear. The plan would
10 be or the Companies' plans or proposal is that,
11 assuming again the Commission acknowledges they get
12 through the NCTPC process, that -- that while bids may
13 be allocated in the bid evaluation process, percentages
14 of the upgrade costs that the bid triggered, those
15 costs ultimately are not gonna be collected from the
16 generator, but they would rather be collected from
17 ratepayers at large?

18 A. If they are approved at the time, then yes,
19 the assumption would be they would not be paid by the
20 generator.

21 Q. And I understand the timing issue. Assuming
22 the timing works out such that they could be included
23 in part of the 2022 process.

24 A. I think that's right.

1 Q. Okay. We haven't talked much about the solar
2 reference cost. In fact, I'm not sure if anybody's --
3 if it's been brought up. I don't think an intervenor
4 has brought it up. And I'm just curious, and if you're
5 not the panel to address this, y'all don't hesitate to
6 let me know.

7 We -- in the CPRE tranches, the -- pursuant
8 to this statute, the bids were subject to an avoided
9 cost -- we think of it as an avoided cost threshold.
10 The bids were evaluated for competitiveness against the
11 then in effect avoided cost, and that included
12 considering network upgrades in conjunction with the
13 cost of the -- you know, the output of the facility.

14 And so CPRE actually, kind of, did, in my
15 mind, what you guys are -- what I've heard you
16 testifying to, Mr. Roberts, in that it considered
17 transmission costs and generation costs together. At
18 least, sort of, in my simple mind. The -- we -- we are
19 now beyond -- we're looking beyond CPRE to this 2022
20 procurement and then future procurements that the
21 Companies will have to conduct to comply with its
22 obligation -- their obligations under the legislation.
23 And, you know, we have been presented with this concept
24 of the solar reference cost.

1 And how -- help me understand how the solar
2 reference cost will function as an -- will function
3 like the avoided cost, because with the avoided cost
4 threshold, we could have some confidence, and a pretty
5 high level of confidence that ratepayers were protected
6 or getting a good -- getting a, you know, most
7 competitively priced solar output.

8 Are we there with the solar reference cost?

9 A. Subject to my colleagues on the modeling
10 panel's expertise, I think that the solar reference
11 cost is a good mechanism for the world that we're in
12 now. We're using the best information we have
13 available to create that forecasted cost, and there is
14 a transmission cost expectation built into that solar
15 reference cost.

16 And so what we designed in the '22 RFP was a
17 mechanism to check and adjust inflate, essentially. So
18 by having this deviation from the solar reference cost
19 leading to change -- a change in the volume
20 potentially, that was our way to check and adjust when
21 we were, sort of, in real time.

22 Q. Okay. Okay. And there is also the downward
23 bid adjustment opportunity in the 2022 procurement.

24 And can you help us understand the function of that --

1 what does the Company expect to see as a result of that
2 part of the process?

3 A. Do you mean the bid refresh?

4 Q. Yes, the bid refresh.

5 A. That was an important consideration in this
6 RFP, because there was a lot of uncertainty about what
7 was going to happen with the tax incentives. And so we
8 knew there was a decent chance something would change,
9 but we didn't know when or how it would change. And so
10 this, essentially, allows an opportunity for bidders to
11 sharpen their pencils and come back with a more
12 competitive price if they're able. They don't have to,
13 but it does offer that opportunity. And so I think
14 that's really helpful for customers to make sure that
15 they're getting the best offers available in the RFP.

16 Q. And we anticipate -- let me ask the question
17 this way.

18 Do the Companies anticipate that by the time
19 the bid refresh period opens, window of time opens,
20 that there will be sufficient understanding about the
21 tax credits and availability of the tax credits, that
22 those can be -- that that revenue can be taken into
23 consideration for bid refresh purposes?

24 A. It is unclear to me what level of detail

1 we'll have from the IRS at that point in time.

2 Q. Okay.

3 A. But certainly the more time that goes on, the
4 more clarity we should have about how those benefits
5 can be achieved.

6 Q. In my mind, you know, those are critical
7 benefits that should inure to ratepayers.

8 So do we need to move that bid refresh window
9 to ensure that the bid refresh process can take into --
10 take -- can sort of put some pressure on to --

11 A. I think the problem we run into is there's
12 never a perfect time. And so if we delay this, there
13 will be other uncertainties. We specifically designed
14 the '22 RFP to align with all of these very
15 prescriptive dates in the DISIS process. And so
16 pushing back the bid refresh window -- we pushed it
17 back as far as we thought we could by having it be in
18 early April, because we're trying to announce the
19 winners contemporaneous with the phase 2 results.

20 And then there's a very prescriptive window
21 for interconnection about needing a signed-off take
22 agreement to keep moving forward. So we're stuck
23 between these very set dates for the interconnection
24 process. So I don't know that we would have wiggle

1 room to change the bid refresh date without causing a
2 lot of disruption for the rest of the evaluation.

3 Q. Okay. Okay. Mr. Roberts, did you have a
4 chance to review Exhibit D to the CPSA comments that
5 were filed in this docket?

6 A. (Sammy Roberts) I may have, but I don't
7 recall Exhibit D.

8 Q. Okay. I asked Mr. Norris about them
9 yesterday. I think it was yesterday. They -- the --
10 it's an exhibit that was prepared by -- or on behalf of
11 CPSA, and Mr. Norris testified that Cypress Creek
12 Renewables had been involved in the development of the
13 analysis. And it basically is a GIS analysis of
14 acreage and the two -- in DEP and DEC's service areas
15 in both North and South Carolina. And it identifies
16 these clusters of viable, you know, acreage for solar
17 development.

18 CHAIR MITCHELL: Do you-all have a copy
19 you could put in front of him, please?

20 THE WITNESS: (Sammy Roberts) I thought
21 I may have a copy of it.

22 Q. And if you haven't -- if you haven't reviewed
23 this or had an extensive amount of time to think about
24 it, I'll keep my questions very brief.

1 A. (Maura Farver) What was this from again?

2 A. (Sammy Roberts) I can recall. It's a map
3 with like the number 6 zone in DEC.

4 Q. Yes, yeah. Do you remember this? I'm hoping
5 y'all's counsel can pull something out of the box over
6 there.

7 MS. KELLS: I think we have it.

8 Q. So the -- my question for you-all is this.
9 Assuming you've looked at it -- and here comes your
10 counsel.

11 But do you have any thoughts about -- do you
12 have any thoughts about transmission, the state of the
13 transmission system in these areas? I mean, other than
14 obviously the red zones that are located here.

15 A. Right. So number 3 includes a red zone,
16 itself. Number 2, that's where we were talking about
17 the same corridor as the offshore wind transmission.
18 And so, I mean, there's probably some capability there,
19 but it probably won't be long before 115 kV line will
20 show overloaded. So you'll probably run into a red
21 zone there being created before too long, looking at
22 the DISIS.

23 Number 5 is red zone. Number 6 is red zone.
24 Number 4 is red zone. So that leaves number 1, and I

1 think topology and land availability is an issue in the
2 number 1 region.

3 Q. Okay. Okay. The -- you, sort of, gave me
4 my -- answered my questions about transmission
5 availability or transmission -- state of the
6 transmission system.

7 But the -- if we think about, on a
8 going-forward basis, integrating transmission planning
9 with generation planning as the Companies grapple with
10 the generation they're gonna have to bring online, is
11 this a way to start that process, looking at acreage
12 that's suitable for solar development and then
13 identifying -- you know, figuring out what the
14 transmission system looks like in those locations?

15 I'm just trying to get a sense of how to
16 distill your recommendation of integrating planning for
17 the two -- for generation and transmission into some
18 action items or some concrete steps that we can think
19 about.

20 A. Right. So I mean, the one thing that we had
21 to -- we were able to rely on with respect to knowing
22 the red zone projects would be used and useful and
23 allow us to execute this Carbon Plan is -- are the
24 prior generator interconnection requests. So we're not

1 gonna have that going forward, right? We had the 2022
2 DISIS which has, what, 5,000 megawatts, 4,900 in the
3 red zone. So we had the 2022 DISIS that informs us a
4 little bit too with respect to a lot of solar and DEC
5 and DEP wishing to interconnect.

6 I mean, as far as studying it from a zonal
7 approach, and then -- I'm forgetting what Mr. Norris
8 recommended. But would procuring from a zonal
9 approach, is that what you're asking?

10 Q. No. I'm just -- I mean, that's one place
11 where you could go if you -- if you start with the
12 assumption that should we be looking at area where
13 there's suitable land for solar development. Because
14 one of the things that the Commission has been hearing
15 is there's a limit on suitable land. And the most
16 suitable land for solar development is in the red
17 zones, that's why they're all there and that's why they
18 continue to show up there.

19 A. Right.

20 Q. So, sort of, getting beyond the red zone,
21 looking out into the future, should we start with where
22 is land? Where is land suitable for solar development,
23 and then identify the most efficient places to locate
24 on the transmission system, sort of, when you overlay

1 transmission system with that land?

2 A. Yeah. I mean, can we can look at -- kind of
3 like with the NCTPC -- NCTPC wind study and look at,
4 you know, different capabilities of injection into the
5 transmission system at various points. And then
6 overlay that injection capability with the land
7 availability with the map. I forget what figure it is,
8 but there's a figure in the testimony that shows the
9 high solar viability from a land perspective, parcel
10 perspective. So you could overlay that injection
11 capability with land availability.

12 Q. Okay. Okay. And then -- and then identify
13 locations on the grid that would be conducive to
14 lower-cost solar development when you consider both the
15 cost of generation and the cost of the transmission?

16 A. Right. I mean, ultimately, it gets down to
17 the, you know, developer saying I have a land lease at
18 that area, whatever. I mean, they -- they would have
19 to select and bid in that location and megawatt size to
20 take advantage of that screening, so to speak.

21 Q. Okay.

22 A. I don't know the proper way to make that
23 happen, that piece.

24 Q. Okay. All right. I think that's all for me.

1 Let me just make sure.

2 Mr. Roberts, I just want to make sure I'm
3 clear on one thing. Tyler -- Tyler Norris yesterday
4 testified that developers didn't have -- couldn't
5 replicate the power flow modeling. And you just
6 testified in response to one of the Commissioners that
7 you didn't -- that you didn't understand why developers
8 couldn't replicate.

9 A. Right.

10 Q. Is that what you were talking about?

11 A. Yes.

12 Q. Were you talking about the power flow
13 modeling?

14 A. Yes.

15 Q. Okay.

16 A. He should be able to take the posted cases or
17 the DISIS or transitional cluster study and be able to
18 replicate those results.

19 Q. Okay. Assuming that they have some sort
20 of --

21 A. It's a -- called TARA, T-A-R-A, application
22 by PowerGEM.

23 Q. Okay. And is that a -- is that an obscure
24 piece of technology, or would it be your -- a

1 reasonable assumption that a sophisticated solar
2 developer would have access to that?

3 A. If they have, you know, a little bit of power
4 flow skills, transmission-planning skills, they can
5 probably use it or learn to use it.

6 Q. Okay. Understood. All right. I think
7 that's all I have. Thank you both for responding to my
8 questions.

9 COMMISSIONER HUGHES: Every time you
10 ask, I need to follow up.

11 CHAIR MITCHELL: Well, Duffley has
12 beaten you, so Duffley.

13 EXAMINATION BY COMMISSIONER DUFFLEY:

14 Q. So can you remind me, with respect to the
15 2022 DISIS RFP, is it similar to the CPRE process where
16 the bids that come in do not reflect paying for the
17 upgrade -- network upgrade costs, but rather, those
18 network upgrade costs are assigned afterwards for
19 bid-ranking purposes?

20 A. (Maura Farver) We designed the '22 RFP
21 slightly differently. So for the PPAs, there is what
22 we've called a part A and a part B bid price. So part
23 A is just as CPRE was, that would include
24 interconnection facilities but not any system upgrades.

1 Part B is an adder for what that developer
2 would be seeking in dollars per megawatt hour per
3 million dollars of system upgrades that are assigned,
4 and that would be additive to their part A price.

5 Q. Okay. Thank you. And that is -- the
6 two-part bid is before they know the assignment; is
7 that correct?

8 A. Right. And part B was designed that it's per
9 million dollars of upgrades. So that if it comes in at
10 5-, then it's scaled; if it comes in at \$10 million,
11 then it's scaled.

12 Q. Okay. Thank you for that.

13 And, Mr. Roberts, do you remember my
14 examination or questioning, or however you want to say
15 it, discussion with you about the hypothetical that
16 even -- the hypothetical the other day was, even if you
17 did not have all of the generator interconnection
18 requests for purposes of this hearing, would -- and
19 Duke had to build 100 percent of the solar that Duke
20 feels is needed to meet the Carbon Plan, where did you
21 state -- did you state that the red zone was an area
22 that Duke would choose?

23 A. (Sammy Roberts) Yeah. I mean, once again,
24 due to the land -- land availability, parcel size --

1 sorry. Due to the solar viability in that area where
2 we could have larger solar facilities per
3 interconnection, I definitely believe the red zone
4 would be the location that we would look to for putting
5 these large solar facilities to meet the Carbon Plan.

6 Q. Okay. Thank you.

7 EXAMINATION BY COMMISSIONER HUGHES:

8 Q. So it's obvious there's a little bit of
9 confusion about exactly the specifics of the RFP. So I
10 just want to make sure I understand it and you two are
11 at least in agreement. That whether it's 4,900 of --
12 we're sitting on these exciting 4,900 megs of bids,
13 right, that we're all excited about, was it clear to
14 all of the bidders that they were going to pay their A
15 bid plus some transmission costs no matter what?

16 A. (Maura Farver) So the part B bid is for an
17 evaluation to decide whether the utility will pay for
18 the upgrades or whether the bidder will pay for the
19 upgrades. And so this is explicitly written into the
20 RFP document, and we had stakeholder meetings about
21 that as well, so it should be well understood.

22 This suggestion -- suggestion actually came
23 from our independent evaluator as we were trying to
24 ensure that it was least cost for the utility to pay

1 for those network upgrades as we did in CPRE. This
2 seemed like the right mechanism and was their
3 suggestion for how to verify whether it was more cost
4 effective for customers for the bidder to pay for the
5 upgrade or the utility to pay for the upgrade.

6 Q. But did I hear you, in responding to Chair
7 Mitchell, say that, under the mechanism we have,
8 there's no permitting option B? That at least in the
9 red zone, that for this procurement -- that's where I
10 was confused. For this procurement, what's going to
11 happen is there's going to be an option C, which is
12 their bid and the actual transmission upgrades that are
13 incurred with whoever is left in the accepted bids?

14 A. Can you repeat that, because I'm not sure I
15 understood your question?

16 Q. So somebody bid, they have a bid, that's A.
17 Bid B is essentially assuming that you pay for the red
18 zone, it's socialized, so it's -- right, and they know
19 what it is. But I thought you said a moment ago that
20 there's no cost allocation method that you have now
21 available that they would actually pay B.

22 They're actually gonna pay another price,
23 which is their bid plus the actual upgrade cost, even
24 if they're in the red zone, because the red zone wasn't

1 accepted before the RFP?

2 A. I think I understand. Go ahead.

3 Q. Okay. Yeah, I'm sorry --

4 A. I think I understand.

5 Q. Yeah.

6 A. So the part B is not a flat, you know,
7 millions of dollars. It's dollar-per-megawatt-hour per
8 million dollars of upgrade. So that bid, if it were in
9 the red zone, and let's say it hit everything and had a
10 very high price tag associated with it, so that slider
11 bar would go up. So if it's \$30 million of upgrades
12 and it was a dollar --

13 Q. Yeah, I'm with you on A and B, yeah. Excuse
14 me.

15 A. And so if the red zone upgrades are approved
16 by NCTPC and that all happens by, I think, May when the
17 phase 2 report would be issued, then for our
18 evaluation, we would use that \$30 million of network
19 upgrades as we ranked that bid. But since their
20 ultimate interconnection agreement would not have the
21 \$30 million in it, because it would get paid for in a
22 different way, they would not have the part B as an
23 adder. So if the \$30 million went down to one --

24 Q. Okay. I misunderstood your -- okay. Okay.

1 That makes sense. I thought you were saying that even
2 if we -- even if the red zone got approved in May, it
3 doesn't matter, because it wasn't made out that way in
4 the RFP. That's what I thought you said. I
5 misunderstood.

6 A. For the evaluation. That was kind of getting
7 at the distinction between the evaluation.

8 Q. Okay. But for the cost allocation --

9 A. I think that's to be determined with the
10 exact timing.

11 Q. Right. And if we don't -- okay. I just
12 misunderstood. And if the red zone is not part of the
13 final, then there is going to be this point C that is
14 the -- their bid A plus the actual cost of the red
15 zone?

16 A. It will be -- yes, I'm sorry. B times
17 whatever that cost is added to A, yeah.

18 Q. Okay.

19 CHAIR MITCHELL: Any additional
20 questions? Go ahead.

21 EXAMINATION BY COMMISSIONER CLODFELTER:

22 Q. Mr. Roberts, this may be a question for the
23 Long Lead Resources Panel, but you're the transmission
24 guy and I just remembered that, if I let you get away

1 and then they refer a question back to you, I'm
2 stumped.

3 A. (Sammy Roberts) I'm on the Reliability Panel
4 too, so.

5 Q. Oh, that's right. But this is not a
6 reliability issue, really. It's not a reliability
7 issue. So let me just ask generally.

8 Do you have any understanding about the
9 transmission pathway from this being looked at from a
10 landing point for offshore wind at Emerald Isle up to
11 an injection point in New Bern? Do you know anything
12 about the transmission pathway there?

13 A. Yes, I do.

14 Q. Well, then let me ask you the question, then.
15 In the Long Lead Resources Panel direct testimony, we
16 were told that one of the pathways that is being looked
17 at is to land -- from Carolina Bay to land it somewhere
18 around Emerald Isle, and then to bring it up to New
19 Bern for injection into the grid. And that -- from the
20 map I'm looking at, that looks to be about 70
21 kilometers of onshore transmission.

22 Would that be an existing transmission
23 right-of-way, a pathway that you'd upgrade? Would it
24 be a greenfield transmission line? What would that

1 pathway be?

2 A. Yes, sir, that would be new right-of-way.

3 Q. New right-of-way?

4 A. Yes.

5 Q. And what would be the sizing on that
6 potential transmission line?

7 A. Well, it would be a 500 k -- 500 kV DC line,
8 if I'm correct.

9 Q. 500 kV DC?

10 A. Yes.

11 Q. I'm glad I asked you the question. Thank
12 you, sir.

13 CHAIR MITCHELL: All right. Questions
14 on Commission's questions? Start over here.

15 MS. GRUNDMANN: Okay. We're gonna go
16 out of order. This is Carrie Grundmann for
17 Walmart, because I want to follow up on pretty much
18 every Commissioner's question to make sure that I
19 feel like I understand everything we've just talked
20 about about transmission.

21 EXAMINATION BY MS. GRUNDMANN:

22 Q. So I think Commissioner Hughes clarified for
23 me what happens if -- for purposes of the 2022 solar
24 procurement, if the NCTPC approves the inclusion of the

1 red zone projects in your local plan, then any of those
2 upgrade costs would be assigned for purposes of
3 allocation to the generators, but would not be paid by
4 the generators, but would instead be recovered from
5 customers through some separate mechanism; is that
6 correct?

7 A. (Maura Farver) Very close.

8 Q. I'm so close. Okay.

9 A. Just in the term. Just in the term. And I
10 think this is getting to that using the term allocation
11 if we're talking about for evaluation of the RFP or for
12 actually having the generator pay it.

13 Q. So that's why I used the word "assign" versus
14 "allocate" to try to differentiate.

15 But I'm just saying if the -- if the NCTPC
16 approves the red zone projects and they get added to
17 the Companies' local plan, then generators will not pay
18 those upgrade costs, but they would be assigned those
19 costs when you evaluate them for competitiveness of the
20 bids?

21 A. That sounds correct.

22 Q. Okay. Now, if the NCTPC does not approve the
23 projects by the time of the phase 2 study, then those
24 generators will be assigned the cost of the

1 interconnection and would be required to factor those
2 into their bids?

3 A. They would be required to pay for those costs
4 as part of their interconnection agreement. The bid
5 design has this part B, and so they've already bid what
6 is their adder per million dollars of network upgrades.

7 Q. What do they need to receive if they are
8 assigned those costs for every million dollars?

9 A. Yes.

10 Q. So how much more do they need to earn per
11 megawatt hour if so many million of dollars of costs
12 are assigned to them?

13 A. That sounds right.

14 Q. Okay. So now I think I understand. Now,
15 let's talk 2023.

16 What happens if, after the phase 2
17 interconnection requests are all signed for 2022, the
18 NCTPC approves the Red Zone transmission projects, then
19 who pays for them?

20 A. So it would still be distributed as other
21 transmission upgrades are. It would not be
22 specifically assigned to those generators in the
23 interconnection process. But I think what Commissioner
24 Kemerait was getting at is how do we account for that

1 or acknowledge that in our ranking process.

2 Q. Well, hold on, let me come back to that,
3 because I just want to make sure I understand.

4 So hypothetically, all of the red zone
5 transmission upgrade costs could be triggered by the
6 bids that were submitted in the 2022 solar procurement,
7 correct?

8 A. Hypothetically.

9 Q. So -- but it's also possible that some do
10 not, but that in the 2023 procurement, new projects
11 would get the benefit of upgrades that weren't
12 triggered by the 2022, but that are subsequently
13 included in the baseline for purposes of the 2023
14 procurement? Does that question make any sense? And I
15 can try to reframe it.

16 A. If you can repeat it, that would be helpful.
17 I think I got lost in the details.

18 Q. Me too. If the 2022 solar procurement bids
19 trigger some but not all of the red zone upgrades, and
20 let's just assume that those generators have to pay
21 those costs, but then subsequently, the NCTPC approves
22 the entirety of the red zone project, then for purposes
23 of 2023, do all of those projects -- are they then
24 going to be considered in the baseline for any bids

1 that would be received by the Company in 2023 solar
2 procurements and beyond?

3 A. That's accurate. Once they're in the
4 transmission plan or once they're assigned to a prior
5 generator who has signed an interconnection agreement,
6 then they would be in the baseline.

7 Q. Okay.

8 A. Did I say that correctly?

9 A. (Sammy Roberts) That's correct.

10 Q. So in the situation where -- and I know I'm
11 in sort of a hypothetical.

12 But in a situation where they were not
13 assigned to the generator, there is a possible
14 situation where some red zone costs would flow through
15 customers and some would be allocated directly to
16 generators? For purposes of who pays the cost, to be
17 clear about my use of the word "allocation?"

18 A. (Maura Farver) I think this is tricky
19 because, ultimately, customers pay for it either way.

20 Q. I don't disagree with you.

21 A. The bid prices changing literally as a lever
22 of that.

23 Q. Understood. I'm just talking about the
24 mechanism where they could be flowing.

1 So we could see some transmission projects
2 that ultimately make their way through base rates and
3 others that make their way through increased PPA prices
4 from third-party generators?

5 A. I think that is possible if these upgrades
6 are, I guess, sort of, established piecemeal. I think
7 that's right.

8 Q. And so in some --

9 CHAIR MITCHELL: All right.

10 Ms. Grundmann, I'm gonna reel you in here some. We
11 are -- this is not cross examination again.

12 Recognizing that Commissioners have asked questions
13 of the witnesses about the red zones and the panel,
14 it's just not -- it wasn't carte blanche to ask any
15 and all questions about it. So please remember to
16 refer to a question that we -- a specific question
17 that we've asked, and ask a follow-up on that
18 question. We cannot go through cross examination
19 of these witnesses on the general topic of the red
20 zone and how those costs are going to be recovered
21 or assigned or allocated or otherwise. So please
22 limit your questions so that we finish this can
23 hearing this week. Thank you.

24 MS. GRUNDMANN: Thank you, Chair

1 Mitchel. I apologize. I was trying to understand.
2 I was somewhat confused. I think those are all the
3 questions that I had.

4 MR. BURNS: I have -- can you hear?
5 EXAMINATION BY MR. BURNS:

6 Q. I have one question for you. In response to
7 Commissioner Mitchell -- Chairwoman Mitchell's
8 question, she was asking whether the Companies
9 understood that by -- or anticipate, by the time the
10 bid refresh window opened, there would be sufficient
11 understanding of the IRA's tax credits.

12 Do you remember that line of questioning?

13 A. (Maura Farver) I recall that.

14 Q. In establishing the refresh window and
15 dealing with the uncertainty that led to the refresh
16 window, was the tax credit the only issue or was the
17 tariff case also injecting some uncertainty into bids
18 and understanding of the market? To your
19 understanding.

20 A. I -- I think there was also a hope that there
21 would be more information about the tariff case. And
22 so having more assurance or indication of where that
23 would land might allow bidders an opportunity to move
24 their bids downward as well.

1 Q. Great. Thank you.

2 MS. CRESS: Chair Mitchell, I would ask
3 that the Commission take judicial notice of Duke's
4 T&D filing as required by Commission rules for a
5 performance-based regulation rate case for Docket
6 E-2, Sub 1300, which was filed August 3, 2022.

7 CHAIR MITCHELL: Did you identify the
8 docket number?

9 MS. CRESS: I think I did, but let me do
10 it again.

11 CHAIR MITCHELL: Okay.

12 MS. CRESS: Docket Number E-2, Sub 1300.
13 The supplemental information Duke provided
14 following the technical conference, which was filed
15 on August 3, 2022.

16 CHAIR MITCHELL: Okay. There being no
17 objection to your request, the Commission will take
18 judicial notice.

19 MS. CRESS: Thank you.

20 EXAMINATION BY MS. CRESS:

21 Q. And following up on a couple -- and I'm not
22 gonna reinvent the wheel here. But just following up
23 on a couple of questions you got about cost recovery
24 mechanism.

1 DEP has already identified RZEP upgrade
2 projects as capital costs that it will seek to recover
3 in its proposed multiyear rate plan in Docket Number
4 E-2, Sub 1300, correct?

5 A. (Sammy Roberts) That's my understanding.

6 Q. And there are, would you agree, subject to
7 check, 11 RZEP projects that Duke is going to seek cost
8 recovery through its MYRP-4 in DEP?

9 A. Subject to check.

10 Q. And the cost of those projects' total,
11 subject to check, would you agree, \$212,345,684?

12 A. Subject to check, yes.

13 Q. How many of those -- this is going to
14 Commissioner Hughes' question on benefits, and I
15 believe also Chair Mitchell asked about maximizing
16 benefits for ratepayers of the RZEP upgrades.

17 How many of those 11 projects have a cost
18 benefit ratio less than one?

19 MS. KELLS: Objection. This is not the
20 rate case, the PVR case. It's not relevant to
21 what -- the Commissioners' questions.

22 MS. CRESS: To be fair, I did tie it to
23 multiple different lines of questions from the
24 Commissioners who asked about ensuring benefits to

1 ratepayers from the RZEP upgrades.

2 CHAIR MITCHELL: I'll over -- I mean,
3 I'm gonna sustain the objection.

4 Q. If the -- and sorry, let me back up. Last
5 question, I believe. Tying this to multiple lines of
6 questions that you got from Commissioners on what
7 happens if the NCTPC votes to include the RZEP projects
8 in the local transmission plan.

9 My question is, if the NCTPC votes not to
10 include RZEP projects in the local transmission plan,
11 will Duke still seek cost recovery through its upcoming
12 multiyear rate plans?

13 A. So we'll still be seeking evaluation and
14 approval of those RZEP projects through the NCTPC
15 process, whatever new study evidence that would
16 require. But, I mean, I think there's -- and
17 intervenors have stated there's ample evidence through
18 multiple studies that these projects are needed to
19 execute the Carbon Plan.

20 Q. Was that a yes or a no to my question?

21 A. So your question, just to repeat, was what
22 happens if the NCTPC does not --

23 Q. No. It was specifically will those costs
24 still be sought for recovery through a multiyear rate

1 plan if the NCTPC votes not to include these projects
2 in the local transmission plan?

3 A. Yeah, I would leave that up to the
4 termination of the rates people.

5 Q. Okay. Thank you.

6 CHAIR MITCHELL: Okay.

7 EXAMINATION BY MR. SNOWDEN:

8 Q. Mr. Roberts, I'm gonna start with the easy
9 one. I'll try to move quickly here. This is following
10 up on questions by Commissioner Hughes and
11 Chair Mitchell about the information that was provided
12 to developers regarding interconnection studies. Do
13 you recall that?

14 A. Yes.

15 Q. Okay. And you testified that Duke provides
16 the base cases used in interconnection studies to
17 developers, and they can input those into Power --
18 PowerGEM; is that right?

19 A. My understanding is we provide the cases
20 associated with the studies performed for the DISIS,
21 and that the person that retrieves those cases would
22 need to have the PowerGEM application called TARA,
23 T-A-R-A, to be able to utilize those cases to reproduce
24 results.

1 Q. Okay. So when Duke does a -- an
2 interconnection study, it takes cases -- it takes a
3 baseline and then it studies that baseline under
4 various scenarios and contingencies, right -- I'm
5 sorry, contingencies, correct?

6 A. That's correct. We look at -- and we provide
7 that file as well, the contingency --
8 contingency-monitored element file.

9 Q. So it's your position that Duke informs
10 developers of exactly what contingencies and scenarios
11 that it is studying in the interconnection process?

12 A. Subject to check, my understanding is that
13 information in a file is provided.

14 Q. Okay. Would you agree that, when Duke
15 identifies an overload in an interconnection study, it
16 does not tell developers what the magnitude of that
17 overload is or what the contingencies or scenarios that
18 triggered it are?

19 A. So the person utilizing those files and using
20 the PowerGEM tool TARA would need to have some
21 knowledge of how to generate the DFAX file from TARA to
22 be able to assess which elements are overloaded. And
23 the line loading percentage, the check and see if the
24 loading percentage was over 1 percent, that's just

1 using the power play numbers.

2 Q. Okay. But Duke does not provide that
3 information directly to developers; is that right?

4 A. Well, the results would be provided in the
5 transition cluster study, or the DISIS study results.

6 A. (Maura Farver) I was gonna say, the phase 1
7 report, I think, has the DFAX contribution of the
8 generators.

9 Q. Understood. But the DFAX contribution is,
10 sort of, the end result of a fairly complex analysis,
11 isn't it?

12 A. (Sammy Roberts) It's the result of utilizing
13 those cases that are posted once the study is
14 completed.

15 Q. Okay. Thank you. So Chair Mitchell and
16 Commissioner Hughes, Commissioner Kemerait asked a
17 number of questions about the timing of the RFP
18 relative to the red zone upgrades.

19 So just to clarify, Duke's proposal is that
20 the red zone upgrades would go into the local
21 transmission plan around January of 2023 if they are
22 approved by the TPC; is that right?

23 A. That's about the time the final report would
24 be posted with the red zone projects included if they

1 were included in the local transmission plan.

2 Q. And bid evaluation for the RFP -- the 2022
3 RFP happens when?

4 A. (Maura Farver) The step 2 bid evaluation?

5 Q. Yes, the step 2 bid evaluation.

6 A. So we'll essentially begin the end of
7 December, and use updated information in April, and use
8 information from the DISIS phase 2, which we hope to
9 receive in early May. I think that was the answer.

10 Q. Thank you. So by the time you do the step 2
11 evaluation, you will know whether the RZEP are in the
12 local transmission plan, correct?

13 A. I think so. I'm not sure how the timing of
14 whether RZEP is in the transmission plan makes its way
15 into the phase 2 process. Since phase 2 will already
16 be underway in December, I'm not sure about the timing
17 of how those two pieces merge.

18 Q. Understood. But when you do the bid
19 evaluation process, you will at least know by that
20 point whether the RZEP are or are not in the local
21 transmission plan?

22 A. I believe so.

23 Q. And you testified that Duke's plan, as of
24 now, is to factor in the full cost allocation of any

1 red zone upgrades into the bid evaluation process for
2 the 2022 RFP, correct?

3 A. That's correct.

4 Q. And you testified that this was driven by the
5 Commission's order in the RFP docket that the RZEP not
6 be included in the baseline for the 2022 DISIS,
7 correct?

8 A. That's correct.

9 Q. And -- but as I believe Chair Mitchell noted,
10 that bid evaluation is not the same as the allocation
11 of costs in interconnection studies; would you agree
12 with that?

13 A. That was what I took her to mean, yes.

14 Q. Okay. And in its order in the RFP docket,
15 the Commission did not tell Duke how it should go about
16 doing bid evaluations for the 2022 RFP, correct?

17 A. I don't think that level of detail was
18 covered.

19 Q. Okay. And as I read the RFP, it lays out the
20 multipart bid structure that you described, but does
21 not specify, in detail, how Duke is going to be
22 considering upgrade costs in a bid evaluation.

23 Do you agree with that?

24 A. Subject to check.

1 Q. Thank you. So Duke's current plan for bid
2 evaluation is what you worked out with -- with CRA at
3 present; is that correct?

4 A. That's correct.

5 MR. SNOWDEN: Okay. Chair Mitchell, I
6 would ask that the Commission take judicial notice
7 of the June 17, 2022, compliance filing by Duke in
8 Docket Numbers E-2, Sub 1297 and E-7, Sub 1268.
9 That's the RFP.

10 CHAIR MITCHELL: All right. Having
11 heard no objection, the Commission will take
12 judicial notice.

13 MR. SNOWDEN: Thank you.

14 Q. Ms. Farver, in the RFP, or with the RFP, Duke
15 provided locational guidance to bidders, correct?

16 A. That's correct.

17 Q. Okay. And if I may -- and that locational
18 guidance indicated that the red zone up- -- red zone
19 areas were constrained, right?

20 A. That's correct.

21 Q. But in the RFP -- and I apologize I don't
22 have a copy of it to review -- but would you agree that
23 in the RFP, Duke said, in essence, the red zone is
24 constrained, however, we have -- we are proposing

1 upgrades to the TPC and so the situation may change?

2 MS. KELLS: I'd just like to ask the
3 Chair to ask counsel how much longer this is going.
4 It seems a little bit --

5 MR. SNOWDEN: I do not have very much
6 more. I am -- and I am following directly on Chair
7 Mitchell and Commissioner Hughes and Commissioner
8 Kemerait's questions about how the red zone upgrade
9 evaluation fits in with the RFP evaluation. So I
10 do not have a set of lines, I'm simply trying to
11 clarify where we stand with regard to red zone
12 upgrades in bid evaluation for the RFP.

13 CHAIR MITCHELL: All right. As long as
14 your questions are following up on questions that
15 we asked and not continuing down --

16 MR. SNOWDEN: Yes, ma'am. I'm not going
17 down any alleys, I assure you.

18 CHAIR MITCHELL: All right. Go ahead.

19 THE WITNESS: Subject to check, I think
20 our final version of the RFP document did not have
21 that statement, because I believe we edited it
22 after the Commission said to not include the RZEP
23 in the baseline.

24 Q. Okay.

1 A. So I'd want to check the final filed version.

2 Q. Okay. Understood. Thank you. So back to
3 the bid evaluation process.

4 If Duke were to, for example, come up with a
5 different way to evaluate the cost impact of upgrades,
6 or the red zone upgrades specifically in the RFP, you
7 would not be upsetting any settled expectations of
8 bidders, would you?

9 MS. KELLS: Objection.

10 CHAIR MITCHELL: Yeah, sustained.

11 Q. Thank you. Okay. We have been talking a lot
12 about, and the Commissioners have asked a number of
13 questions about how the red zone upgrades could be
14 considered in bid evaluation.

15 Is the question of how those upgrades could
16 be considered in bid evaluation appropriate for
17 consideration in the RFP docket?

18 A. I think it's appropriate for discussion for a
19 2023 RFP. I'm not sure that it's appropriate to change
20 the evaluation process mid-flight in the current 2022
21 RFP. So I think it makes sense to discuss this in
22 planning the '23 RFP.

23 Q. But, Ms. Farver, you did just testify that
24 the RFP does not really specify in detail how --

1 MS. KELLS: Objection. We're just way
2 far beyond and wading deep into areas beyond
3 Commissioner questions and this proceeding's
4 purpose.

5 MR. SNOWDEN: I have two more questions,
6 and I believe I'm squarely within the scope of a
7 number of questions that Commissioners have asked
8 on this question of how the red zone upgrade fits
9 in with the bid evaluation.

10 CHAIR MITCHELL: All right.

11 MR. SNOWDEN: I understand I have a
12 short leash, and I have three questions left.

13 CHAIR MITCHELL: All right. Every time
14 that we must -- well, every time that there is an
15 objection and there is a response and then I have
16 to rule on objection also takes the Commission's
17 time as well. So I'm gonna just ask you--all one
18 more time, all sides, please do your best to --
19 please, you--all are capable of limiting your
20 questions to questions that the Commissioners have
21 asked.

22 I asked you all yesterday to identify
23 the question, the specific question verbatim that
24 you were responding to. I've given you some leeway

1 in not requiring that you do that today. But for
2 the sake of regulatory economy, we've got to get
3 through this proceeding. And I ask you all to use
4 your best judgment in helping us get there, and
5 stop straying beyond Commissioner's questions. All
6 right. With that, ask your final two questions and
7 then let's move on.

8 MR. SNOWDEN: Thank you.

9 Q. Ms. Farver, Commissioner Hughes asked if
10 there was a danger -- I believe it was Commissioner
11 Hughes asked if there was a danger that if the --
12 depending on how bid evaluations were done in the 2022
13 RFP, Duke might end up picking a set of projects that
14 are not least cost; do you recall that?

15 A. I recall.

16 Q. Okay. And it's Duke's plan, if the red zone
17 upgrades are approved by the TPC, to designate those as
18 contingent facilities, in which case the costs will not
19 be allocated to individual projects; is that correct?

20 A. I'm sorry, say that again.

21 Q. I'm trying to be very quick. It's Duke's --
22 you testified that it's Duke's plan to designate the
23 red zone upgrades as contingent facilities if they're
24 approved by the TPC; is that correct?

1 A. In the ultimate interconnection agreement,
2 they, I believe, would become contingent facilities if
3 they're approved in a local transmission plan before
4 that time.

5 Q. Thank you. And in that case, the actual
6 project would not bear the cost of those upgrades,
7 correct?

8 A. The generator, in that instance, would not
9 pay the host of the contingent facilities.

10 Q. Thank you. So last question.

11 MS. KELLS: No, that's four questions.

12 Q. Would you agree that there is a danger that
13 if bid selections in 2022 reflect the full phase 2 cost
14 of the red zone upgrades, you could end up picking
15 projects that are not actually lowest cost to
16 ratepayers?

17 A. I think that we are operating the 2022 RFP
18 under the best information we had at the time that the
19 RFP was designed, and so we should stick with the rules
20 and design of the RFP as it was announced to all
21 bidders to remain fair. But this can be a
22 consideration for future RFP cycles where the rules and
23 specifics have not yet been determined.

24 Q. Thank you, Ms. Farver.

1 MR. SNOWDEN: Thank you, Chair Mitchell,
2 for your patience. I have no more questions.

3 CHAIR MITCHELL: All right. We're gonna
4 recess. We'll come back on the record at 3:20.
5 Let's go back on the record.

6 (At this time, a recess was taken from
7 2:56 p.m. to 3:22 p.m.)

8 CHAIR MITCHELL: Let's go back on the
9 record. We'll continue with questions on
10 Commissioners' questions. Who's up? Any
11 additional questions on Commissioners' questions?

12 MR. JOSEY: No.

13 CHAIR MITCHELL: Okay.

14 MS. KELLS: No questions.

15 CHAIR MITCHELL: All right. I actually
16 have one last question, and then I'll let you-all
17 go.

18 EXAMINATION BY CHAIR MITCHELL:

19 Q. The -- and this is for you, Mr. Roberts.
20 Affected system costs.

21 Any affected system costs that would result
22 from red zone projects, how would those be accounted
23 for in the -- either in the NCTPC process or just in
24 general?

1 A. (Sammy Roberts) So I'll just describe what I
2 know about affected systems and how those costs are
3 allocated or how they're paid. My understanding is
4 that, for example, if a solar facility locating in Duke
5 Energy Carolinas created an affected system in Dominion
6 Energy South Carolina, then -- and that was revealed
7 through study that that was actually the case, we have
8 a means for, in our study, if we see a certain level
9 DFAX associated with that solar on a neighboring
10 facility, we'll notify the neighboring facility.

11 If that -- if a study is performed and they
12 say, yeah, we have an affected system, the generator
13 pays for the affected system upgrade, and then the --
14 Dominion Energy South Carolina would reimburse the
15 generator that amount paid for that upgrade and they
16 would collect it through their rates.

17 A. (Maura Farver) But I think that just from
18 executing the red zone upgrades by themselves, doing
19 those network upgrades I don't think causes an affected
20 system upgrade.

21 A. (Sammy Roberts) Correct.

22 Q. Okay. Thank you for that follow-up. That
23 was really my question, is typically we do see -- I
24 mean, I understand that affected system issues would

1 arise in the context of a generator interconnection
2 request. And Mr. Ragsdale testified as to that when
3 here, and so my curiosity was would the actual red zone
4 cause any affected system cost, but you've answered.

5 A. (Maura Farver) Yeah, my understanding is no.
6 By upgrading our transmission system, it's not having a
7 negative impact. That's my understanding.

8 Q. So affected -- so any affected system costs
9 coming out of the red zone would be driven by
10 generators that are actually interconnecting on red
11 zone projects?

12 A. (Sammy Roberts) Right. I believe what
13 Mr. Ragsdale was referring to is short-circuit
14 availability to their PODs. And every two years our
15 protection and controls engineering group provides the
16 available short-circuit to their EMC PODs. And then
17 also, our transmission planners, when they evaluate a
18 generator interconnection, if they see that that
19 short-circuit could potentially elevate that EMC POD
20 availability, they will notify EMC.

21 Q. Okay. And so then what would happen?

22 A. So if, for example, their breaker KA,
23 kiloamperes, rating was too low, then that breaker
24 would need to be replaced. And to be honest with you,

1 I'm not sure how that cost is allocated.

2 Q. Okay. You anticipated my question. Mr. -- I
3 understood Mr. Ragsdale's testimony to be that the cost
4 causer would be responsible for that cost.

5 And so my question is -- or my concern is, if
6 the red zone projects impact the points of delivery --
7 I'm assuming POD is points of delivery?

8 A. That's correct.

9 Q. Okay. That then the Duke utility would be
10 responsible, and ultimately Duke's customers would be
11 responsible for work that's necessitated to fix -- to
12 correct the problem on the point of delivery?

13 A. Okay. And I would say with more IVRs and
14 retiring more synchronous generation, you're gonna have
15 less fault current, not more. And so that's -- I won't
16 say all, but over time, most of their PODs should see
17 less short-circuit availability to their PODs.

18 Q. Okay. So what I'm understanding your
19 testimony to be is that, given the nature of the
20 changes, are the -- the projects you anticipate, the
21 red zone projects, there could be fewer issues than
22 anticipated by the EMCs or --

23 A. That or definitely not exacerbated.

24 Q. Okay. Okay.

1 CHAIR MITCHELL: Did you want to --
2 okay. All right. With that, you-all -- we
3 appreciate very much your testimony today. You-all
4 may step down and be excused. And thank you for
5 your participation in this proceeding. We will
6 take motions.

7 MS. KELLS: At this time, I move that
8 the panel's three exhibits be admitted into the
9 record.

10 CHAIR MITCHELL: All right. Hearing no
11 objection, that motion is allowed.

12 (Transmission and Solar Procurement
13 Panel Rebuttal Exhibits 1 through 3 were
14 admitted into evidence.)

15 MR. SNOWDEN: Chair Mitchell, I would
16 move that CPSA Transmission Panel Rebuttal Cross
17 Examination Exhibit 1 be moved into the record.

18 CHAIR MITCHELL: All right. Hearing no
19 objection to your motion, it is allowed.

20 (CPSA Transmission Panel Rebuttal Cross
21 Examination Exhibit 1 was admitted into
22 evidence.)

23 CHAIR MITCHELL: All right. Duke, you
24 may call your next witnesses.

1 MS. LINK: Duke Energy recalls the Long
2 Lead-Time Resources Panel. And, Chair Mitchell,
3 while the panel is coming up to the stand, just two
4 administrative items. There -- we had just made
5 the filing of revised version of the testimony to
6 omit references to TotalEnergies' testimony because
7 that was withdrawn from the proceeding. So that is
8 now in the docket. I believe you-all have copies
9 and we have shared copies for folks in the room.

10 The other item that was carryover from
11 the direct testimony was how we would manage to go
12 into confidential session at the appropriate time
13 upon questions by the parties or the Commission,
14 and we have worked that out with Avangrid's counsel
15 as to mechanism that would occur. It would be
16 conducted under the standard confidentiality
17 agreement that the parties have filed here, and at
18 the right time we're able to go into confidential
19 session as needed.

20 CHAIR MITCHELL: Okay. So I understand
21 you to mean that you all have come to an agreement
22 on discussion -- the discussion of confidential
23 information in this hearing room?

24 MS. LINK: Yes, Chair Mitchell, we have.

1 CHAIR MITCHELL: Okay. And so if we
2 have to go into confidential session, we'll do as
3 we normally do, cut off the -- we'll clear the room
4 and we will discontinue the stream.

5 MS. LINK: Thank you, Chair Mitchell.

6 CHAIR MITCHELL: Okay. All right.
7 Gentlemen, let's get you sworn in.

8 Whereupon,

9 REGIS REPKO, CHRIS NOLAN, AND CLIFT POMPEE,
10 having first been duly sworn, were examined
11 and testified as follows:

12 CHAIR MITCHELL: Did we lose one of you?

13 THE WITNESS: (Regis Repko) Mr. Immel is
14 not appearing.

15 CHAIR MITCHELL: All right. Mr. Immel
16 is the lucky one, huh?

17 DIRECT EXAMINATION BY MS. LINK:

18 Q. Mr. Repko, with the exception of Mr. Immel,
19 are you the same Long Lead-Time Resources Panel that
20 appeared on this proceeding September 20, 2022, as part
21 of the Companies' direct case?

22 A. (Regis Repko) Yes.

23 Q. And did the panel cause to be prefiled in
24 this docket rebuttal testimony that now has been

1 amended as of September 28, 2022, that consists of
2 26 pages?

3 A. Yes.

4 Q. And those changes -- with those changes or
5 corrections that have been made today, would -- if I
6 were to ask you the -- do you have any additional
7 changes or corrections, sir?

8 A. Yes, we have --

9 Q. Mr. Repko, excuse me, the corrections that we
10 just made, are there any additional changes or
11 corrections?

12 A. Oh, no.

13 Q. And if I were to ask you those questions
14 appearing today, would you provide the same answers
15 here today?

16 A. Yes.

17 Q. And do -- has there also been a summary
18 prepared of the panel's rebuttal testimony?

19 A. Yes.

20 MS. LINK: Chair Mitchell, we ask that
21 the Long Lead Resources Panel corrected rebuttal
22 testimony that was filed today, and summary, be
23 entered into the record as if given orally from the
24 stand.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CHAIR MITCHELL: All right. Motion is allowed.

(Whereupon, the prefiled rebuttal testimony of Regis Repko, Chris Nolan, and Clift Pompee and the prefiled summary testimony of Regis Repko, Chris Nolan, and Clift Pompee were copied into the record as if given orally from the stand.)

OFFICIAL COPY

Oct 04 2022

STATE OF NORTH CAROLINA
UTILITIES COMMISSION
RALEIGH

DOCKET NO. E-100, SUB 179

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of:)	REBUTTAL TESTIMONY OF
Duke Energy Progress, LLC, and)	REGIS REPKO, CHRIS NOLAN
Duke Energy Carolinas, LLC, 2022)	AND CLIFT POMPEE ON
Biennial Integrated Resource Plan)	BEHALF OF DUKE ENERGY
And Carbon Plan)	CAROLINAS, LLC AND DUKE
)	ENERGY PROGRESS, LLC

1 **Q. MR. REPKO, PLEASE STATE YOUR NAME, TITLE AND**
2 **BUSINESS ADDRESS.**

3 A. My name is Regis Repko. My business address is 526 South Church Street,
4 Charlotte, North Carolina, 28202. I am Senior Vice President of Generation
5 and Transmission Strategy for Duke Energy Carolinas, LLC (“DEC”) and
6 Duke Energy Progress, LLC (“DEP”) and together with DEC, the
7 “Companies” or “Duke Energy”). I have one correction from my direct
8 testimony. My career began with Duke Energy in 1985 as an engineer at the
9 Oconee Nuclear Station. I am providing rebuttal testimony today on behalf
10 of the Companies with Chris Nolan and Clift Pompee on Long Lead-Time
11 Resources.

12 **Q. PLEASE IDENTIFY WHICH WITNESS SPONSORS EACH**
13 **SECTION OF YOUR REBUTTAL TESTIMONY.**

14 A. Mr. Repko sponsors Section I (Overview) and IV (Conclusion); Mr. Nolan
15 sponsors Section II (New Nuclear); and Mr. Pompee sponsors Section III
16 (Offshore Wind). From our review of the intervenor and Public Staff
17 testimony, there appears to be substantial support for Bad Creek II and
18 recognition of its need and no material opposition; therefore, the Companies
19 are not providing rebuttal testimony regarding Bad Creek II.

20 **Q. WHAT IS THE PURPOSE OF THE LONG LEAD-TIME**
21 **RESOURCES PANEL’S REBUTTAL TESTIMONY?**

22 A. The purpose of the Long Lead-Time Resources Panel’s rebuttal testimony
23 is to reaffirm the Companies’ request for relief regarding the near-term

1 development activities and related costs for the three long lead-time
2 resources. This Panel’s rebuttal testimony also responds to certain
3 comments, critiques, and recommendations offered in the Direct
4 Testimonies of Dustin Metz and Michelle Boswell on behalf of the Public
5 Staff; Edward Burgess on behalf of the Attorney General’s Office (“AGO”);
6 Nicholas Prokopuk on behalf of TotalEnergies Renewables USA, LLC
7 (“TotalEnergies”); Dr. Michael Starrett and Becky Gallagher on behalf of
8 Avangrid Renewables, LLC (“Avangrid”); Michael P. Gorman on behalf of
9 CIGFUR II & III (“CIGFUR”); and Dr. Arjun Makhijani on behalf of the
10 Environmental Working Group (“EWG”).

11 **Q. MR. REPKO, PLEASE SUMMARIZE THE KEY TAKEAWAYS OF**
12 **YOUR JOINT REBUTTAL TESTIMONY FOR THE COMMISSION.**

13 A. The Companies continue to believe that it is reasonable and prudent to
14 invest in the development of the three long lead-time resources (i.e., Bad
15 Creek II, New Nuclear through small modular reactors (“SMRs”), and
16 Offshore Wind) to meet the ambitious carbon reduction goals established
17 by North Carolina Session Law 2021-165 (“HB 951”). While there appears
18 to be a general consensus that developing Bad Creek II is a necessary step
19 towards meeting the carbon reduction goals set forth by HB 951, there is
20 less agreement on the Companies’ pursuit of the development of offshore
21 wind and new nuclear generating sources. But the Companies’ position is
22 clear—all three long lead-time resources will be needed to generate the

1 significant amount of carbon-free energy needed to meet the targets set forth
2 by HB 951.

3 The Companies' request is not changed by the positions set forth in
4 the direct testimonies of intervenors and the Public Staff. In sum, the
5 Companies are asking the Commission to approve the decision to pursue
6 near-term development activities and incur costs related to the three long
7 lead-time resources. The Companies are not asking the Commission to
8 select one of the long lead-time resources for inclusion in the Carbon Plan
9 at this time. Rather, the Commission's approval of this request will, in part,
10 allow Duke Energy to further analyze these long lead-time resources so that
11 it can pursue initial work through activities like a Pre-Feasibility/Feasibility
12 Study for Bad Creek II, Early Site Permit ("ESP") for SMRs and a Site
13 Assessment Plan ("SAP") for offshore wind. These initial efforts are
14 beneficial in that once permits are completed, they retain value for use in
15 the future and also preserve the potential to be able to use one or more of
16 these resources to meet the 70% interim carbon emissions reduction target
17 ("70% Interim Target") of the Carbon Plan. In addition, these efforts will
18 also provide the Company further information in terms of costs and
19 timelines to be able to assess when to bring these resources in a cost-
20 effective manner to the Commission in a future Carbon Plan proceeding for
21 selection.

22 The Companies intend to pursue these development activities and
23 incur costs in a reasonable and prudent manner and, as is further explained

1 below, propose to implement cost caps for the development activities. This
2 issue is also addressed in the Companies' Comments filed on September 9,
3 2022 ("Comments").

4 This testimony also rebuts the EWG's comments and criticisms
5 related to the Companies' proposed development of new nuclear generating
6 sources. The EWG's comments incorrectly allege that new nuclear
7 technologies will suffer from the same issues—like high costs and long
8 construction timelines—that were inherent to older nuclear technologies.
9 The EWG's comments, however, ignore three key points about the new
10 nuclear technologies: First, the technology that is used in these new reactor
11 designs has evolved from the plant designs of the 2000s. Second, the
12 modular design of these new nuclear reactors will allow for more off-site
13 construction, which will decrease production timelines. Third, the designs
14 of these new reactors will require less capital investment because both
15 SMRs and advanced reactors ("AR") are smaller than traditional reactors.
16 In sum, the EWG's comments mistakenly attempt to use the issues that
17 faced the reactor designs of the 2000s to prejudice new nuclear
18 technologies.

19 Lastly, while the Companies remain open to opportunities for
20 ownership of cost-effective offshore wind energy areas ("WEA") to
21 develop on behalf of our customers that were introduced by certain parties
22 in this proceeding, we have concerns with the arrangements discussed by
23 these parties for two primary reasons. First, these parties appear to continue

1 to contemplate, at least in part, arrangements that do not meet the ownership
2 requirements of HB 951. Second, procuring a WEA from these parties
3 carries timing, cost, and certainty risk in contrast with the development
4 option that is most readily and directly available to the Companies.

5 Therefore, the Companies believe the best and most certain path is
6 to acquire the Carolina Long Bay WEA from their affiliate Duke Energy
7 Renewables Wind, LLC (“DERW”). The Companies would make the
8 appropriate affiliate filing pursuant to the requirements of Gen. Stat. § 62-
9 153 in a separate proceeding in early 2023, and Commission approval of the
10 decision to acquire the lease in this proceeding would be effectuated in that
11 separate proceeding. This path forward has four primary benefits. First, it is
12 simple and straightforward. Second, this path has certainty of timing
13 because the Companies know DERW is willing to sell the lease in a timely
14 and efficient manner at cost, which will preserve the potential for offshore
15 wind to be available on a timeline consistent with the Companies’ modeling.
16 Third, this path clearly meets the utility ownership requirements of HB 951.
17 Fourth, this path does not foreclose other options but does ensure that at
18 least one offshore wind project is available for further consideration in the
19 2024 Carbon Plan update.

20 I will note that the Companies have filed, in parallel with our
21 testimony, Comments addressing certain legal issues that are relevant to my
22 testimony. While I am not an attorney and am not testifying with respect to
23 such legal issues, those Comments, among addressing other issues, set forth

1 the Companies' view that the (1) HB 951's ownership requirements are
2 clear and unambiguous, and (2) that the Commission has the authority to
3 and should, in fact, grant the Companies' requested relief with respect to
4 the development activities for these long lead-time resources.

5 **I. OVERVIEW**

6 **Q. MR. REPKO, PLEASE RESPOND TO PUBLIC STAFF'S**
7 **RECOMMENDATION THAT THE COMMISSION DENY THE**
8 **COMPANIES' REQUEST FOR APPROVAL OF DEVELOPMENT**
9 **ACTIVITIES TO FURTHER AN OFFSHORE WIND PROJECT.**

10 A. The Public Staff's position, if adopted by the Commission, would
11 effectively eliminate the ability to keep offshore wind as an option to meet
12 the 70% Interim Target of the Carbon Plan. The Companies do not believe
13 this is a prudent approach, as it is inconsistent with the "all of the above"
14 strategy addressed at length in the Companies' Carbon Plan. As I stated in
15 my direct testimony, the Companies believe that it is likely that offshore
16 wind will be needed to meet the ambitious carbon reduction goals of HB
17 951, and, therefore, it is prudent and reasonable to engage in development
18 activities in the near-term to pursue initial development and permitting
19 requirements and refine cost estimates. Avangrid,¹ TotalEnergies,² and the
20 AGO³ are aligned with the direction that the Companies should pursue

¹ Avangrid Gallagher Direct Testimony at 12.

² TotalEnergies Prokopuk Direct Testimony at 9.

³ AGO Burgess Direct Testimony at 75.

1 development activities to further offshore wind and retain the ability to meet
2 the 70% Interim Target.

3 **Q. THE PUBLIC STAFF⁴ WOULD LIKE THE COMMISSION TO**
4 **MAKE CLEAR THAT APPROVAL OF THE LONG LEAD-TIME**
5 **RESOURCE DEVELOPMENT ACTIVITIES THROUGH THE**
6 **COURSE OF THE CARBON PLAN PROCEEDING SHOULD NOT**
7 **OBVIATE THE NEED FOR A FUTURE CPCN PROCEEDING. CAN**
8 **YOU COMMENT?**

9 A. Yes. The Companies have been clear that its request in this proceeding
10 involves only the approval to proceed with development activities and incur
11 costs related to the three long lead-time resources (*i.e.*, Bad Creek II, New
12 Nuclear through SMRs, and Offshore Wind) and is not a request that the
13 Commission select such resources for purposes of the Carbon Plan.
14 Furthermore, the Commission's approval of development activities would
15 have no impact on any future required regulatory approvals for such
16 projects, including, where applicable, a CPCN. In addition, the Companies
17 recognize that in future base rate proceedings, they bear the burden of proof
18 to show that the costs for the expenditures themselves were reasonable and
19 prudent.

⁴ Public Staff Metz Direct Testimony at 18; Public Staff Thomas Testimony at 45, 70.

- 1 **Q. SETTING ASIDE THE LEGAL ISSUES ADDRESSED IN THE**
2 **COMPANIES’ COMMENTS, PLEASE REITERATE WHY THE**
3 **COMPANIES ARE REQUESTING COMMISSION APPROVAL OF**
4 **THESE DEVELOPMENT ACTIVITIES.**
- 5 A. Because these resources are unique relative to other resources due to the
6 longer development and construction timelines and the total development
7 costs required to be incurred prior to approval of construction, the
8 Companies need assurance from the Commission through this proceeding
9 that development of these resources and the associated costs of the
10 development activities are reasonable and prudent and appropriate for cost
11 recovery. Without the requested assurances, the Companies may elect to
12 continue some development work, but it will not allow these resources to
13 be available on a timeline necessary to achieve the 70% Interim Target—
14 and to achieve the 70% Interim Target, Bad Creek II and either SMRs or
15 offshore wind are needed. Said another way, the Companies are seeking to
16 create and retain options through “no regrets” activities like the ESP, lease
17 acquisition and SAP that will be able to be used during the course of the
18 Carbon Plan, but also to allow further development to be able to make
19 prudent selections of these resources in future Carbon Plans.

- 1 **Q. THE PUBLIC STAFF ALSO STATES THAT THESE PROJECTS**
2 **ARE NOT OUTSIDE THE NORMAL COURSE OF BUSINESS FOR**
3 **THE COMPANIES.⁵ PLEASE RESPOND.**
- 4 A. The Companies respectfully disagree with Public Staff’s opinion that
5 incurring development costs of this magnitude without Commission pre-
6 approval is in the “normal course of business.” The Companies are not
7 aware of any other instance in which the Companies were required to incur
8 hundreds of millions of dollars to develop a yet-to-be-approved asset for
9 purposes of compliance with a law without any pre-approval. As discussed
10 above, these three resources are unique based on (1) the scale of the costs
11 required to be incurred prior to construction approval, (2) the length of time
12 for their development, and (3) the timing required to potentially make them
13 available as a solution to meet the 70% Interim Target of the Carbon Plan.
14 The Companies discuss this issue further in their Comments.

⁵ Public Staff Boswell Direct Testimony at 6.

1 **Q. BOTH AVANGRID AND TOTALENERGIES URGE THE**
2 **COMMISSION TO MAKE SPECIFIC FINDINGS REGARDING**
3 **INCLUSION OF OFFSHORE WIND IN THE CARBON PLAN AND**
4 **ISSUANCE OF A MANDATE FOR OFFSHORE WIND**
5 **DEVELOPMENT. DOES THE COMPANY BELIEVE THESE**
6 **FINDINGS ARE NECESSARY?**

7 A. No, the specific findings requested are not based on modeling results and
8 are, therefore, unsupported and premature. Avangrid requests three forms
9 of relief: (i) inclusion of offshore wind in the final Carbon Plan; (ii) a formal
10 process through an independent third-party consultant study to compare and
11 prioritize regional offshore wind resources based on cost, efficiency,
12 viability, and schedule (“Third-Party Wind Energy Area Comparison
13 Process”); and (iii) direction to the Companies to take all reasonable steps
14 to procure offshore wind.⁶ Likewise, TotalEnergies urges a “mandate” in
15 the Carbon Plan to develop a portfolio of 2-4 GW of offshore wind.⁷ It is
16 not necessary to grant any of these requests at this time.

17 First, the Companies are not asking for offshore wind to be selected
18 in the Carbon Plan at this time, and Avangrid provides no material
19 independent support for the selection of offshore wind at this time. Without
20 further information that will be gained by pursuing the development
21 activities and modeling results based on that information, the selection of

⁶ Avangrid Gallagher Direct Testimony at 24.

⁷ TotalEnergies Prokopuk Direct Testimony at 6.

1 offshore wind now would be premature. Likewise, the Carbon Plan itself is
2 not a vehicle for a “mandate” for any particular resource. The Carbon Plan
3 is a disciplined process to assess the least-cost path to achieve CO₂
4 reductions, and the Commission is tasked with selecting resources that are
5 shown to be part of the least-cost path. There is nothing in HB 951 that
6 suggests the Commission should issue a generic mandate for any particular
7 resource.

8 Second, the Companies do not believe that hiring an independent
9 third-party consultant to run a Third-Party WEA Comparison Process is
10 necessary. I discuss below the Companies’ plan to acquire the WEA owned
11 by DERW. Therefore, there is no need to compare multiple WEAs and
12 projects at this time.

13 **Q. BOTH AVANGRID⁸ AND TOTALENERGIES⁹ HAVE NOW**
14 **STATED IN TESTIMONY A POTENTIAL INTEREST IN SELLING**
15 **THEIR RESPECTIVE PROJECTS TO THE COMPANIES. PLEASE**
16 **COMMENT ON THIS TESTIMONY.**

17 A. While the Companies remain open to opportunities for ownership of cost-
18 effective offshore wind WEAs to develop on behalf of our customers, we
19 have concerns with the arrangements discussed by these parties for several
20 reasons. First, the parties still discuss arrangements, such as power purchase
21 agreements, that do not meet the ownership requirements of HB 951, for the

⁸ Avangrid Gallagher Direct Testimony at 14.

⁹ TotalEnergies Prokopuk Direct Testimony at 8.

1 reasons explained in the Comments. Second, procuring a WEA from a non-
2 affiliate third party carries timing, cost, and certainty risk. If the Companies
3 are to develop offshore wind to be available to meet the 70% Interim Target,
4 decisive and certain action needs to be taken now. A competitive
5 procurement for the WEA could take years. There is simply not time to
6 delay the pursuit of an ownership interest in a WEA to meet the 70% Interim
7 Target and pursue development activities should the Commission agree
8 with the Company's request in this proceeding.

9 **Q. HOW DO THE COMPANIES INTEND TO PROCEED TO**
10 **ACQUIRE AN OWNERSHIP INTEREST IN A WEA?**

11 A. The Companies believe the best and most certain path is to acquire the
12 Carolina Long Bay WEA from their affiliate DERW. DERW participated
13 in the last BOEM auction held in May 2022, before a 10-year leasing
14 moratorium, which ensured that a WEA that could be owned by the
15 Companies is available for development. Acquiring this lease in the near-
16 term, as recommended by the Companies, would give the Commission and
17 the Companies substantially more discretion and control over the pace and
18 timing of development. Importantly, this includes establishing a clear
19 pathway to ensure that the Commission will have the ability to further
20 consider an offshore wind resource in the 2024 Carbon Plan update that
21 clearly complies with the utility ownership requirements of HB 951. This
22 option puts the Companies and the Commission in the decision-making
23 control for considering offshore wind, while not foreclosing the potential

1 for other cost-effective projects as discussed further below. The Companies
2 would seek acceptance of the affiliate agreement from the Commission in a
3 separate proceeding in early 2023, post Commission approval in this
4 proceeding, to transfer the Carolina Long Bay lease from DERW to the
5 Companies at the price that DERW paid for the WEA (approximately \$155
6 million). Commission approval of the decision to acquire the lease in this
7 proceeding would be effectuated by the Commission through acceptance of
8 the affiliate agreement in this separate proceeding. After such transfer, the
9 Companies would proceed with development activities on the Carolina
10 Long Bay lease to further the opportunity to develop an offshore wind
11 project to meet the 70% Interim Target.

12 This path forward has four primary benefits. First, it is simple and
13 straightforward. Based on affiliates' restrictions, the Company must procure
14 the WEA at the lower of cost or market. The BOEM auction was an
15 independent, third-party process that set the market price in May 2022, at
16 approximately \$155 million. This is also the DERW cost for the WEA.
17 Therefore, the price for the WEA does not have to be negotiated and is
18 certain. Second, this path has certainty of timing because the Companies
19 know DERW is willing to sell the lease, and it will be subject to a
20 straightforward affiliates' agreement application before the Commission.
21 Third, this path clearly meets the utility ownership requirements of HB 951
22 and therefore would not be subject to complex negotiations and structures
23 that arguably would not comply with the statute. Fourth, this path does not

1 foreclose other options but does ensure that at least one offshore wind
2 project is available for further consideration in the 2024 Carbon Plan
3 update.

4 **Q. DOES THIS MEAN THAT THE AVANGRID'S AND**
5 **TOTALENERGIES' PROJECTS WILL NEVER PLAY A ROLE IN**
6 **THE CARBON PLAN?**

7 A. No, absolutely not. The Companies remain open to potential commercial
8 arrangements that are consistent with HB 951's ownership requirements
9 and cost-effective for the Companies' customers. If such opportunities are
10 identified in the future, the Companies will pursue them and, if appropriate,
11 will present them to the Commission for consideration.

12 **Q. DO THE COMPANIES BELIEVE THAT IT IS REASONABLE TO**
13 **IMPOSE A CAP ON THE DEVELOPMENT COSTS TO BE**
14 **INCURRED BY THE COMPANIES FOR THESE RESOURCES?**

15 A. Yes, the Companies believe that it is reasonable for the Companies'
16 development costs to be capped at the amounts in Rebuttal Table 1 (which
17 shall not be exceeded without Commission approval). Note, these amounts
18 have been rounded from Tables 1, 2 and 3 from this panel's direct testimony
19 for purposes of establishing cost caps:

1

Rebuttal Table 1

Long Lead-Time Resource	Proposed Development Cost Cap (2022-2024)
Offshore Wind	\$325 million ¹⁰
Nuclear	\$75 million ¹¹
Bad Creek II	\$40 million

2

3 **Q. HOW WOULD THE COMPANIES KEEP THE COMMISSION**
4 **APPRISED OF THE STATUS AND MILESTONES ASSOCIATED**
5 **WITH THE DEVELOPMENT ACTIVITIES?**

6 A. The Companies commit to provide a biannual update to the Commission
7 and provide a summary of all major development activities (including costs
8 incurred) and milestones.

9 **Q. CIGFUR RECOMMENDS THE COMMISSION CONSIDER A**
10 **PERFORMANCE GUARANTEE FOR OFFSHORE WIND LIKE**
11 **THAT ORDERED BY THE VIRGINIA STATE CORPORATION**
12 **COMMISSION (“VSCC”) FOR DOMINION ENERGY’S CVOW**
13 **PROJECT.¹² HOW DO YOU RESPOND TO THIS SUGGESTION?**

14 A. Any imposition of a performance guarantee is premature and would
15 adversely prejudice the future resource without any supporting facts. This is
16 not a proceeding where offshore wind is being selected as the Companies
17 are requesting that the Commission approve the decision to begin

¹⁰ Includes estimated cost of obtaining an offshore wind lease.

¹¹ Costs associated with development work needed to obtain an Early Site Permit for a single site.

¹² CIGFUR Muller Direct Testimony at 12.

1 development and incur associated costs for these long lead-time resources.
2 Moreover, the performance guarantee that CIGFUR witness Muller
3 suggests be adopted has been suspended pending the outcome of the
4 VSCC's pending reconsideration of its CVOW Order.

5 II. NEW NUCLEAR

6 **Q. CAN YOU EXPLAIN HOW PURSUIT OF SMRs AND ARs DIFFERS**
7 **FROM THE 2000s, WHICH THE EWG REFERS TO AS THE**
8 **“NUCLEAR RENAISSANCE?”¹³**

9 A. SMRs and ARs are distinctly different than the large light-water-cooled
10 nuclear plants (i.e., Generation III/III+) that were planned to be built during
11 the early 2000s. The next generation SMRs and ARs have significant
12 advantages over their historical counterparts. The modular design of these
13 new reactors allows for more off-site construction and decreases production
14 and construction timelines. Designs have become smaller, meaning units
15 require less capital investment and are more flexible, allowing for greater
16 ability to match power output to system loads. In addition, the new
17 generation of nuclear plants have significant safety enhancements. Inherent
18 safety features, such as passive shut down and self-cooling through natural
19 circulation, mean that the system can turn off and cool itself with no
20 operator intervention. This enhanced safety makes the plants less
21 complicated (i.e., fewer systems needed), enabling easier construction and

¹³ EWG Makhijani Direct Testimony at 6-9.

1 operation. The ability to build these next generation advanced nuclear plants
2 much quicker and with less financial risk, while providing always-on
3 baseload power generation, will help enable the Companies transition to
4 net-zero carbon emissions.

5 **Q. THE EWG CLAIMS THAT NONE OF THE REACTOR DESIGNS**
6 **INCLUDED IN TABLE L-5 IN APPENDIX L OF THE CARBON**
7 **PLAN HAVE BEEN CERTIFIED.¹⁴ IS THAT A SUFFICIENT**
8 **REASON TO PREVENT THE COMPANIES FROM PURSUING**
9 **THE DEVELOPMENT ACTIVITIES?**

10 A. No. The focus at this time is to pursue siting for an SMR by developing an
11 Early Site Permit (“ESP”). Obtaining an ESP allows the NRC to review and
12 approve the environmental impacts and site safety analysis associated with
13 nuclear deployment at a particular site before a technology needs to be
14 selected or a decision to build has been made. This allows time for the
15 reactor technologies to develop, providing Duke Energy more time to make
16 a better-informed decision on the best technology, or technologies, to
17 pursue. An ESP is approved for up to 20 years and can be renewed. Simply
18 put, the ESP has value that is retained for a long period of time which allows
19 time for the technologies to mature.

20 To date, the only advanced nuclear reactor technology to receive an
21 approved design certification from the NRC is the NuScale VOYGR plant.

¹⁴ EWG Makhijani Direct Testimony at 21.

1 The other leading designs are in various stages of the pre-license application
2 process with the NRC.

3 **Q. THE EWG STATES THAT ARs WILL GENERATE NEW WASTE**
4 **TYPES THAT MAY POSE ISSUES.¹⁵ PLEASE RESPOND.**

5 A. The light-water-cooled SMRs like the NuScale VOYGR and the GEH
6 BWRX-300 use fuel of similar design, enrichment, and burnup as compared
7 to the large light-water-cooled nuclear plants that we currently operate. It is
8 reasonable to expect that the waste from these reactors would be handled
9 similarly to our current practices. We see no reason to expect any
10 appreciable differences. Our existing nuclear plants have stored used fuel
11 onsite for years with the ability to store it there for the life of the plant. This
12 experience demonstrates the ability to safely store used fuel onsite for new
13 reactors until a federal repository is made available.

14 **Q. THE EWG CLAIMS THAT THE COMPANIES' NUCLEAR**
15 **CAPITAL COST SENSITIVITY ANALYSIS DOES NOT REFLECT**
16 **HISTORICAL OR RECENT COST ESCALATIONS.¹⁶ PLEASE**
17 **RESPOND.**

18 A. Historic or recent cost escalations in the most recent nuclear plant projects
19 (e.g., Vogtle Units 3 & 4) are not valid comparisons because of the
20 differences in characteristics of SMRs and ARs. The reactor technologies
21 are too dissimilar to compare projects building two Generation III+ large

¹⁵ *Id.* at 33-35.

¹⁶ EWG Makhijani Direct Testimony at 11-12.

1 light-water-cooled reactors (i.e., total of approximately 2,200 MW) with the
2 smaller, modular and less complex reactor designs (i.e., typically 50-350
3 MW). To date, there have been no new nuclear SMR or AR plants built,
4 though there are four projects that are scheduled to be completed before the
5 end of this decade. Duke Energy will closely monitor these first-of-a-kind
6 reactor projects to obtain the refined cost estimates as these projects
7 develop. This is the exact purpose of pursuing the development activities
8 outlined in the Carbon Plan for new nuclear upon Commission approval.

9 **Q. THE PUBLIC STAFF DOES NOT OPPOSE THE COMPANIES’**
10 **PURSUIT OF SLR FOR ITS EXISTING FLEET BUT RAISES**
11 **CONCERNS ABOUT MODELING OF COSTS.¹⁷ WHY IS IT**
12 **IMPORTANT TO RELICENSE THE COMPANIES’ EXISTING**
13 **NUCLEAR FLEET?**

14 A. Relicensing the Companies’ existing nuclear fleet is a vital step to ensure
15 that the Companies can continue to serve base load generation that is a zero-
16 carbon resource, one that currently provides over 50% of the electricity to
17 our customers in North and South Carolina and provides approximately
18 83% of all of Duke Energy’s carbon-free generation. The relicensing of the
19 nuclear fleet provides the option for continued operation beyond the current
20 60-year license period. Since the Companies continue to invest in the
21 nuclear fleet to maintain its safety and reliability, the payback period for the

¹⁷ Public Staff Metz Direct Testimony at 30-32, 35.

1 cost of relicensing to allow extended operations is in the order of months
2 and therefore was modeled as a baseline resource in all of the Companies’
3 portfolios. The Companies project a commensurate spend profile for the
4 fleet in the period of extended operations, as compared to current
5 operations, when adjusted for inflation. The Companies believe that
6 achieving the goals set by HB 951 will not be possible to implement from a
7 reliability, cost, and executability perspective if the Companies forego
8 relicensing of the existing nuclear fleet.

9 III. OFFSHORE WIND

10 **Q. WHILE NOT AN ISSUE REQUIRING A COMMISSION DECISION,**
11 **DO YOU HAVE RESPONSES TO CERTAIN CLAIMS MADE BY**
12 **AVANGRID IN THIS PROCEEDING?**

13 A. Yes. I would like to make a few corrections to the claims made by Avangrid.
14 Avangrid states that “there is currently no turbine on the market that is rated
15 to withstand the hurricane-force wind levels experienced in the [Carolina
16 Long Bay] lease areas, forces which historically have not been present in
17 the Kitty Hawk lease area.”¹⁸ This claim is incorrect because all major
18 offshore wind turbine original equipment manufacturers (Vestas, Siemens
19 Energy and GE) have 9, 11, 12 and 13 MW offshore wind turbines that have
20 been certified to a Typhoon-class for use in the Asian market. Moreover,
21 Avangrid’s hurricane risk analysis fails to mention that Category 4 or

¹⁸ Avangrid Starrett Direct Testimony at 19.

1 greater hurricane event probabilities are not significantly different for the
2 Kitty Hawk lease area (<1%) versus the Carolina Long Bay lease area
3 (<2%).

4 I would also like to address Avangrid’s claims related to export
5 cable length. Avangrid assesses that the export route from Kitty Hawk to
6 the Havelock or New Bern substations is roughly 25 km longer than the
7 distance from Carolina Long Bay (“CLB”) to those substations.¹⁹ Avangrid
8 claims the 25 km difference represents a total project cost differential of less
9 than 0.4%—a difference that they state is “not material to the business
10 case.”²⁰ The Companies disagree with Avangrid’s analysis that the export
11 route differential is only 25 km. Our analysis of transmission routing
12 indicates an estimate of a longer cable by about 170 km. See Rebuttal Figure
13 1 for a map that compares the route alternatives.


14

¹⁹ See Avangrid Starrett Direct Testimony at 21-22.

²⁰ *Id.*

1

Rebuttal Figure 1



2

OFFICIAL COPY
Sept 09 2022

POI	Est. Cable Route Length to Kitty Hawk (km)	Est. Cable Route Length to a CLB Lease (km)
New Bern	419	246

1

2 In addition, the shortest proposed path that we believe Avangrid

3 refers to in their direct testimony may have significant environmental

4 impacts as it crosses the Pamlico Sound and Neuse River, and other

5 environmentally sensitive areas. Also, no cable route options with landfall

6 locations in North Carolina are included in the publicly available

7 Construction and Operations Plan for the Kitty Hawk project posted on

8 BOEM’s website last summer; only the landfall location near Sandbridge

9 Beach in the City of Virginia Beach, Virginia is shown. As a result, we are

10 unable to review public and agency comments on this route that would have

11 been received during the public scoping period that BOEM held last

12 summer. However, we believe that a cable route through Pamlico Sound

13 introduces significant uncertainty due to challenges that could be

14 encountered from a permitting, timing, and cost perspective, and it is likely

15 that BOEM will require an assessment of multiple alternatives to a cable

16 route through Pamlico Sound to reduce potential impacts. A path with lower

17 environmental impacts would increase the offshore (subsea) transmission

18 length to almost twice the length required to land a project in the Carolina

19 Long Bay in the same area to get to the New Bern substation. The longer

20 path is shown my Rebuttal Figure 1.

1 Lastly, I would like to address Avangrid's claims related to the
2 difference in net capacity factors ("NCF") between the CLB and Kitty
3 Hawk WEAs. Avangrid claims that the NCF for Kitty Hawk is superior to
4 CLB, and that the CLB lease areas would generate a leveled cost of energy
5 ("LCOE") of about \$10 to \$15 higher than Kitty Hawk's LCOE.²¹
6 Determining the NCF of any lease area requires detailed site assessment
7 planning and, at this time, the Companies do not believe that any party has
8 performed the requisite analysis to definitively establish an NCF of 36% for
9 the Carolina Long Bay WEA. The Companies' proposed development
10 activities will include the deployment of meteorological equipment to
11 assess the wind character in the area which will lead to detailed site
12 assessment and development of NCF.

13 **Q. DO YOU EXPECT THAT COMPLIANCE WITH THE JONES ACT**
14 **WILL DELAY THE COMPANIES' OFFSHORE WIND PROJECTS?**

15 A. No. The Companies agree with TotalEnergies²² that the Jones Act will not
16 delay the Companies' installation. The Companies expect that the Jones
17 Act-compliant vessel supply market will increase to meet demand.
18 Additionally, alternate arrangements for transport and construction vessels
19 are available to meet the Jones Act.

²¹ See Avangrid Starrett Direct Testimony at 22-23.

²² TotalEnergies Prokopuk Direct Testimony at 14.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20

IV. CONCLUSION

Q. MR. REPKO, ARE THERE ANY FINAL TAKEAWAYS YOU WOULD LIKE TO SHARE WITH THE COMMISSION?

A. HB 951 presents a transformative change to how the Companies will generate electricity and reduce carbon emissions, and the Companies will need to pursue new technologies and generating sources to effectuate that change. By approving the decision to pursue near-term development activities and incur costs related to the three long lead-time resources, the Companies will be able to fully analyze the costs and benefits associated with these long lead-time resources, thus facilitating the Companies' ability to make these resources available to meet the 70% Interim Target and overall net zero goals of the Carbon Plan. Furthermore, these development activities have value for any future timeframe the resource is selected. The Companies propose these near-term development activities to have costs caps and propose to acquire a WEA from its affiliate, DERW, for the Carolina Long Bay, subject to future Commission acceptance of an appropriate affiliate filing pursuant to the requirements of Gen. Stat. § 62-153 in a separate proceeding.

Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?

A. Yes.

Duke Energy Carolina, LLC and Duke Energy Progress, LLC
Summary of Rebuttal Testimony -
Regis Repko, Chris Nolan, And Clift Pompee
Carolinas Carbon Plan
Docket No. E-100, Sub 179

1 My name is Regis Repko and I am the Senior Vice President of Generation and
2 Transmission Strategy for Duke Energy Carolinas, LLC and Duke Energy Progress,
3 LLC. I am here today testifying together with Chris Nolan and Clift Pompee on the
4 “Long Lead-Time Resources Panel.” I will present a summary of my rebuttal
5 testimony and that of Messrs. Nolan and Pompee.

6 The purpose of the Panel’s rebuttal testimony is to reaffirm the Companies’ request for
7 approval of the decision to pursue near-term development activities and incur costs
8 related to Bad Creek II, new nuclear technologies, and offshore wind. This Panel’s
9 rebuttal testimony also responds to certain comments, critiques, and recommendations
10 offered in the Direct Testimonies of the Public Staff; the Attorney General’s Office;
11 TotalEnergies Renewables USA, LLC; Avangrid Renewables, LLC (“Avangrid”);
12 CIGFUR II & III; and the Environmental Working Group.

13 The Companies continue to believe that it is reasonable and prudent to invest in the
14 development of the three long lead-time resources to meet the ambitious carbon
15 reduction goals established by House Bill 951. While there appears to be general
16 consensus among the parties over the development of Bad Creek II, the Companies’
17 position remains clear: Duke Energy will need all three long lead-time resources to
18 generate the significant amount of carbon-free energy needed to meet the targets set
19 forth by HB 951.

20 Also, I would like to reiterate what the Companies are asking for in this proceeding.
21 To be clear, the Companies are not asking the Commission to select any of the long
22 lead-time resources for inclusion in the Carbon Plan at this time. Rather, the
23 Companies are asking the Commission to approve the decision to pursue near-term
24 development activities and incur costs related to the three long lead-time resources.
25 Approval of this request will, in part, allow Duke Energy to further analyze these long
26 lead-time resources so that it can pursue initial “no regrets” work through activities like
27 conducting a Pre-Feasibility/Feasibility Study for Bad Creek II, obtaining an Early Site
28 Permit for small modular reactors (“SMR”), secure a Wind Energy Area (“WEA”)
29 lease, and complete a Site Assessment Plan (“SAP”) for that WEA. These initial efforts
30 are beneficial in that once permits are completed, they retain value for use in the future
31 and also preserve the potential to be able to use one or more of these resources to meet
32 the targets of the Carbon Plan. The Companies believe it is reasonable for development
33 costs to be capped at the amounts in Rebuttal Table 1 (which shall not be exceeded
34 without further Commission approval).

Rebuttal Table 1

Long Lead-Time Resource	Proposed Development Cost Cap (2022-2024)
Offshore Wind	\$325 million ¹
Nuclear	\$75 million ²
Bad Creek II	\$40 million

1 While there is less consensus around new nuclear technologies and offshore wind, the
2 Companies believe that pursuing development activities for these resources is
3 necessary to maintain resource selection optionality for the Commission. The critiques
4 of SMR technology mistakenly attempt to use the issues that faced the reactor designs
5 of the 2000s to prejudice these new nuclear designs. As for offshore wind, Avangrid
6 offers recommendations that rely on unsupported claims and analyses of the various
7 wind energy areas. But, by approving the Companies' request, Duke Energy will be
8 able to take the necessary steps to further analyze these resources in terms of costs and
9 timelines to be able to assess when to bring these resources in a cost-effective manner
10 to the Commission for selection in a future Carbon Plan proceeding.

11 While the Companies remain open to opportunities for cost-effective offshore wind
12 WEAs to develop on behalf of customers, the Companies have concerns that the parties
13 continue to propose arrangements that do not meet the ownership requirements of HB
14 951 and procuring a WEA from these parties carries timing, cost and certainty risk in
15 contrast with the development option that is most readily and directly available to the
16 Companies at a known, certain and reasonable cost that equals market price.

17 Therefore, the Companies believe the best and most certain path is to acquire the
18 Carolina Long Bay WEA from their affiliate Duke Energy Renewables Wind, LLC
19 ("DERW"). The Companies would make the appropriate affiliate filing under North
20 Carolina General Statutes in a separate proceeding in early 2023, and Commission
21 approval of the decision to acquire the lease in this proceeding would be effectuated in
22 that separate proceeding. This path has four primary benefits, it (i) is simple and
23 straightforward; (ii) has certainty of timing and cost; (iii) meets the utility ownership
24 requirements of HB 951; and (iv) does not foreclose other options but ensures that at
25 least one offshore WEA is available on a future timeline for offshore wind development
26 desired by the Commission.

27 In closing, the Companies will need to pursue new technologies and generating sources
28 to meet the transformative change that HB 951 presents. By approving the decision to
29 pursue the near-term development activities and incur costs related to the three long
30 lead-time resources, the Companies will be able to fully analyze the costs and benefits

¹ Includes estimated cost of obtaining an offshore wind lease.

² Costs associated with development work needed to obtain an Early Site Permit for a single site.

1 associated with these long lead-time resources, thus facilitating the Commission's
2 ability to make these resources available to meet the 70% Interim Target and overall
3 net zero goals of the Carbon Plan. This concludes the summary of this Panel's rebuttal
4 testimony.

1 MS. LINK: And the panel is now
2 available for questions from the parties and the
3 Commission on its rebuttal testimony.

4 CHAIR MITCHELL: All right. Who's up
5 first?

6 MR. SMITH: Chair Mitchell, Avangrid was
7 able to review the record from the direct, and we
8 think we've gotten everything that we need at this
9 time, so we have no further questions.

10 CHAIR MITCHELL: Okay. CIGFUR?

11 MS. CRESS: In the interest of time,
12 CIGFUR is also going to waive cross of this panel.
13 Thanks.

14 MR. BURNS: CCEBA as well.

15 CHAIR MITCHELL: All right. CPSA?

16 MR. SNOWDEN: CPSA waives cross on this
17 panel.

18 CHAIR MITCHELL: SACE?

19 MS. THOMPSON: No questions, Chair
20 Mitchell. Thank you.

21 MR. SCHAUER: No questions from Tech
22 Customers.

23 CHAIR MITCHELL: All right. Public
24 Staff?

1 MS. GRUNDMANN: Chair Mitchell, I do
2 have one question that was deferred this morning.

3 CHAIR MITCHELL: Okay.

4 CROSS EXAMINATION BY MS. GRUNDMANN:

5 Q. Good afternoon, gentlemen. In response to a
6 question that I asked Ms. Bateman, I believe she
7 deferred it to your panel, so I'm just gonna ask you it
8 to you. It related to CPCNs.

9 Are there any long lead-time resources for
10 which the Company does not intend to seek a CPCN or
11 would not intend to seek a CPCN?

12 A. (Regis Repko) Directly relative to
13 generation resources, we would file a CECPN for
14 South Carolina for Bad Creek. Offshore wind, again, if
15 selected by the Commission, would be in federal waters;
16 however, there would be a CPCN for the supporting
17 transmission of it, or any supporting transmission of
18 it.

19 Q. Okay. So offshore wind, the project, itself,
20 is in federal waters, would not have a CPCN, but the
21 related projects within the confines of the state of
22 North Carolina would?

23 A. Correct.

24 MS. GRUNDMANN: Thank you. Those are

1 all the questions that I have.

2 CHAIR MITCHELL: All right. Public
3 Staff?

4 MR. FREEMAN: Thank you, Commissioner.
5 I would like to hand out some documents now, if I
6 may.

7 CHAIR MITCHELL: Go ahead. Help him.
8 (Pause.)

9 CHAIR MITCHELL: All right. Why don't
10 we go ahead and mark the documents.

11 MR. FREEMAN: Thank you, Chair. We have
12 one document is a lease, and the second document is
13 an excerpt from the Code of Federal Regulations. I
14 would propose to mark these as Public Staff Long
15 Lead-Time Resources Panel Rebuttal Testimony Cross
16 Examination Exhibit Numbers 1 and 2.

17 CHAIR MITCHELL: All right. The federal
18 regs will be identified as Public Staff Long
19 Lead-Time Resources Panel Rebuttal Testimony Cross
20 Examination Exhibit Number 1, and the lease will be
21 marked as Public Staff Long Lead-Time Resources
22 Panel Rebuttal Testimony Cross Examination
23 Exhibit 2.

24 (Public Staff Long Lead-Time Resources

1 Panel Rebuttal Testimony Cross
2 Examination Exhibits 1 and 2 were marked
3 for identification.)

4 MR. FREEMAN: Thank you. Thank you,
5 Chair and Commissioners.

6 CROSS EXAMINATION BY MR. FREEMAN:

7 Q. Thank you, panelists, for your time today.
8 My name is Will Freeman. I'm an attorney with the
9 Public Staff. I'm representing the using and consuming
10 public. And, panelists, I would like to respectfully
11 push back on some of the rebuttal testimony that was
12 filed in this case. I was looking, in particular, on
13 page 7, lines 10 through 12. But I think that idea,
14 sort of, percolates through all of the testimony.

15 And just while you turn, I believe it states,
16 "The Public Staff's position, if adopted by the
17 Commission, would effectively eliminate the ability to
18 keep offshore wind as an option to meet the 70 percent
19 interim target of the Carbon Plan."

20 And so I'd like to discuss some -- some areas
21 of respectful disagreement with respect to that
22 testimony. I think that one area is we can agree that
23 Portfolio 3 did not select offshore wind at all, and
24 Portfolios 5 and 6 did not select offshore wind before

1 2040.

2 Is that y'all's understanding as well?

3 A. (Regis Repko) That is correct. That's my
4 understanding.

5 Q. So now I'd like to talk about the other half
6 of the portfolios that do select offshore wind in the
7 near-term. And just -- we'll just go head on
8 respectfully together. The first document, I believe,
9 was the federal regulations, and the second document
10 was the lease. And I gave you and your attorneys a
11 copy of the whole federal regulations, but I also just
12 took a few paragraphs out and highlighted. So you
13 should have both of those.

14 A. Yeah, I do.

15 Q. Great. So the lease, I went to BOEM.gov and
16 pulled the lease in. And you see on first page of that
17 lease, in Section 1, it references -- about the third
18 line down, it references 30CFR, part 858 [sic]. And
19 that is the first exhibit I gave you, a few pages from
20 that, but then again you have the whole part 585 right
21 there should you want to refer to it.

22 A. Understand.

23 Q. Okay. So let's start with Exhibit 1, if you
24 don't mind. If you'll look on the very last page of

1 this four-page exhibit, which is numbered 584, and the
2 highlighting was done by me. I'll read 585.601 with
3 ellipses, and we'll start maybe at subsection A.

4 Duke Wind, quote, must submit your SAP no
5 later than 12 months from the date of the lease.

6 Did I get that right?

7 A. It says that.

8 Q. Thank you.

9 A. (Clift Pompee) Excuse me, I believe you said
10 "must," but in the document here, it says "may."

11 Q. I'm sorry. I had started on the third line
12 down of subsection A. You may submit your SAP prior,
13 but must submit your SAP --

14 A. Okay.

15 Q. -- or your GAP no later than --

16 MS. LINK: Counsel, may I ask, which
17 document are you in?

18 MR. FREEMAN: I'm on the last page of
19 Exhibit 1, the number on the page is 584, I'm
20 looking at the highlighted Section A. The third
21 line down says, "Must submit your SAP." And that's
22 why we're having this testimony so that we can talk
23 about the statute and what words it uses.

24 Q. Mr. Pompee, are you -- I'm glad to -- if

1 you'd like to look this over --

2 A. No, no, I -- I got what you are saying. I
3 apologize. I misread which line you're on.

4 Q. Again, this is -- you know, this isn't an
5 inquisition, this is for us to talk about what the law
6 says.

7 Subsection B on the last page of 584 uses the
8 same word "must" as well. Duke Wind, quote, must
9 submit a COP or FERC license application at least six
10 months before the end of your site assessment term.

11 Did I get everything right?

12 A. Yes.

13 A. (Regis Repko) Yes.

14 Q. Okay. Let's pause on the law and then move
15 to the lease, which is Exhibit 2. And if you'll look
16 with me on -- the page number is C-3, it's in Section
17 3.1 about three-fourths of the way down on the page.
18 I'd like to read it, but I would like to substitute the
19 name of the parties instead of saying lessor and
20 lessee.

21 Are you-all with me? I'm not trying to rush
22 you?

23 A. No. What section or page?

24 Q. 3.1, page C-3 of Exhibit 2.

1 A. I'm there.

2 Q. Okay. Okay. Again, I'm reading with
3 substituting the name of the parties.

4 "Duke Wind must submit to the United States
5 of America a progress report every six months," open
6 parentheses, "unless BOEM directs otherwise," close
7 parentheses, "through the duration of the site
8 assessment term that includes a brief narrative of the
9 overall progress since the last progress report or, in
10 the case of the first report, since the effective
11 date."

12 Did you see where I was and did I read it
13 correctly?

14 A. Yes.

15 Q. Thank you so much. Now, let's pause on the
16 law and the part I just read, and if we can go -- if
17 you'll look with me in the lease, Exhibit 2, on page 1,
18 the effective date is June 1, 2022.

19 A. Correct.

20 Q. Thank you. And if you'll look with me on
21 page B-1, the site assessment term is five years, and
22 the preliminary term is one year.

23 A. Correct.

24 Q. Okay. Thank you. Can -- excuse me.

1 Can we agree that Duke Wind must submit a
2 progress report with a brief narrative starting on
3 January 1, 2023, unless BOEM says otherwise?

4 A. With the -- only with the exception of BOEM,
5 correct.

6 Q. Okay. Can we also agree that Duke Wind must
7 submit an SAP, that stands for site assessment plan,
8 before June 1, 2023, unless Duke Wind asks for more
9 time?

10 A. Correct.

11 Q. And can we agree that Duke Wind must submit a
12 COP, that's a construction operations plan, before
13 December 1, 2026, unless Duke Wind asks for more time?

14 A. Correct.

15 Q. Okay. Now, I would like to discuss with
16 y'all what happens if Duke Wind doesn't receive more
17 time or doesn't comply with these obligations that we
18 just discussed. And if we go back to the regulations,
19 which I think were Exhibit 1, if you'll turn to the
20 second page of Exhibit 1, which is page number 54 --
21 564. I've highlighted it as well for ease of
22 reference.

23 If we can look at Section 585.400(b), BOEM
24 may issue to you, and you in this case is Duke Wind, a

1 notice of noncompliance if we, the government agency,
2 determine that there has been a violation of the
3 regulations in this part or any provision of your
4 lease.

5 Did you see where I was reading from?

6 A. I did.

7 Q. Okay. And now we can come down to the
8 section -- subsection D, also highlighted. And failure
9 of Duke wind to address the noncompliance is the basis
10 for a, quote, a cancellation, correct? Subsection D,
11 last -- next-from-the-last line, cancellation.

12 A. (Witness peruses document.)

13 Correct.

14 Q. Okay. Now, if you'll turn one more page,
15 it's numbered page 570, this is subsection B. Again,
16 we get back to the cancellation as an option.

17 A lease may be canceled if Duke Wind, quote,
18 has failed to comply with -- I'm gonna read with
19 ellipses -- has failed to comply with these regulations
20 or any term, condition, or stipulation contained in the
21 lease.

22 A. Correct.

23 Q. Thank you. All right. So let me talk about
24 one more place where we discuss what can happen in the

1 event of noncompliance. It's on Section 8. Exhibit 2,
2 the lease, Section 8, page 3. Near the bottom of
3 page 3. And I hope no one gets a paper cut, I
4 apologize. I'm gonna read again with ellipses, and I'm
5 gonna substitute the name of the parties. Section 8,
6 page 3. Not A-3, page 3.

7 If Duke Wind fails to comply with, 1, any of
8 the applicable provisions of the act or regulations --
9 I'm gonna skip 2 -- or 3, the terms of this lease,
10 including any associated addenda, the United States of
11 America may exercise any of the remedies that are
12 provided under the act and the applicable regulations
13 including, without limitation, issuance of cessation of
14 operations, orders, suspension, or cancellation of the
15 lease and/or the imposition of penalties.

16 A. Yes.

17 Q. Thank you. So can we agree that, if Duke
18 Wind doesn't get more time, Duke Wind runs the risk of
19 having the Carolina Long Bay lease canceled if it
20 doesn't move forward with filing an SAP, a site
21 assessment plan, or providing BOEM with progress
22 reports every six months and filing a COP, construction
23 operations plan, within five years?

24 A. Yes, I agree. I believe that's consistent

1 with what we said in our direct testimony.

2 Q. But Duke Wind very much wants to avoid that,
3 doesn't it?

4 MS. LINK: Objection. These gentlemen
5 made very clear on direct that they are not a part
6 of Duke Energy Renewables Wind. Can't speak on
7 behalf of that entity.

8 Q. Hypothetically, if you had a wind -- offshore
9 wind company, would you very much want to avoid
10 cancellation?

11 A. It would depend on the market. You know,
12 here's the point we brought out in direct testimony.
13 So agree it says all those things. What I don't know
14 is where is the provision for BOEM to grant extensions,
15 because they have done so. You know, BOEM has a very
16 limited staff. Their objective is to advance the
17 development of offshore wind. And they were very much
18 focused with developing leases and auctioning leases in
19 the Northeast.

20 They pivoted down to what is now Carolina
21 Long Bay because of the energy expiration moratorium
22 that was gonna take place in July of this year. So it
23 is reasonable to assume they will focus their resources
24 back to auctions, whether it be Northeast gulf or the

1 West Coast, where they see a market, where they see a
2 future market.

3 So they really -- they have granted
4 extensions because they really have no interest in
5 acquiring leases back. It defeats the whole purpose
6 of, you know, what their objective is, in terms of
7 developing offshore wind.

8 Q. Well --

9 A. (Witness peruses document.)

10 Q. I didn't know if you had an additional point
11 you wanted to bring up or not.

12 A. Mr. Nolan just highlighted a section in
13 Exhibit 1 at the very bottom of paragraph 1, top of the
14 second paragraph that elaborates on extensions.

15 Q. Extensions are absolutely permitted.

16 A. Permitted, yeah.

17 Q. Okay. Does it make economic sense for an
18 offshore wind company to spend a fair amount of money
19 and then take no steps to develop that asset?

20 A. It would depend on where they see -- if they
21 see a future market and what that would look like.

22 Q. Okay. Have you had any conversations with
23 Duke Wind about whether it intends to seek more time to
24 comply with these obligations we've discussed?

1 A. I have not.

2 Q. Have you had any -- or the panel, I don't
3 mean you.

4 Has the panel had any conversations with Duke
5 Wind about whether it intends to move forward with the
6 SAP before June 1, 2023, the annual deadline?

7 A. The last information -- really, the only
8 information I had was shortly after the auction when,
9 in a meeting, there was discussion that Duke Energy
10 Renewables Wind was procuring resources to initiate the
11 SAP. Haven't heard anything beyond that or since then.

12 Q. I think that we can agree that the time frame
13 proposed by the panel in its testimony contemplated
14 that Duke Energy would work on the SAP and the COP?

15 A. (Clift Pompee) Are we talking about the
16 direct testimony or the rebuttal?

17 Q. Direct. I apologize.

18 A. Okay. So the time frame that was placed in
19 the direct testimony was a time frame for the regulated
20 utility, what we postulated would be our timeline.

21 Q. And that was the 8- to 10-year timeline?

22 A. That's correct.

23 Q. Part of that timeline included some time for
24 the SAP and some time for the COP?

1 A. It did. And, as I mentioned in my direct
2 testimony, if you look at the timeline provided by
3 BOEM, and I think you show that here, the site
4 assessment period is five years. So, you know, you
5 mention 2026. December, five years is June 2027.

6 Q. I was backing the six months out but, it's
7 close, right?

8 A. Okay. Understood.

9 Q. All right.

10 A. So Duke Energy Renewables Wind, in this
11 hypothetical situation, is five years to submit a COP.
12 I agree. One year SAP is pretty straight. Up to five
13 years to submit a COP. What we were saying was that,
14 if the Commission would like to have the option for
15 offshore wind in the 2030s, in the early 2030s, that
16 there is no obligation for Duke Energy Renewables Wind
17 to accelerate the timeline and get a COP in three
18 years, right? The requirement is five. If we look at
19 the -- and you can do five. And you can have your
20 progress reports and be within the law and still get
21 five years to do a COP.

22 Now, aside from that, we've seen Dominion,
23 for example, they got their lease in 2013, didn't file
24 a COP until 2020. They worked with BOEM based on their

1 particular situation to get an extension. Now, I don't
2 know what Duke Energy Renewables Wind is doing, but the
3 five years to get a COP would put us, I believe, behind
4 where we would need to be if we want to get offshore
5 wind in the 2030s.

6 Q. So we can agree that, if Duke Wind did move
7 expeditiously -- Duke Wind or any hypothetical offshore
8 wind owner did move expeditiously, we would not miss
9 out on the -- half of the -- the near-term actions
10 necessary for offshore wind to come online in
11 Portfolios 1, 2, and 4?

12 A. (Regis Repko) That's correct. But I think
13 you make my point, "if." You know, what we are asking
14 for, really from a directional standpoint, is, from the
15 Commission, that these three long lead resources: pump
16 storage, SMRs, offshore wind, initiate development so
17 that they are ready.

18 And the proposal that we have, the solution
19 that we have is for the lease to go to a regulated --
20 to the regulated Companies, DEP specifically, to be
21 developed with full transparency, oversight, and
22 progress relative to the development activities that we
23 have asked for and on the timeline that we have asked
24 for.

1 Q. Have you had discussions with Duke Wind about
2 entering into a nondisclosure agreement and working
3 through the details of Duke Wind taking any activities?

4 A. We have not.

5 Q. Okay. Do you think a, let's say, study
6 ordered by the Commission would encourage Duke Wind to
7 move expeditiously so this could be an asset available
8 for Duke Energy in the next Carbon Plan?

9 MS. LINK: Chair Mitchell, I'd object. It
10 was clear in the direct testimony, and I believe also
11 in the Public Staff's testimony, that this Commission
12 doesn't have jurisdiction over DukeEnergy Renewables
13 Wind as an affiliate.

14 MR. FREEMAN: Would it make sense for
15 it -- I apologize, Chair, I didn't mean to -- I'd
16 like to rephrase my question.

17 CHAIR MITCHELL: All right. I'll
18 overrule. Rephrase.

19 MR. FREEMAN: Thank you.

20 Q. Would it make sense for a generic offshore
21 wind company, that if it received a signal from the
22 Commission that a study was forthcoming, that its asset
23 would be more valuable if it could start on these --
24 well, the SAP's due in a year, but start on the COP

1 which has the up-to-five-year time frame?

2 A. It would be consideration, but they'd have to
3 look at the other market factors.

4 Q. Okay. I understand.

5 MR. FREEMAN: If I could have one
6 moment, Chair and Commissioners.

7 (Pause.)

8 Q. Thank you very much, panelists.

9 MR. FREEMAN: Thank you very much, Chair
10 and Commissioners. I don't have any more
11 questions.

12 CHAIR MITCHELL: All right. Redirect.

13 MS. LINK: Thank you, Chair Mitchell.

14 REDIRECT EXAMINATION BY MS. LINK:

15 Q. For the panel, just for clarity purposes,
16 under the Duke Energy Renewables Wind lease that was
17 effective as of June 1, 2022, when does a COP, a
18 constructions operation plan, need to be submitted to
19 BOEM? I believe you said it, Mr. Pompee, but maybe we
20 could just be -- to clarify.

21 A. (Clift Pompee) That would be June of 2027,
22 five years after the lease execution date.

23 Q. Okay. So there was some discussion of a
24 December 1, 2026, date. You don't agree with that

1 date, correct?

2 A. I do not.

3 Q. Okay. There was some discussion, Mr. Repko,
4 about -- and, Mr. Pompee, about getting extensions from
5 BOEM. And I believe you talked about Dominion getting
6 an extension from BOEM to file their COP seven years
7 after they won the lease in auction, correct?

8 A. Correct.

9 Q. Can you turn to -- it's Public Staff Long
10 Lead-Time Resources Panel Rebuttal Testimony Cross
11 Examination Exhibit 2, page B-1.

12 MR. FREEMAN: B?

13 MS. LINK: B, as in boy.

14 Q. And on the page, it is called addendum B,
15 lease term and financial schedule. And under lease
16 term, where it lays out lease terms, it says, "The
17 duration of each term of the lease is described below."

18 Could you read the next sentence, Mr. Pompee?

19 A. I'm sorry, I'm not --

20 Q. Oh, you're not on the same page?

21 A. I'm not there yet, yeah. Page bravo 1?

22 Q. Bravo 1.

23 A. Okay.

24 Q. Are you there, sir?

1 A. I am on the page.

2 Q. Okay. Top of the page, lease term?

3 A. Correct. Okay.

4 Q. After the sentence, "The duration of each
5 term of the lease is described below," what does that
6 next sentence say?

7 A. "The terms may be extended or otherwise
8 modified in accordance with applicable regulations in
9 30CFR part 585."

10 Q. Okay. And below then are the lease terms.
11 These extensions and modifications are what you're
12 talking about that Dominion took advantage of?

13 A. Correct.

14 Q. Okay. And is it your understanding that
15 those extensions are granted on a regular basis?

16 A. They -- it is my understanding that they are.
17 To Mr. Repko's testimony, BOEM has every intention of
18 working with the lessee to ensure success for the
19 lease.

20 Q. Thank you.

21 MS. LINK: Chair Mitchell, there was
22 also some questioning from Walmart counsel about
23 CPCN authority for Bad Creek II, and I do believe
24 that was a question from Chair Mitchell as well,

1 about whether there was going to be authority
2 granted from the South Carolina Commission. At the
3 appropriate time, if you would like to ask your
4 question again, or I can respond to it. It has a
5 legal component to it, so just for clarity at the
6 right time, if it's all right with you, I would
7 prefer to answer that question.

8 CHAIR MITCHELL: All right. Well, I was
9 gonna pose that question to the panel, so.

10 MS. LINK: We can wait.

11 CHAIR MITCHELL: Yeah, when we get
12 there.

13 MS. LINK: Thank you. I have no
14 further redirect.

15 CHAIR MITCHELL: All right. Questions
16 from Commissioners? Commissioner Clodfelter.

17 EXAMINATION BY COMMISSIONER CLODFELTER:

18 Q. Gentlemen, I've got an arithmetic question
19 just to be sure I'm understanding one of your exhibits
20 right. So with reference to the last page of your
21 rebuttal testimony and then the Figure 1 that follows
22 that last page, you were on the last page on lines 10
23 through the end of the page. You're disputing
24 Avangrid's calculus of the differential export route

1 for the undersea cable. And you say you think the
2 difference is that their cable would be longer by about
3 170 kilometers.

4 And then I look at Figure 1 and I'm trying
5 to -- there are a lot of numbers on Figure 1 and a lot
6 of different routes.

7 Is the way I get to the 170-kilometer
8 difference, is that by comparing the green line
9 difference from the Carolina Long Bay to the point near
10 Emerald Isle and then comparing that to the blue line
11 that moves south from the Kitty Hawk area down toward
12 Cape Lookout Shoals and then comes in towards Emerald
13 Isle? Is that the line I look at to compare to get
14 170-kilometer difference?

15 A. (Clift Pompee) Okay. I want to answer with
16 a yes or no, but unfortunately the one in front of me
17 is black and white, so I'm gonna --

18 MS. LINK: Permission to --

19 THE WITNESS: -- I'm gonna walk through
20 it.

21 MS. LINK: Permission to provide a color
22 copy?

23 COMMISSIONER CLODFELTER: Okay.

24 THE WITNESS: All right. So if you

1 wouldn't mind walking me through the colors again.

2 Q. Well, I think your counsel is gonna give you
3 a -- so you see on the figure there now you have color
4 one?

5 A. I do, I've got it.

6 Q. And it shows the Carolina Long Bay lease area
7 is in green, and then there's a green line which is the
8 undersea cable, I assume, that goes north to a point
9 that's roughly around Emerald Isle to the coast, and
10 then there's the Kitty Hawk area up in orange?

11 A. Yes.

12 Q. And then coming south from that there are two
13 lines, but one of them comes most directly south, then
14 continues down over Cape Lookout Shoals and then turns
15 inland toward Emerald Isle. And it looks to me that
16 the difference between those two lines is 170
17 kilometers. Are those the two lines that are being
18 compared in the written testimony?

19 A. That is correct.

20 Q. Got it.

21 A. And what we did was we assumed, for the
22 purposes of one-to-one comparison, that the landing
23 spot would be the same. That way we could show exactly
24 the delta.

1 Q. I understand. It's just that there were
2 several other possible routing combinations on the --
3 and I just wanted to be sure I was comparing the right
4 ones to get 170 kilometers. You've answered my
5 question, thank you. That's all.

6 EXAMINATION BY CHAIR MITCHELL:

7 Q. All right. Gentlemen, do you-all know
8 whether -- let me start this way.

9 Ms. Repko, I heard your testimony a moment
10 ago that Bad Creek II would have to secure a CECPCN,
11 and that would be from which jurisdiction?

12 MS. LINK: Chair Mitchell, if it's all
13 right, since it has a legal component, if I can
14 provide --

15 CHAIR MITCHELL: Yeah, go ahead. And
16 then I may ask you-all to file a late-filed exhibit
17 just explaining your response.

18 MS. LINK: Sure. My understanding is
19 that, under South Carolina law, a -- pardon me.

20 (Pause.)

21 MS. LINK: The Hydro-electric generating
22 facility that's regulated by the Federal Energy
23 Regulatory Commission, if the relicensing takes
24 place at FERC, you do not have to get a CPCN from

1 the South Carolina Commission. However, the
2 Company could waive that requirement and seek a
3 CPCN from the South Carolina Commission.

4 CHAIR MITCHELL: Okay.

5 MS. LINK: So although a final decision
6 hasn't been made yet, the Company is leaning
7 towards taking advantage of that waiver and seeking
8 a CPCN before the South Carolina Commission,
9 although a final decision hasn't been made yet.

10 CHAIR MITCHELL: Ms. Link, is there --
11 is that pursuant to federal regulation?

12 MS. LINK: That is -- so the relicensing
13 of Bad Creek II is, sort of, folded into the
14 licensing of Bad Creek I, and it is under FERC
15 jurisdiction.

16 CHAIR MITCHELL: Okay. And it's
17 South Carolina law that no CPCN is necessary if
18 there's relicensing or licensing ongoing at the
19 federal level?

20 MS. LINK: Specifically for a
21 hydro-electric generating facility.

22 CHAIR MITCHELL: Specifically for hydro.

23 MS. LINK: Which is what Bad Creek is.

24 CHAIR MITCHELL: Okay.

1 MS. LINK: So it would -- it's a choice.

2 CHAIR MITCHELL: Understood. Okay. All
3 right. Let me see if there are any other questions
4 from Commissioners. I've got questions that are
5 gonna take us into confidential session. So with
6 that, I would ask that we clear the room. Duke,
7 make sure you -- this is gonna pertain to
8 confidential information pursuant to the Avangrid
9 agreement. So I'm not sure how y'all want to
10 handle that, but anyone who is not pretty privy to
11 that agreement needs to clear the room. And I
12 would ask that we cease the streaming and we'll go
13 into confidential session.

14 MR. SMITH: Just so we're clear, this is
15 confidential session consistent with the way it's
16 practiced during this proceeding, where there's no
17 further requirements at this time, any further
18 requirements pursuant to the agreement between
19 Avangrid and Duke that will come up in a response,
20 a sort of canned response?

21 MS. LINK: I'm sorry, Mr. Smith.

22 MR. SMITH: I was getting questions for
23 other parties who had signed the broader NDA had to
24 leave, and I wanted to clarify for them that they

1 didn't have to.

2 MS. LINK: Right. So we agreed that the
3 broader -- the NDA that the parties have signed in
4 this proceeding would cover these discussions.
5 And -- okay.

6 (Due to the proprietary nature of the
7 testimony found on pages 145 to 164, it
8 was filed under seal.)

9 XXXXXXXXX

10 XXX

11 XXX

12 XXX

13 XXX

14 XXX

15 XXXXXXXXXXXXXXXXXXXXXXX

16 XXX

17 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

18 XX XXX

19 XXX

20 XXX

21 XXX

22 XXXXXXXXXXXXXXX

23 XXX

24 XXXXXXXXXXXXXXX

OFFICIAL COPY

Oct 04 2022

1 XXX

2 XXX

3 XXX

4 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

5 XX XXX

6 XXXXXXXXXXXXXXX

7 XX XXXXXXXXXX

8 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

9 XX XXXXX

10 XX XXX

11 XXX

12 XXXXXXXXXXX

13 XX XXX

14 XXX

15 XXXXXXXX

16 XX XXX

17 XXX

18 XXXXXXXXXXXXXXXXXXXXXXX

19 XXX

20 XX XXX

21 XXX

22 XXXXXXXXXXXXXXXXXXXXXXX

23 XX XXXXXXXXXXXXXXXXXXXXXXX

24 XXX

OFFICIAL COPY

Oct 04 2022

1 XXXXXXXXXXXXXXXXXXXXX

2 XX XX

3 XX XX

4 XX XX

5 XXXXXXXXXXXXXXXXXXXXX

6 XX XX

7 XXXXXXXXXXXXXXXXXXXXX

8 XX XX

9 XXXXXXXXXXXXXXXXXXXXX

10 XX

11 XX

12 XXXXXXXXXXXXXXXXXXXXXXXXXXXX

13 XX XX

14 XX

15 XX XX

16 XX

17 XXXXXXXXXXXXXXXXXXXX

18 XX XX

19 XX

20 XX

21 XX

22 XX

23 XX

24 XX XX

OFFICIAL COPY

Oct 04 2022

1 XX XX

2 XX

3 XXXXXXXXXXXXXX

4 XX XX

5 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

6 XX XX

7 XX

8 XX

9 XX

10 XX XX

11 XX XX

12 XX

13 XX XXXXXXXXXXXX

14 XX XX

15 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

16 XX XXXXXXXXXXXX

17 XX XX

18 XXXXXXXXXXXXXX

19 XX XX

20 XXXXXXXXXXXXXXXXXXXXXXXXXXXX

21 XX XX

22 XX

23 XX

24 XX

OFFICIAL COPY

Oct 04 2022

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

XXXXXXX

XX XXX

XX

XXXXXX

XX XXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXX

XX

XX

XX XXX

XX

XXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XX XXX

XX

XX XXX

XX XXX

XX XXX

XXXXXXXXXXXXXXXXXXXX

XX

XX

XX

XX

XX

OFFICIAL COPY
Oct 04 2022

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

XX
XX
XX
XXXXXXX
XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX
XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX
XX
XX
XX
XX
XX
XX
XX
XX
XX
XX XXX
XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX
XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX
XX XXX
XX
XX
XX

OFFICIAL COPY
Oct 04 2022

1 XXX

2 XX XXX

3 XXXXXXXXXXXXXXX

4 XX XXX

5 XXX

6 XXX

7 XXX

8 XXX

9 XXX

10 XXX

11 XXX

12 XXX

13 XX XXX

14 XXX

15 XXX

16 XX XXX

17 XXX

18 XXX

19 XXX

20 XXX

21 XXX

22 XXX

23 XXX

24 XXX

OFFICIAL COPY

Oct 04 2022

1 XXX

2 XXX

3 XXXXXXXXXXXXXXXXXXXXXXX

4 XX XXX

5 XXX

6 XXX

7 XX XXX

8 XXX

9 XXX

10 XXXXXXXXXXXXXXXXXXXXXXX

11 XX XXX

12 XXX

13 XXX

14 XX XXX

15 XXX

16 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

17 XX XXXXXXX

18 XX XXXXXXXXXXXXXXXXXXXXXXX

19 XX XXX

20 XXX

21 XXX

22 XXX

23 XXXXXXX

24 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

OFFICIAL COPY

Oct 04 2022

1 XX XX

2 XX

3 XX

4 XX

5 XX

6 XX XX

7 XX

8 XX

9 XX

10 XX

11 XX

12 XX

13 XX

14 XX

15 XX

16 XX XX

17 XX

18 XXXXXX

19 XX XXXXX

20 XX XX

21 XX

22 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

23 XX XXXXX

24 XX XXXXXXX

OFFICIAL COPY

Oct 04 2022

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

XX

XX

XX

XXXXXXXXXXXX

XX

XX XXX

XX

XX

XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXX

XX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XX XXX

XX

XX XXXXXXXXXXXXXXXXXXXXXXX

XX XXX

XXXXXXXXXXXXXXXXXXXX

XX XXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXX

OFFICIAL COPY
Oct 04 2022

1 XX XX

2 XX

3 XX

4 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

5 XXXXXXXXXXXXXXXXXXXXXXXXXXXX

6 XXXXXXXXXXXXXXXXXXXXXXXXXXXX

7 XX

8 XX XX

9 XX

10 XX

11 XX

12 XX

13 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

14 XX XX

15 XX

16 XX

17 XX

18 XX

19 XXXXXXXXXXXXXXXXXXXXXXXXXXXX

20 XX

21 XX

22 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

23 XX XXXXXXXXXXXXXXXXXXXX

24 XX XX

OFFICIAL COPY

Oct 04 2022

1 XX
 2 XX
 3 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX
 4 XX XX
 5 XX
 6 XX
 7 XX
 8 XX
 9 XX
 10 XX
 11 XX
 12 XX
 13 XX XX
 14 XX
 15 XX
 16 XX
 17 XX
 18 XX
 19 XX
 20 XX XXXXXXXXX
 21 XX XX
 22 XX
 23 XX
 24 XX XXXXXXXXX

OFFICIAL COPY

Oct 04 2022

1 XX XXXXXXX

2 XX XXXXXXXXXXXXXX

3 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

4 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXX

5 XX XX

6 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

7 XX XXXXXXXXXX

8 XX XX

9 XXXXXXXXXX

10 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

11 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

12 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

13 XX XX

14 XX

15 XXXXXXXXXX

16 XX XX

17 XX

18 XX

19 XXXXXXXXXX

20 XX XX

21 XX

22 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

23 XX

24 XX

OFFICIAL COPY

Oct 04 2022

1 XX
 2 XX
 3 XXXXXXXXXXXXXXXX
 4 XX XX
 5 XX
 6 XX
 7 XX
 8 XX
 9 XX XX
 10 XXXXXXXX
 11 XX XXXXXXXXXXXXXXXX
 12 XX XXXXXXXXXXXXXXXXXXXXXXXX
 13 XX XX
 14 XX
 15 XX
 16 XXXXXXXXXXXXXXXX
 17 XX XX
 18 XX
 19 XXXXXXXXXXXXXXXX
 20 XX XX
 21 XX
 22 XX
 23 XX
 24 XX

OFFICIAL COPY

Oct 04 2022

1 XXX

2 XX

3 XXX

4 XXX

5 XXX

6 XXX

7 XXX

8 XXX

9 XXX

10 XX XX

11 XXX

12 XXX

13 XXX

14 XX XXXXXXXXXX

15 XX XX

16 XX XXXXXXXXXXXXXXXXXXXXXXXXXX

17 XX XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

18 XX

19 XX

20 XXXXXXXXXX

21 XXX

22 XX XX

23 XXX

24 XX XX

OFFICIAL COPY

Oct 04 2022

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XX XXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

XXXXXXXXXXXXXXXXXXXXXXXXXXXX

OFFICIAL COPY
Oct 04 2022

1 CHAIR MITCHELL: Okay. All right. We
2 will go out of confidential session and go back
3 into public session, and you can let people back in
4 the room.

5 Okay. We have just three more questions
6 for you, Mr. Repko, or two more really.

7 EXAMINATION BY CHAIR MITCHELL:

8 Q. Did you -- has the Company -- has Duke, any
9 of the Duke entities -- I'm getting a signal. Your
10 panelists want to rejoin you?

11 CHAIR MITCHELL: You can't find them?
12 They've left the building? They had enough. Can
13 you get Mr. Eason in the room, please? Okay.

14 Q. Has any of the Duke entities had discussions
15 with TotalEnergies about its lease?

16 A. (Regis Repko) There were -- there were
17 initial discussions around -- before the lease about a
18 potential partnership to participate in the auction.
19 We explained the ownership provisions of House Bill
20 951. There were also -- again, nothing progressed past
21 that. There have also since been discussions about
22 opportunities around co-development of the SAP since it
23 is a common geographical area. But nothing more than
24 that.

1 Q. Would co-development of the SAP save
2 ratepayers money?

3 A. There would -- there would be savings there.
4 The magnitudes, again, I would have to -- I don't have.
5 You know, default of Duke Energy Renewables Wind on
6 that.

7 Q. Understood. But it's likely that there would
8 be some savings?

9 A. There would be, yes.

10 Q. Any other opportunities to identify and
11 realize ratepayer savings associated with the proximity
12 of Total's lease?

13 A. Well, I mean, all of the development
14 activities, because of the proximity, right, the
15 meteorological wind speed, the ocean floor surveys,
16 those are -- you get into some pretty expensive-type
17 activities. So, obviously, there would be cost savings
18 associated with the share of those -- sharing those.

19 Q. And that's something that -- the sharing is
20 an avenue the Companies either have begun to explore or
21 will explore in the future?

22 A. There are discussions, yes.

23 CHAIR MITCHELL: Okay. All right.

24 Questions on those -- I'm sorry, Commissioner

1 Clodfelter.

2 EXAMINATION BY COMMISSIONER CLODFELTER:

3 Q. Let me follow the Chair's question on that --
4 that point about the options for shared costs.

5 Could those go so far as shared
6 infrastructure, such as shared cabling and shared
7 onshore facilities necessary to get to the injection
8 point? Could those be co-developed with Total?

9 A. I'd have to think -- we'd have to look at
10 that around the provisions of House Bill 951 ownership,
11 but I'll say potentially.

12 Q. I respect that. I'm just really asking more
13 if there were technological or physical barriers that
14 would prevent you from talking with them about shared
15 infrastructure?

16 A. No, there is not.

17 CHAIR MITCHELL: Okay. I believe we've
18 come to the end of this panel's cross examination.

19 MS. LINK: We have no exhibits.

20 CHAIR MITCHELL: Any -- go ahead.

21 MR. FREEMAN: We had two exhibits,
22 Commissioner. I would move the Public Staff's Long
23 Lead-Time Resources Panel Rebuttal Testimony Cross
24 Examination Exhibit Numbers 1, which were the

1 portion of the Code of Federal Regulations, and
2 Exhibit Number 2 which was the lease into the
3 record in evidence.

4 CHAIR MITCHELL: All right. Hearing no
5 objection, your motion will be allowed.

6 MR. FREEMAN: Thank you.

7 (Public Staff's Long Lead-Time Resources
8 Panel Rebuttal Cross Examination Exhibit
9 Numbers 1 and 2 were admitted into
10 evidence.)

11 CHAIR MITCHELL: All right. With that,
12 you-all may step down and be excused. Thank you
13 very much for your testimony today. All right.

14 Duke, call your next witnesses.

15 (Pause.)

16 CHAIR MITCHELL: All right. Let's get
17 you all sworn in. Please raise right hands.

18 Whereupon,

19 LON HUBER AND TIM DUFF,

20 having first been duly sworn, were examined
21 and testified as follows:

22 CHAIR MITCHELL: All right.

23 MS. FENTRESS: Madam Chair, this is the
24 Grid Panel that has been -- Grid Edge Panel, sorry,

1 that has been recalled. Today Duke Energy filed a
2 late-filed exhibit at the request of the
3 Commission, late-filed Exhibit Number 6. With the
4 Commission's permission, I can have that -- I can
5 ask the panel to introduce that exhibit and ask
6 that it be premarked.

7 CHAIR MITCHELL: I would appreciate
8 that. Do you have copies? Okay.

9 MS. FENTRESS: I have copies if the
10 Commission does not have copies.

11 CHAIR MITCHELL: I don't think we have
12 copies.

13 MS. FENTRESS: We have copies.

14 CHAIR MITCHELL: Okay.

15 (Pause.)

16 MS. FENTRESS: While they're being
17 passed out, I could take care of some of the
18 preliminary questions.

19 CHAIR MITCHELL: All right. Go ahead.

20 DIRECT EXAMINATION BY MS. FENTRESS:

21 Q. Beginning with Mr. Huber.

22 Mr. Huber, are you the same Lon Huber who
23 appeared in this proceeding on September 16, 2022, as
24 part of the Grid Edge Panel's direct case?

1 A. (Lon Huber) Yes.

2 Q. And, Mr. Duff, are you the same Timothy Duff
3 who appeared with Mr. Huber on September 16th?

4 A. (Tim Duff) Yes.

5 Q. Turning back to you, Mr. Huber, did the panel
6 cause to be prefiled in this docket rebuttal testimony
7 consisting of 16 pages?

8 A. (Lon Huber) Yes.

9 Q. Do you have any changes to your rebuttal
10 testimony at this time?

11 A. No.

12 Q. If I were to ask you the same questions today
13 that appear in your prefiled rebuttal testimony, would
14 your answers be the same?

15 A. Yes.

16 Q. Does this panel's testimony include
17 confidential information?

18 A. No.

19 Q. Did you also cause -- prepare and cause to be
20 prefiled a summary of the panel's rebuttal testimony?

21 A. Yes.

22 Q. And did this panel, at the Commission's
23 request, prepare and cause to be filed late exhibit --
24 Late-Filed Exhibit Number 6?

1 A. Yes.

2 Q. Do you have any changes to make at this time
3 to Late-Filed Exhibit Number 6?

4 A. No, not at this time.

5 Q. Does Late-Filed Exhibit Number 6 include any
6 confidential information?

7 A. No, it does not.

8 MS. FENTRESS: Chair Mitchell, I would
9 ask that the Grid Edge Panel's rebuttal testimony
10 be entered into the record as if given orally from
11 the stand, and that the late-filed exhibit be
12 premarked.

13 CHAIR MITCHELL: All right. The
14 rebuttal testimony -- the prefiled rebuttal
15 testimony of the Grid Edge Panel will be copied
16 into the record as if delivered orally from the
17 stand. And the late-filed -- let's mark the
18 late-filed exhibit as Grid Edge Panel Rebuttal
19 Exhibit 1.

20 (Grid Edge Panel Rebuttal Exhibit 1 was
21 identified as it was marked when
22 prefiled.)

23 (Whereupon, the prefiled rebuttal
24 testimony of Lon Huber and Tim Duff and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

the prefiled summary testimony of
Lon Huber and Tim Duff, as requested in
Volume 30, was copied into the record as
if given orally from the stand.)

OFFICIAL COPY

Oct 04 2022

STATE OF NORTH CAROLINA
UTILITIES COMMISSION
RALEIGH

DOCKET NO. E-100, SUB 179

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of:)	REBUTTAL TESTIMONY OF
Duke Energy Progress, LLC, and)	LON HUBER AND TIM DUFF ON
Duke Energy Carolinas, LLC, 2022)	BEHALF OF DUKE ENERGY
Biennial Integrated Resource Plan)	CAROLINAS, LLC AND DUKE
And Carbon Plan)	ENERGY PROGRESS, LLC

OFFICIAL COPY

Exp 04 2022

1 **I. INTRODUCTION AND SUMMARY**

2 **Q. MR. HUBER, PLEASE STATE YOUR NAME, TITLE AND**
3 **BUSINESS ADDRESS.**

4 A. My name is Lon Huber, and my business address is 526 South Church
5 Street, Charlotte, North Carolina, 28202. I am the Senior Vice President for
6 Pricing and Customer Solutions for Duke Energy Corporation. I am
7 providing testimony today with Tim Duff on behalf of Duke Energy
8 Carolinas, LLC (“DEC”) and Duke Energy Progress, LLC (“DEP” and
9 together with DEC, the “Companies” or “Duke Energy”) as the “Grid Edge
10 Panel.” Mr. Duff will introduce himself.

11 **Q. MR. DUFF, PLEASE STATE YOUR NAME, TITLE AND BUSINESS**
12 **ADDRESS.**

13 A. My name is Timothy J. Duff, and my business address is 400 South Tryon
14 Street, Charlotte, North Carolina, 28202. I am the General Manager, Grid
15 Strategy Enablement for Duke Energy Business Services, LLC.

16 **Q. ARE YOU THE SAME GRID EDGE PANEL THAT FILED DIRECT**
17 **TESTIMONY IN THIS CASE?**

18 A. Yes.

19 **Q. IS THE GRID EDGE PANEL INTRODUCING ANY EXHIBITS IN**
20 **SUPPORT OF YOUR REBUTTAL TESTIMONY?**

21 A. No.

1 **Q. WHAT IS THE PURPOSE OF THE GRID EDGE PANEL'S**
2 **REBUTTAL TESTIMONY?**

3 A. The purpose of the Grid Edge Panel's rebuttal testimony is to respond to the
4 testimony of the Public Staff - North Carolina Utilities Commission
5 ("Public Staff") witness David M. Williamson, the North Carolina Attorney
6 General's Office ("AGO") witness Edward Burgess, Appalachian Voices
7 witness Rory McIlmoil, Carolina Industrial Group for Fair Utility Rates II
8 and III ("CIGFUR") witness Michael P. Gorman, and NC WARN witness
9 William E. Powers.

10 **Q. PLEASE EXPLAIN THE GRID EDGE PANEL'S APPROACH TO**
11 **REBUTTAL TESTIMONY IN THIS PROCEEDING.**

12 A. The Companies are taking a targeted approach to rebuttal testimony due to
13 the significantly accelerated procedural schedule in this proceeding. The
14 Companies continue to believe that the energy efficiency modeling
15 assumption of 1% of eligible load is reasonable and supports the near-term
16 action plan presented for approval in this initial Carbon Plan proceeding.
17 Approval of the near-term action plan will allow the Commission to retain
18 discretion to consider all available options in future Carbon Plan biennial
19 update proceedings as the energy transition continues. The Grid Edge Panel
20 will address the most significant comments and critiques of the Grid Edge
21 direct testimony presented by the Public Staff, the AGO, Appalachian
22 Voices, CIGFUR, and NC WARN, but the panel has not undertaken the

1 unachievable task of responding in four business days to every issue
2 presented by the various witnesses that address Grid Edge issues.

3 **II. RESPONSE TO PUBLIC STAFF**

4 **Q. DO YOU AGREE WITH PUBLIC STAFF THAT THE DEMAND-**
5 **SIDE MANAGEMENT (“DSM”)/ENERGY EFFICIENCY (“EE”)**
6 **MECHANISM NEEDS TO BE REOPENED TO MAKE THE**
7 **COMPANIES’ PROPOSED UPDATES?**

8 A. No. After a Carbon Plan is adopted by the Commission, the Companies
9 agree that any updates to the inputs utilized for justifying demand-side
10 utility programs must be part of a Commission-approved modification to
11 the EE/DSM Cost Recovery Mechanisms (“Mechanism”). The changes to
12 the Mechanism that would base inputs on the specific costs associated with
13 the selected marginal carbon free and storage resources in the approved
14 Carbon Plan need to be developed in collaboration with stakeholders and
15 approved by Commission. However, the entire Mechanism, which was
16 approved two years ago after months of negotiation and comment among
17 numerous parties, does not need to be reopened and modified. Instead, the
18 Companies recommend that targeted required modifications to the
19 Mechanism be approved by the Commission. This will facilitate a more
20 expedited process than the unnecessary complexity of reopening the entire
21 Mechanism, which includes other, unrelated provisions and is formally
22 reviewed by the parties and the Commission approximately every four
23 years. Following the Commission’s current existing review schedule, the

1 Mechanism is not slated to be reopened for comprehensive update and
2 review until 2024.

3 There is established precedent for targeted modifications to the
4 Mechanism that supports the Companies' proposal for the targeted
5 modification of the Mechanism in this case. As the Commission is aware,
6 in the past year, both Companies worked with the Public Staff on
7 developing specific language modifying the Mechanism to include
8 application of the Reserve Margin Adjustment Factor in the determination
9 of the avoided capacity values associated with energy efficiency savings.
10 The Companies proposed the specific, agreed-upon modifying language for
11 review in their respective annual DSM/EE rider filings, without requiring
12 any additional changes to the Mechanism.

13 **Q. PLEASE COMMENT ON WITNESS WILLIAMSON'S**
14 **STATEMENT THAT THE COMPANIES' "AS-FOUND" BASELINE**
15 **METHODOLOGY IS INAPPROPRIATE FOR ANY EE MEASURE**
16 **WITH AN IDENTIFIED BASELINE EFFICIENCY.**

17 A. Notably, the Companies agree with the Public Staff that the appropriate time
18 to address the "as-found" baseline is when the Companies request
19 Commission approval for new programs or modifications to existing
20 programs that seek to recognize and measure energy savings on an "as-
21 found" basis. The Companies disagree, however, with witness
22 Williamson's contention that the "as-found" baseline should not apply to
23 measures that have baseline efficiency standards. Witness Williamson's

1 overly broad recommendation fails to recognize the link between “as-
2 found” savings and programs that promote early replacement of measures.
3 The Companies’ Mechanisms neither prescribe nor prohibit the use of an
4 “as-found” baseline, but rather require that the energy savings are
5 Evaluated, Measured and Verified (“EM&V”) by an independent third-
6 party using industry-accepted practices. Well-known industry accepted
7 methods and practices recognize “as-found” savings associated with early
8 replacements based on program designs that motivate customers to replace
9 operating inefficient equipment with higher efficiency equipment prior to
10 the end of life of the old equipment. One example of a document process
11 for recognizing and quantifying “as-found” savings is the TRM/Mid-
12 Atlantic Technical Reference Manual.

13 Witness Williamson also understates the extent to which the
14 Companies’ existing, accepted EM&V results appropriately recognize “as-
15 found” impacts. While, as pointed out, EM&V for measures without an
16 efficiency baseline recognize “as-found” savings, so do other accepted
17 EM&V results for measures with efficiency baselines that utilize a
18 consumption analysis. For example, DEC’s Income Qualified
19 Weatherization program assesses the impact of Tier Two measures, which
20 include both HVAC and insulation, through a consumption analysis by
21 comparing consumption of the treated participant group being evaluated
22 against the consumption of a comparison group. Essentially, energy
23 consumption when the old inefficient HVAC unit was being used is

1 compared to energy usage after the new HVAC is installed. Consequently,
2 the “as-found” methodology recognizes the actual system benefits that are
3 being realized from the energy savings associated with the customer’s
4 participation in the program.

5 **Q. PLEASE RESPOND TO THE PUBLIC STAFF’S**
6 **RECOMMENDATION THAT THE COMMISSION DISTINGUISH**
7 **ENERGY SAVINGS USED FOR EE/DSM COST RECOVERY**
8 **PURPOSES FROM THOSE USED FOR CARBON PLAN**
9 **COMPLIANCE.**

10 A. The Companies struggle to understand the logic of the Public Staff’s
11 proposal to arbitrarily isolate energy savings from EE/DSM Programs
12 reflected in the Carbon Plan from those recognized and used in the cost
13 recovery for the EE/DSM Programs. If reduced carbon emissions associated
14 with energy savings derived from utility EE programs is a value or utility
15 system benefit (reducing the need for supply side investments needed to
16 reduce carbon emissions), not recognizing the energy savings benefit in the
17 cost effectiveness justification for offering EE programs under the
18 Mechanism is a problematic disconnect. For example, if the Companies
19 design a program to achieve energy savings associated with early
20 replacement of an inefficient appliance and develop a higher incentive level
21 based on cost effectiveness thru the recognition of “as-found” savings, they
22 should be able to recognize the higher incentive cost associated with
23 utilizing the “as-found” methodology. To recognize the higher incentive

1 cost, while ignoring the higher energy savings and the associated system
2 benefit, will yield a program that is not cost effective and should not be
3 offered under the Mechanism. The Mechanism has a demonstrated record
4 of accomplishment of effectively motivating the Companies to develop and
5 offer customers EE and demand response programs that will deliver as
6 much energy and capacity savings as cost-effectively as possible. The high
7 level of EE program performance that the Companies have achieved
8 through the Mechanism have been enabled by the Mechanism's alignment
9 of cost effectiveness test results and the utility Portfolio Performance
10 Incentives ("PPI"). The PPI appropriately reflects the recognized utility
11 system benefits and costs associated with the energy savings achieved by
12 the programs. If the Commission were to adopt the Public Staff's
13 recommendation and sever this alignment, the goal of achieving as much
14 cost-effective energy efficiency savings as possible will be significantly
15 eroded. As this Commission has previously recognized, Senate Bill 3
16 provided that the utilities should be compensated for their DSM/EE efforts
17 and allowed awarding of incentives, including rewards based upon shared
18 savings and avoided costs achieved by DSM/EE measures.

1 **III. RESPONSE TO AGO**

2 **Q. PLEASE RESPOND TO WITNESS BURGESS' COMMENT THAT**
 3 **COMMERCIAL AND INDUSTRIAL ("C&I") CUSTOMERS**
 4 **WOULD OPT IN IF OFFERED MORE ATTRACTIVE EE/DSM**
 5 **PROGRAMS.**

6 A Witness Burgess comments that "[i]f Duke were to offer EE/DSM programs
 7 that were actually attractive to C&I customers, then there is the possibility
 8 that these customers would opt back in as a means to reduce their energy
 9 bills over the long run[,]"¹ without providing a basis for this contention that
 10 the Companies' programs are not attractive or describing in what ways they
 11 are lacking. The Companies have a long history of working with
 12 stakeholders in the DSM/EE Collaborative to ensure that their portfolios of
 13 non-residential programs are both attractive and comprehensive. The
 14 Companies' portfolios offer customer prescriptive incentives associated
 15 with over 440 unique energy efficiency measures, as well as two approaches
 16 to a custom non-residential program. The first approach, in the Performance
 17 Incentive Program is designed to cover less certain customer performance-
 18 based projects, like retro-commission and energy management system
 19 installations. The second approach, the Custom Incentives offered under the
 20 Energy Efficient Products and Assessment Program, is designed to allow

¹ AGO Burgess Direct Testimony at 83.

1 customers to receive incentives for specific complex efficiency projects
2 where the savings are based on equipment and process efficiencies.

3 Witness Burgess also seems unaware that the Companies have made
4 a number of changes to make opting in more attractive, such as developing
5 separate EE and DSM Rider components to allow customers to opt into only
6 paying for the portion of the non-residential programs that they participate
7 in. DEC has also developed an additional opt in window in response to
8 customer feedback that more time was necessary to understand their annual
9 capital budgets that can be spent on an efficiency upgrade.

10 **Q. PLEASE RESPOND TO WITNESS BURGESS' CRITICISM OF THE**
11 **"AS-FOUND" BASELINE METHODOLOGY.**

12 A. The Companies disagree with Witness Burgess' contention that an "as-
13 found" baseline methodology would "erroneously compare the energy
14 consumption of the newly purchased appliance to that of the broken one
15 being replaced (*i.e.*, the "as found" appliance)."² As explained in the
16 Companies' direct testimony, the enabler of recognizing an "as-found"
17 baseline is not a blanket request for approval to utilize an "as-found"
18 baseline for all EE/DSM programs. The identification of the "as-found"
19 enabler was instead intended to demonstrate the Companies' recognition
20 that to achieve higher levels of energy efficiency savings, or to reach beyond
21 the low-hanging fruit, the Companies needed to seek approval of programs


² *Id.* at 92.

1 and modifications to existing programs that promote early replacement of
2 inefficient technologies by recognizing the resulting “as-found” savings.

3 **Q. WITNESS BURGESS CONTENDS THAT THE COMPANIES’**
4 **UTILITY ENERGY EFFICIENCY (“UEE”) ROLLOFF FORECAST**
5 **IS INACCURATE. HOW DO YOU RESPOND?**

6 A. Witness Burgess provides no formal analysis for his contention that the
7 Companies’ UEE roll-off forecast is inaccurate. His contention appears to
8 be solely based on the high-level observation that “Base” usage per
9 customer (prior to factoring in UEE and electric vehicle adoption) is
10 increasing in the near term before declining. As shown in Table 1 below,
11 the “base” load forecast does include a moderate increase in residential
12 usage per customer before starting to decline toward the end of the decade;
13 however, one must look at the drivers to understand whether this is an
14 accurate forecast or reflective of an underlying error related to UEE roll-
15 off. Considering that the forecast appropriately reflects the load growing
16 due to adoption of internet of things devices and a portfolio of EE programs
17 (with an average measure life of over 8 years) a great deal of the EE roll-
18 off from adoption of UEE programs will not occur until the latter half of the
19 2020s. Rather than contending the UEE roll-off included in the load forecast
20 is in error, witness Burgess should see that the underlying assumptions have
21 been appropriately reflected in the “base” load forecast.

1

Table 1. Base Residential Usage per Customer

2

3

IV. RESPONSE TO APPALACHIAN VOICES

4 Q.

DO YOU AGREE WITH WITNESS MCILMOIL'S CLAIM THAT THE COMPANIES' PROGRAMS TARGETING LOW-INCOME CUSTOMERS ARE "STARKLY UNDERFUNDED"?

5

6

7 A.

No. The Companies agree that developing new programs to more effectively target low-income customers and increase participation in their existing low-income programs is very important. However, the Companies disagree that program funding levels are a barrier to achieving this shared goal. The Companies' projected budgets and funding levels included in the Companies' annual EE/DSM Rider filings are in no way intended to be, nor do they act, as a cap on annual funding for the programs. Budgets are intended to be an accurate estimate of upcoming spending for the purposes

10

11

12

13

14

1 of cost recovery. If, however, actual program participation exceeds the
2 projections underlying the budget, the Companies will adjust their requested
3 recovery as part of the reconciliation included in a future EE/DSM Rider
4 filing.

5 **Q. PLEASE RESPOND TO WITNESS MCIIMOIL'S CONTENTION**
6 **THAT FUNDING AND PARTICIPATION SHORTFALLS IN**
7 **EXISTING EE PROGRAMS MUST BE ADDRESSED BEFORE**
8 **CONSIDERATION OF ANY PROPOSAL TO EXPAND THE**
9 **ELIGIBILITY FOR LOW-INCOME EE PROGRAMS.**

10 A. The Companies' proposed enabler expanding the definition of low-income
11 to 300% of the federal poverty guideline was in no way envisioned to shift
12 funding from the existing income eligible participants, but rather it was
13 identified as a way to recognize that a larger pool of eligible customers
14 would, if approved by the Commission in future program filings, allow for
15 more customer participation and more energy efficiency savings.

1 noted in a letter filed in this docket by the Companies on September 7, 2022,
 2 the Companies intend to continue to engage stakeholders on a
 3 comprehensive suite of programs at the conclusion of the Carbon Plan
 4 evidentiary hearing. In the meantime, and specifically in response to a
 5 CIGFUR recommendation made in its comments in this Docket,³ the
 6 Companies will, in the near future, file for Commission approval of a “GSA
 7 bridge” of 250 MW (using the eligibility criteria for existing Green Source
 8 Advantage (“GSA”) program) to satisfy customer demand until such time
 9 as new customer renewable programs can be proposed, with stakeholder
 10 input, and approved by the Commission.

11 **VI. RESPONSE TO NC WARN**

12 **Q. NC WARN WITNESS POWERS ASSERTS THAT “THE NEM**
 13 **SOLAR ADDITIONS FORECAST IN THE 2020 IRP’S WERE**
 14 **MADE IN THE CONTEXT OF THE COMPANIES MODIFYING**
 15 **THE NEM TARIFF TO REDUCE BILL SAVINGS.”⁴ IS THAT**
 16 **ACCURATE?**

17 A. No. The NEM forecast included in the 2020 IRPs were completed in the
 18 context of supporting the IRP as can be explained further by Duke Energy
 19 witness Kalemba on the Modeling and Near-Term Actions Panel.

³ CIGFUR Comments at 28-29.

⁴ NC WARN Powers Direct Testimony at 57.

1 Q. WITNESS POWERS STATES THAT THE “CARBON PLAN
2 REDUCES THE ROLE OF NEM SOLAR DRAMATICALLY,
3 RELATIVE TO THE 2020 IRP FORECASTS.”⁵ DO YOU AGREE
4 WITH THIS ASSERTION?

5 A. No. As witness Kalemba discusses in his direct testimony,⁶ the NEM
6 forecasts in both the 2020 IRP and the Carbon Plan are based upon current
7 inputs and policies approved at that point in time the forecasts are modeled.
8 The difference between the forecasts is because the rooftop solar market is
9 dynamic and changes in panel prices, historic adoption trends, average
10 system size, etc. must be incorporated to make the forecasts as accurate as
11 possible. Neither forecast incorporates the impact of proposed changes to
12 net metering, the Smart Saver Solar proposed incentives, or the impact of
13 the Inflation Reduction Act of 2022, as none of these policies were approved
14 at the time the models were run.

15 **VII. CONCLUSION**

16 **Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?**

17 A. Yes.

⁵ *Id.*

⁶ *See* Modeling and Near-Term Actions Panel, Direct Testimony at 124-125.

Duke Energy Carolina, LLC and Duke Energy Progress, LLC
Summary of Rebuttal Testimony – Grid Edge Panel
Lon Huber and Tim Duff
Carolinas Carbon Plan
Docket No. E-100, Sub 179

1 Our rebuttal testimony specifically responds to testimony filed by Public Staff
2 witness David Williamson, the Attorney General Office’s witness Edward Burgess,
3 Appalachian Voices’ witness Rory McIlmoil, CIGFUR’s witness Michael Gorman,
4 and NC WARN’s witness William Powers.

5 The following provides an overview of the Companies’ response to each of
6 these witnesses’ testimony:

- 7 • Public Staff Witness Williamson: The Companies disagree with witness
8 Williamson’s testimony that the demand-side management
9 (“DSM”)/Energy Efficiency (“EE”) mechanism (“Mechanism”) needs to be
10 reopened to make the Companies’ proposed updates. The Companies
11 believe that the targeted required modifications to certain inputs to the
12 Mechanism can be approved by the Commission without the need to reopen
13 the Mechanism in its entirety. The Companies also believe that witness
14 Williamson’s recommendation with respect to the “as-found” baseline is
15 overly broad and fails to recognize the link between “as-found” savings and
16 programs that promote early replacement of measures. The Panel’s rebuttal
17 testimony also argues that witness Williamson understates the extent to
18 which the Companies’ existing, accepted evaluation, measurement, and
19 verification results appropriately recognize “as-found” impacts.
- 20 • Attorney General Witness Burgess: The Companies disagree with witness
21 Burgess’ position regarding the attractiveness of the Companies’ EE/DSM
22 programs for commercial and industrial customers by explaining the
23 Companies’ ongoing engagement with the DSM/EE Collaborative to
24 improve EE/DSM programs and by noting witness Burgess’ failure to offer
25 any specific programmatic enhancements or to acknowledge the number of
26 changes the Companies have made to make these programs more attractive.
27 The Companies also rebut witness Burgess’ assertions regarding the
28 Companies’ utility energy efficiency roll-off forecast.
- 29 • Appalachian Voices Witness McIlmoil: This Panel’s rebuttal testimony
30 clarifies that, contrary to witness McIlmoil’s testimony that funding levels
31 are a “barrier”, the projected budgets and funding levels included in the
32 Companies’ annual EE/DSM Rider filings are no way intended to be, nor
33 do they act as, a cap on annual funding for the programs.
- 34 • CIGFUR Witness Gorman: This Panel’s rebuttal testimony explains how
35 the Companies considered additional demand response and rates for price

36 responsive loads for non-residential customers in its Carbon Plan, contrary
37 to witness Gorman’s assertion that the Companies failed to consider non-
38 residential flexible load. The Companies also explain that they look forward
39 to continuing stakeholder engagement on a comprehensive suite of new
40 customer renewable programs after the conclusion of the Carbon Plan
41 evidentiary hearing.

- 42 • NC WARN witness Powers: This Panel’s rebuttal testimony addresses
43 inaccuracies in witness Powers’ testimony regarding net energy metering.

44 This concludes our summary.

1 MS. FENTRESS: Thank you. The panel is
2 now available for questions from the parties and
3 the Commission.

4 CHAIR MITCHELL: All right. Let's see.
5 Attorney General?

6 MS. FORCE: No questions.

7 CHAIR MITCHELL: Okay. Appalachian
8 Voices, go ahead.

9 MS. CRALLE JONES: Good afternoon,
10 Commissioners and Chair Mitchell and panel.

11 CROSS EXAMINATION BY MS. CRALLE JONES:

12 Q. My name is Cathy Cralle Jones, again, here
13 before you on behalf of Appalachian Voices. And in
14 your rebuttal testimony, you provided some specific
15 responses to issues raised by Appalachian Voices. And
16 I'd like to turn your attention to page 12 of your
17 testimony, line 7.

18 A. (Tim Duff) Yes.

19 Q. And there you indicated that developing new
20 programs to more effectively target low-income
21 customers and increase participation in their existing
22 low-income programs is very important, correct?

23 A. Yes.

24 Q. And then you go on to say that you disagree

1 that program funding levels are a barrier to achieve
2 this goal, correct?

3 A. Yes. The program budgets and funding are not
4 the barrier.

5 Q. Okay. So I just want to ask you a couple of
6 questions about current programs and funding levels.

7 Do you have a copy of the Carbon Plan
8 Appendix G with you?

9 A. Let me see.

10 (Witness peruses document.)

11 Yes, I do.

12 Q. If you, please, would turn to pages 28 and
13 29.

14 A. I'm there.

15 Q. And Figures G-6 and G-7 generally show summer
16 and winter demands and peaks and then discusses the
17 higher peak load typically generated by low-income
18 customers; is that fair?

19 A. Subject to check. I don't have time to read
20 it. I do see that it calls out the different load
21 shapes for the different --

22 Q. Okay. And then specifically looking at the
23 very last sentence at the bottom of page 28, you'd
24 agree with that conclusion, wouldn't you, that the

1 partnership and engagement with low-income customers
2 and advocacy groups will be critical for addressing
3 this load?

4 A. Yes. We've long thought that, and we've long
5 engaged with the low-income community weatherization
6 agencies as well as other broad stakeholder groups that
7 are interested in representing the interests of
8 low-income customers.

9 Q. And so now if you would, turn back to page 6
10 of that where you list, in Table G-1, all of the
11 current residential energy efficiency programs.

12 A. (Witness peruses document.)

13 I'm almost there. Sorry about that.

14 Q. No worries. Page 6.

15 A. Okay. There it is. Yup, I see it.

16 Q. Okay. And there you've got listed the
17 residential programs. And focusing on low-income or
18 income-qualified programs, the only targeted program
19 listed in that table is the low-income weatherization
20 program, correct?

21 A. No. There are two programs that are
22 specifically targeted at reaching low-income customers
23 and income-qualified customers, the neighborhood energy
24 saver program and the low-income weatherization

1 program. But as I -- as we talked about during my
2 direct testimony, many of our mass market programs also
3 effectively reach those customers.

4 Q. But the neighborhood energy saver program,
5 that is not limited to income-qualified customers,
6 correct?

7 A. Yes and no. It targets income-qualified
8 customers because it targets neighborhoods where
9 greater than 50 percent of the homes in that
10 neighborhood or geographic area are at or below 200
11 percent of the federal poverty guideline.

12 Q. Remind me, I think that program, though,
13 doesn't include all residential customers, correct?
14 Doesn't it exclude mobile homes?

15 A. It currently does not, I believe, allow those
16 manufactured homes, that's correct.

17 Q. And does it also exclude rental homes?

18 A. I don't believe it excludes rental premises,
19 because it does cover -- it can cover multifamily
20 rental premises.

21 Q. But if a person rents their home, unless the
22 owner agrees, that's not a program open to renters?

23 A. Yes. We can't make modifications to a
24 customer's home without the owner of the residence

1 agreeing to those modifications.

2 Q. Now, you talked about modifications under the
3 neighborhood energy saver program.

4 I've seen on the website that that's listed
5 as \$180 value; does that sound correct?

6 A. So you're -- I think you're talking about the
7 tier 1 program, in terms of the measures that are
8 directly installed according to the program. But we --
9 unfortunately, during COVID, we -- right before COVID
10 we had implemented a change to that program to include
11 much greater-valued measures and deeper energy
12 efficiency saving measures, and it was targeting
13 participants in the low-income neighborhood energy
14 saver program that had higher energy usage. So if they
15 had higher energy usage, they qualify for more
16 expensive measures.

17 But with respect to the \$180, that was the
18 value associated with the direct install measures that
19 were under the exist- -- the original tier. Like I
20 said, unfortunately, because of COVID, we haven't had a
21 ton of opportunity to get participation in that,
22 because we have seen a real barrier to getting into
23 customers' homes because of concern about the pandemic.

24 Q. The website indicates that there's \$30 worth

1 of free stuff; do you disagree?

2 A. So I think -- when you say "free stuff," I
3 think you're talking about the measures of value versus
4 the person going in and installing and auditing the
5 premise.

6 Q. And that stuff includes LED bulbs?

7 A. There were some specialty LED bulbs, I
8 believe, still included in that program, yes.

9 Q. And a low-flow shower head?

10 A. I believe that's one of the measures, yes.

11 Q. And then switch and outlet seals?

12 A. I think that's correct, yes.

13 Q. Okay. For a moment, then, let's go back and
14 focus on the program that is listed here as low-income
15 weatherization. Taking a cue from Commissioner
16 Clodfelter during your direct testimony, I checked out
17 the Duke website and wanted to take a minute to talk
18 about that program.

19 It appears, based on the website information,
20 that the program is conducted in partnership with the
21 North Carolina Community Action Association, correct?

22 A. That's correct.

23 Q. In fact, the Duke website refers inquiries to
24 the NCCAA website to determine eligibility, correct?

1 A. That's correct. They help Duke administer
2 the program.

3 Q. Do you know what the current funding is for
4 that program and how many low-income customers it
5 serves?

6 A. I can't tell you how many have participated
7 this year or what has been spent this year. I can tell
8 you that I do recognize there have been some
9 challenges, again, getting participation in that
10 program, again, due to workforce issues, finding the
11 actual labor to do it. But that's not unique to that
12 program, we've struggled with other programs to get the
13 necessary workforce to do the energy efficiency audits
14 for some of the other programs and get into customers'
15 homes.

16 And I also think it's important to note that
17 the supply chain issues and the availability of
18 equipment have also impacted that program, has been
19 what I've been told. So yes, I think our participation
20 is lower than what was originally projected, but I
21 think that's been something that we've been dealing
22 with in the post-COVID world across not only our
23 neighborhood energy saver low-income weatherization
24 program, but all the other programs.

1 Q. It's late in the afternoon and I'm trying to
2 ask pretty direct questions.

3 So would you agree with me, or do you have
4 any reason to disagree with the information on the
5 website that says approximately \$5 million will be
6 provided annually for this program, and over 1,600
7 customers are expected to participate?

8 A. That's -- that's, I believe, the targets,
9 yes.

10 Q. And that program is only available in the DEC
11 territory, correct?

12 A. As I discussed with you specifically in my
13 direct testimony, we filed for the expansion of that
14 program in June to the DEP, the service territory. But
15 yes, it is currently only available in DEC.

16 Q. Thank you. And we discussed earlier during
17 your direct testimony and the Appalachian Voices
18 Exhibit 3 that DEC has approximately 580,000 low-income
19 customers.

20 Would you accept that, subject to check?

21 A. Subject to check.

22 Q. Okay. So if 1 percent of DEC low-income
23 customers participated in the weatherization program,
24 that would be 5,800 customers; does that lawyer math

1 make sense to you?

2 A. Yeah. Subject to check, I think that's
3 pretty accurate.

4 Q. But the website says that there's only 1,600
5 that were expected to participate in the program.

6 So under the existing program, that would be
7 less than one-third of 1 percent, correct?

8 A. So that -- I think your math is correct. I
9 think it's important to note, though, that a lot of the
10 limitations on participation are not associated with
11 the funding that you referenced; it's due to what
12 the -- we can get done through the actions agencies and
13 that collaboration.

14 Q. We can disagree about the reasons for it, but
15 the question for you, is reaching less than
16 three-tenths of a percent of low-income customers for
17 weatherization, is that a target that Duke's satisfied
18 with?

19 A. It's a target that we believe was accurate at
20 the time it was put on the website. We have been
21 working with the low-income and affordability
22 collaborative, including stakeholders like App Voices,
23 to try and identify ways to approve the effectiveness
24 and the reach of those programs. But as I said, some

1 of the program administration issues associated with
2 that are not directly within Duke's control.

3 Q. Okay. And you mentioned before that you've
4 applied to expand that program to DEP.

5 Will that 0.3 percent be a target that Duke
6 would find acceptable in the DEP area as well?

7 A. I can't speak to what percentage it is
8 without having the numbers in front of me. I can tell
9 you we tried to put in realistic projections with
10 respect to knowing what's going on in the market and
11 knowing the issues we've seen with the DEC program, the
12 participation that we think we can accurately get.
13 Again, to inflate projections would only serve to
14 artificially increase the rider without justification.

15 Q. And I guess whether it's projections and
16 rider or if it's a target, a program goal, and I think
17 that was my question, is that an acceptable target for
18 Duke point --

19 A. So I don't think you can delineate the two.
20 We use the program budgets. But as I mentioned,
21 really -- I tried to mention a number of times, the
22 Company is not capped by its targets or its budgets
23 that it puts in its rider filing. Those we use for
24 planning purposes, for cost recovery purposes to try

1 and let people know what we think we can achieve. It's
2 not a cap. We're not trying to leave low-income
3 impacts on the table.

4 If we can get the participation, given some
5 of the constraints that I've talked about, the Company
6 would love to get the participation. It's not a matter
7 of the budget providing a cap on what can be done or
8 the target being a cap. We're putting that out there
9 to communicate what realistically we think can be done
10 as well as make sure that what we're seeking in cost
11 recovery is appropriate and not inflated.

12 Q. Table G-1 lists -- we've talked about the
13 low-income weatherization program, but it doesn't
14 include other targeted low-income programs. But the
15 helping home fund is another program listed on a Duke
16 web page when you search income-qualified services.

17 Is the helping home fund a program -- an
18 existing program in the DEP service area?

19 A. I don't believe it is. But the helping home
20 fund is not an energy efficiency program, so I'm gonna
21 be limited in what I can talk to about the helping home
22 fund. The helping home fund is not something that is a
23 part of the Commission-approved EE monies. So it's
24 outside of the scope of really what I can testify to.

1 Q. Okay. Let me let me offer the website
2 description of it and see if you disagree. The
3 website --

4 MS. FENTRESS: Objection. I believe
5 that Mr. Duff has explained that he is not
6 knowledgeable about this. The helping home fund is
7 not part of our EE portfolio. It is funded through
8 shareholder dollars and has been the result of
9 mergers and rate cases in the past. It is not
10 within the purview of Mr. Duff's rebuttal
11 testimony.

12 CHAIR MITCHELL: Ms. Cralle Jones?

13 MS. CRALLE JONES: Commissioner
14 Clodfelter, I believe, had asked about if I wanted
15 to find where these low-income programs were, where
16 would I look on the website. I checked the
17 website. The website says income-qualified
18 services. And that is -- includes the helping home
19 fund, which the website describes as
20 "Income-qualified North Carolina families will save
21 energy and money through free home energy makeovers
22 provided by Duke energy's helping home fund.
23 Households will receive energy saving upgrades
24 through a \$2.5 million" --

1 CHAIR MITCHELL: All right.

2 Ms. Cralle Jones, what's your question, though? I
3 mean, why are you asking this witness the question?

4 MS. CRALLE JONES: Again, to see, kind
5 of, the targets of who is being reached by these
6 programs.

7 CHAIR MITCHELL: Okay. I'm gonna
8 sustain the objection because Mr. Duff has
9 indicated that that particular program is not
10 within the scope of the programs that he's -- with
11 which he's familiar.

12 MS. FENTRESS: Okay.

13 COMMISSIONER CLODFELTER: Chair, just so
14 the record is clear, the question I asked Mr. Duff
15 was not about low-income programs, it was about the
16 integrated grid solution retail products.

17 CHAIR MITCHELL: All right. Please
18 proceed, Ms. Cralle Jones.

19 Q. So on page 9 and 10 of Exhibit G that we
20 talked about, the Company lists the planned and
21 proposed EE programs. And in your rebuttal testimony,
22 and you've said today that those program funding levels
23 are not a barrier to reaching the shared goal of more
24 targeted investments for low-income customers and

1 increase their participation. And based upon what
2 we've talked about, we've got a current allocation of
3 \$5 million for the weatherization fund.

4 Is that an annual allocation fund?

5 A. So it's the -- I think it's the projected
6 annual budget associated with the program that's
7 approved.

8 Q. Okay. And has Duke determined how many more
9 customers, in at least DEC, would fall into the
10 200 percent to 300 percent range of low-income
11 customers?

12 A. I don't have -- we didn't do that analysis,
13 specifically. The issue with that analysis is it
14 fluctuates. It's a point in time, and so it's a little
15 bit of a challenge to do that, as well as it's tied to
16 residence, and residence changes over time. But it's
17 something that we -- that we can do at a point in time,
18 but we did not do that specific analysis.

19 Q. And I would assume, then, that you haven't
20 done the analysis for DEP to figure out how many
21 additional low-income customers would be included in
22 that mix if the goal were expanded to 300,000?

23 A. No. As I said before, the proposal to
24 potentially increase the income qualification for

1 certain new low-income programs would just expand that
2 pool of customers that would be eligible for low-income
3 programs.

4 As I said, with those income-qualified
5 programs, obviously we would want to make that
6 eligibility change as part of a program filing, and we
7 would have participation projections at the time that
8 we would be seeking approval of that. As well as the
9 cost-effectiveness, which as I mentioned before, is
10 something we'd would want the Commission to consider,
11 since income-qualified programs tend not to be
12 cost-effective.

13 Q. Have the Companies considered just setting a
14 goal for energy efficiency programs designed for and
15 delivered to low-income customers as part of shrinking
16 the challenge, just saying we will reach X percentage
17 as a goal?

18 A. I don't think -- we don't think that that's
19 necessarily an accurate approach to do things. Like I
20 said, income qualifications can change that would
21 qualify customers' eligibility. And as I also talked
22 about before, it's important to remember that we have a
23 whole portfolio of programs that can help those
24 customers achieve savings.

1 And so to put specific targets associated
2 with a segment of customers is something that would
3 likely be somewhat of a distraction from the overall
4 goal, which is to get as much cost-effective energy
5 efficiency, and in the case of the Carbon Plan and
6 factoring in income-qualified programs, as much energy
7 efficiency as possible.

8 We don't think you need a -- we don't think
9 you need a target, because the target is to do as much
10 as we can.

11 Q. We talked earlier about the American Council
12 for Energy Efficient Economy and their scorecard and
13 where DEC and DEP fell into that scorecard. And I
14 haven't had a chance to review in detail, but it
15 appears that part of your late-filed exhibit goes into
16 some explanation about that.

17 Can we agree that there are utilities and
18 regulatory bodies in other states that have implemented
19 program goals and funding requirements that target
20 energy efficiency programs for low-income customers?

21 A. I'm not specifically aware of any. None of
22 the states that Duke operates in that I'm familiar
23 with, we don't have those specific targets associated
24 with achievements, other than what we have here in

1 North Carolina, which is a projected target as a part
2 of the cost recovery filing and then annual
3 reconciliations to that target.

4 Q. In follow-up to your direct testimony,
5 Commissioner McKissick -- and I really did find this
6 one in the transcript -- asked whether you could,
7 quote, discretely identify what set of policies would
8 really need to be adopted and what set of circumstances
9 would be needed to get there. And that was, if needed
10 for the record, on page 73 from the September 16th
11 hearing.

12 Do you recall that exchange?

13 A. Yes, I do, because that was on the 16th, as
14 you said, that was the cause for the late-filed exhibit
15 that I thought was gonna take a lot more time. And I
16 thought I had 30 days and found out I had 11. So yes,
17 I definitely remember that conversation.

18 Q. Are you aware that ACEEE, the group that
19 we've talked about before, has put together a guide for
20 regulators supporting low-income energy efficiency?

21 A. Not specifically, no.

22 Q. Okay.

23 CHAIR MITCHELL: All right.

24 Ms. Cralle Jones, I'm gonna stop you there. We've

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

come to the end of the day. We will be back in the morning. Let's go off the record. We'll be back in the morning at 9:30. And we will resume with Ms. Cralle Jones' examination of the panel.

(The hearing was adjourned at 4:59 p.m. and set to reconvene at 9:30 a.m. on Thursday, September 29, 2022.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA)
COUNTY OF WAKE)

I, Joann Bunze, RPR, the officer before whom the foregoing hearing was conducted, do hereby certify that any witnesses whose testimony may appear in the foregoing hearing were duly sworn; that the foregoing proceedings were taken by me to the best of my ability and thereafter reduced to typewritten format under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 2nd day of October, 2022.

Joann Bunze

JOANN BUNZE, RPR

Notary Public #200707300112



OFFICIAL COPY

Oct 04 2022