

OFFICIAL COPY

1

1 PLACE: Dobbs Building
2 Raleigh, North Carolina
3 DATE: Tuesday, October 2, 2018
4 TIME: 10:00 a.m. - 11:46 a.m.
5 DOCKET NO: G-9, Sub 727
6 BEFORE: Commissioner ToNola D. Brown-Bland, Presiding
7 Commissioner Lyons Gray
8 Commissioner Charlotte A. Mitchell

FILED

OCT 29 2018

Clerk's Office
N.C. Utilities Commission

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

IN THE MATTER OF:
Application of
Piedmont Natural Gas Company, Inc.,
for Annual Review of Gas Costs Pursuant to
G.S. 62-133.4(c) and Commission Rule R1-17(k)(6)

1 A P P E A R A N C E S
2 **FOR PIEDMONT NATURAL GAS COMPANY, INC.:**
3 James H. Jeffries, IV, Esq.
4 McGuireWoods LLC
5 201 North Tryon Street
6 Charlotte, North Carolina 28202
7
8 Brian Heslin, Esq.
9 Deputy General Counsel
10 550 North Tryon Street
11 Charlotte, North Carolina 28202
12
13 **FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION, INC:**
14 Robert F. Page, Esq.
15 Crisp & Page, PLLC
16 4010 Barrett Drive, Suite 205
17 Raleigh, North Carolina 27609
18
19 **FOR THE USING AND CONSUMING PUBLIC:**
20 Elizabeth D. Culpepper, Esq.
21 Public Staff - North Carolina Utilities Commission
22 4326 Mail Service Center
23 Raleigh, North Carolina 27699-4300
24

1	T A B L E O F C O N T E N T S	
2	E X A M I N A T I O N S	
3	CATHY ANN BUCKLEY	
4	Direct Examination by Ms. Culpepper.....	9
5	Examination by Commissioner Brown-Bland...	14
6		
7	MARYBETH TOMLINSON, GENNIFER RANEY and	
8	SARAH E. STABLEY, as a panel	
9	Direct Examination by Ms. Jeffries.....	17
10	Prefiled Testimony of Ms. Tomlinson.....	19
11	Summary of Testimony.....	25
12	Prefiled Testimony of Ms. Raney.....	30
13	Summary of Testimony.....	44
14	Prefiled Testimony of Ms. Stabley.....	49
15	Summary of Testimony.....	68
16	Cross Examination by Mr. Page.....	71
17	Examination by Commissioner Brown-Bland...	73
18	Examination by Commissioner Gray.....	103
19	Examination by Commissioner Mitchell.....	105
20	Examination by Mr. Page.....	109
21	Examination by Mr. Jeffries.....	112
22		
23		
24		

1 E X A M I N A T I O N S Cont'd:

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

POORNIMA JAYASHEELA, ZARKA H. NABA and
MICHAEL C. MANESS, as a panel

Direct Examination by Ms. Culpepper.....	123
Prefiled Revised Joint Testimony.....	125
Summary of Testimony.....	154
Examination by Commissioner Mitchell.....	156
Examination by Mr. Jeffries.....	161
Examination by Ms. Culpepper.....	161

E X H I B I T S

IDENTIFIED/ADMITTED

Exhibits MBT-1 through MBT-4.....	19/19
Exhibits GJR-1A, GJR-1B, GJR-2, GJR-3, GJR-4A, GJR-4B, GJR-4C, GJR-5A, GJR-5B, GJR-5C, GJR-6, and GJR-7.....	47/47

P R O C E E D I N G S

COMMISSIONER BROWN-BLAND: Good morning.

Let us come to order and go on the record. I am Commissioner ToNola D. Brown-Bland, Presiding Commissioner for this hearing. And with me this morning are Commissioners Lyons Gray and Charlotte A. Mitchell.

I now call for hearing Docket Number G-9, Sub 727, In the Matter of an Application of Piedmont Natural Gas Company, Inc., for Annual Review of Gas Costs Pursuant to G.S. 62-133.4(c) and Commission Rule R1-17(k) (6).

G.S. 62-133.4 authorizes gas cost adjustment proceedings for natural gas local distribution companies. G.S. 62-133.4(c) provides that the Utilities Commission shall conduct annual review proceedings to compare each natural gas utility's prudently incurred costs with costs recovered from all of the utility's customers served during the test period.

Commission Rule R1-17(k) (6) prescribes the procedures for such annual reviews of natural gas costs.

On August 1, 2018, Piedmont Natural Gas

1 Company, Inc., hereafter Piedmont, filed the testimony
2 and exhibits of Gennifer Raney, Sarah E. Stabley, and
3 MaryBeth Tomlinson relating to an annual review
4 proceeding.

5 On August 7, 2018, the Commission issued an
6 Order Scheduling Hearing, Requiring Filing of
7 Testimony, Establishing Discovery Guidelines and
8 Requiring Public Notice, which scheduled a hearing for
9 today, Tuesday, October 2, 2018.

10 On August 23, 2018, Carolina Utility
11 Customers Association, Inc., filed a Petition to
12 Intervene which was granted by the Commission on
13 August 24, 2018.

14 On September 17, 2018, the Public Staff
15 filed the joint testimony of Poornima Jayasheela,
16 Zarka H. Naba, and Michael C. Maness.

17 On September 24, 2018, the Commission issued
18 an Order Providing Notice of Commission Questions.

19 Numerous Consumer Statements of Position
20 were filed with the Commission on September 27th, 28th
21 and October 1, 2018.

22 On September 28, 2018 and October 1, 2018,
23 Piedmont filed Written Response to Commission
24 Questions, and filed the required Affidavits of

1 Publication on October 1, 2018, as well.

2 Also on October 1st, the Public Staff filed
3 the Revised Joint Testimony of three of its
4 witnesses -- of its three witnesses.

5 In compliance with the requirements of
6 Chapter 138A of the State Government Ethics Act, I
7 remind all members of the Commission of our
8 responsibility to avoid conflicts of interest, and I
9 inquire whether any member of the Commission has a
10 conflict of interest with respect to this matter
11 before us this morning?

12 (No response)

13 The record will reflect that no conflicts
14 were identified.

15 I'll now call for appearances, beginning
16 with Piedmont.

17 MR. JEFFRIES: Thank you. Madam Chairman,
18 Commissioner Gray, and Commissioner Mitchell, I'm Jim
19 Jeffries with the Law Firm of McGuireWoods here on
20 behalf of Piedmont Natural Gas Company. With me today
21 is Mr. Brian Heslin, Deputy General Counsel of Duke
22 Energy.

23 COMMISSIONER BROWN-BLAND: Good morning,
24 glad to have you with us.

1 MR. PAGE: Good morning, Commissioners. I
2 am Robert F. Page representing the Intervenor,
3 Carolina Utility Customers Association.

4 COMMISSIONER BROWN-BLAND: Good morning,
5 Mr. Page.

6 MS. CULPEPPER: Good morning. Elizabeth
7 Culpepper with the Public Staff appearing on behalf of
8 the Using and Consuming Public.

9 COMMISSIONER BROWN-BLAND: Ms. Culpepper,
10 have you identified any public witnesses who wish to
11 testify this morning?

12 MS. CULPEPPER: Yes, ma'am.

13 COMMISSIONER BROWN-BLAND: Are you prepared
14 to call them at this time?

15 MS. CULPEPPER: Yes. Cathy Buckley.

16 MS. BUCKLEY: I've never done this before.
17 I sit right here --

18 COMMISSIONER BROWN-BLAND: Ms. Buckley, will
19 you come down here, around to the table. She's --
20 everything has been set up there.

21 Is that good with you, Madam Court Reporter,
22 that location?

23 COURT REPORTER: Yes, ma'am.

24

1 CATHY ANN BUCKLEY;
2 having been duly sworn,
3 testified as follows:

4 COMMISSIONER BROWN-BLAND: Please be seated.

5 DIRECT EXAMINATION BY MS. CULPEPPER:

6 Q I have a few questions for you, Ms. Buckley.

7 A Sure.

8 Q Please state your full name and address for the
9 record.

10 A I am not speaking as an individual, but you still
11 want my personal address?

12 Q Yes, ma'am.

13 A My name is Cathy with a C, Ann, A-N-N, Buckley,
14 B-U-C-K-L-E-Y. I live at 710 Independence Place,
15 Raleigh, North Carolina.

16 Q And who are you testifying on behalf of?

17 A I am testifying on behalf of the Sierra Club's
18 National Dirty Fuels Team.

19 Q And are you a customer of Piedmont?

20 A I am not.

21 Q Do you have a statement you'd like to make?

22 A I do.

23 Q Please do so.

24 A Thank you.

1 Commissioners, interested parties,
2 general public, my name is Cathy Buckley. I
3 reside in North Carolina. And I'm a volunteer
4 member of the National Sierra Club's Dirty Fuels
5 Team on whose behalf I deliver this statement.

6 The National Sierra Club has three
7 million members with 30,000 -- I'm sorry, with
8 90,000 residing in North Carolina.

9 In its recent filing to the North
10 Carolina Utilities Commission, Piedmont Natural
11 Gas Company fails to show that its gas costs were
12 prudently incurred.

13 We urge the Commission to take a
14 real hard look at Piedmont's gas purchasing
15 practices to ensure that it is providing the
16 lowest cost possible for its customers.

17 Piedmont and its parent company
18 Duke Energy are a primary owner of the proposed
19 six billion and counting Atlantic Coast Pipeline.
20 The Commission should be concerned that Duke and
21 Piedmont are engaging in self-dealing and passing
22 unreasonable costs on to captive ratepayers to
23 make a lucrative profit for Duke shareholders.

24 Piedmont claims its incurred gas

1 costs are prudent, yet neither the Atlantic Coast
2 Pipeline nor the proposed Piedmont pipeline are
3 needed to meet gas demand in North Carolina.
4 There is enough capacity on the existing Transco
5 pipeline. Transco recently stated, stated this
6 in a filing with the South Carolina Public
7 Service Commission, "Transco has the
8 infrastructure and the pipeline in place to serve
9 the northeast for many years".

10 Simultaneously, Piedmont fails to
11 offer comprehensive energy efficiency programs
12 for its customers. The Commission could and
13 should require programs to reduce Piedmont's cost
14 and help customers save money on their bills.

15 Why would the Commission allow
16 Piedmont to charge customers for building
17 unnecessary and hugely expensive infrastructure,
18 like the Atlantic Coast Pipeline, when its sole
19 purpose is not to meet demand or provide lowest
20 cost resources for customers but to increase
21 profits for Piedmont and Duke Energy
22 shareholders.

23 The mission of this -- yes, the
24 mission of Duke, excuse me -- yes, the mission of

1 Energy and Piedmont is to take care of
2 shareholders.

3 The mission of this Commission is
4 take care of North Carolina ratepayers, many of
5 whom are vulnerable, vulnerable to rate increases
6 and to increasingly furious storms. The
7 Commission must apply serious scrutiny to rate
8 hikes related to new pipeline transportation
9 costs. Are they truly just and reasonable,
10 especially in light of affiliate self-dealing?

11 Piedmont claims that the need for
12 the new liquified natural gas facility proposed
13 in Robeson County "is independent from the
14 Atlantic Coast Pipeline supply".

15 We request an independent,
16 objective study to ascertain whether this major
17 infrastructure project is necessary and worth the
18 cost of about a quarter of a billion dollars to
19 ratepayers. And think about how many solar
20 panels we could put up with that money instead
21 and how many storms we might avert.

22 The Commission should also assert
23 its authority to review the contracts between
24 Duke and Piedmont regarding this facility and the

1 relationship with the proposed Atlantic Coast
2 Pipeline.

3 I also request that the Commission
4 act in the best interest of North Carolina
5 customers by asserting its authority to review
6 contracts between the utilities they regulate and
7 the proposed gas pipelines in which affiliates of
8 these same companies are investing.

9 The Commission should also file
10 protests in relevant FERC, Federal Energy
11 Regulatory Commission, pipeline dockets
12 immediately demanding that FERC fully evaluate
13 the market need for any new pipeline that would
14 impact their state's ratepayers.

15 Thanks for your attention.

16 Q Does that conclude your statement?

17 A It does.

18 MS. CULPEPPER: No questions.

19 COMMISSIONER BROWN-BLAND: Are there
20 questions from --

21 MR. JEFFRIES: No questions from Piedmont.

22 COMMISSIONER BROWN-BLAND: Questions from
23 the Commissioners?

24

1 EXAMINATION BY COMMISSIONER BROWN-BLAND:

2 Q Ms. Buckley, with regard -- you had several
3 comments there about affiliate transactions and
4 self-dealing. You are aware that the Commission
5 has imposed conditions on the Merger, and that
6 affiliate transactions of the nature that you've
7 described are something that the Public Staff
8 looks into and guards against. Are you aware of
9 that?

10 A I'm aware that that is the -- that that is the
11 job of the Staff, yes.

12 Q And that this Commission impose those conditions
13 that there not be such self-dealing?

14 A Well, my concern as a parent and as an inhabitant
15 here on the planet is that the fossil fuel
16 industry in general - and the utilities and the
17 pipeline companies - are incredibly well-staffed.
18 And every time they hire somebody, of course, we
19 pay for it, and they also make a profit on those.
20 And we have very few resources compared to that.
21 So I appreciate that you're getting a tremendous
22 amount of information. That's hard to wade
23 through. And I would just urge you to think
24 about what we're doing today and what that's

1 going to result in 20 years from now. How many
2 Florence's, Matthew's and so forth are we going
3 to be able to endure. And my -- I think the
4 major concern is that we could reach a point
5 where we can't do anything about it. The
6 permafrost up in the Arctic, there's more carbon
7 up there than we've already put out and, if that
8 starts melting, if that permafrost starts thawing
9 fast enough, it will be a run away train. So
10 there are very few safeguards for us and I really
11 urge you to have a second look at all the
12 information that's been provided to you.

13 COMMISSIONER BROWN-BLAND: I appreciate your
14 testimony. Are there questions on Commission's
15 questions?

16 MS. CULPEPPER: No questions.

17 MR. JEFFRIES: No questions.

18 COMMISSIONER BROWN-BLAND: Ms. Buckley,
19 thank you for coming this morning, taking the time to
20 come and share your concerns with us. We appreciate
21 that.

22 THE WITNESS: Thanks for listening.

23 COMMISSIONER BROWN-BLAND: That's what makes
24 the process work. So you're excused.

1 (The witness is excused)

2 MS. CULPEPPER: I'm unaware of any
3 additional public witnesses.

4 COMMISSIONER BROWN-BLAND: Out of an
5 abundance of caution, is there any other member of the
6 public which -- who wishes to come forward and give
7 testimony this morning?

8 (No response)

9 COMMISSIONER BROWN-BLAND: The record will
10 reflect no one came forward.

11 Mr. Jeffries -- well, Mr. Jeffries and
12 Ms. Culpepper, any preliminary matters before we
13 begin?

14 MR. JEFFRIES: Not that I'm aware of, Madam
15 Chairman.

16 MS. CULPEPPER: (Shakes head no)

17 COMMISSIONER BROWN-BLAND: We'll begin with
18 you, Mr. Jeffries.

19 MR. JEFFRIES: Thank you. Piedmont Natural
20 Gas would call to the stand as a panel Ms. MaryBeth
21 Tomlinson, Ms. Gennifer Raney, and Ms. Sarah Stabley.

22 MARYBETH TOMLINSON, GENNIFER RANEY and SARAH STABLEY;
23 having been duly sworn,
24 testified as follows:

1 COMMISSIONER BROWN-BLAND: You may be
2 seated. Mr. Jeffries.

3 MR. JEFFRIES: Thank you, Madam Chairman.

4 DIRECT EXAMINATION BY MR. JEFFRIES:

5 Q Ms. Tomlinson, I think we'll start with you, if
6 that's all right. Could you state your full name
7 and business address for the record, please?

8 A (Ms. Tomlinson) My name is MaryBeth Tomlinson.
9 My business address is 4720 Piedmont Row Drive,
10 Charlotte North Carolina 28210.

11 Q And do you work for Piedmont Natural Gas?

12 A Yes.

13 Q Could you provide the Commission with a
14 description of your title and your
15 responsibilities?

16 A I'm the Manager of Gas Accounting. My
17 responsibilities include reporting the cost of
18 gas on Piedmont's books, maintaining a proper
19 match of revenues and cost of gas on Piedmont's
20 income statements, verifying volumes and prices
21 on all invoices related to the purchase and
22 transportation of natural gas, and reporting gas
23 inventory accounts and deferred accounts.

24 Q And are you the same MaryBeth Tomlinson that

1 prefiled testimony in this proceeding on
2 August 2, 2018, consisting of five pages and
3 Exhibits MBT-1 through MBT-4?

4 A Yes, I am.

5 Q And was that testimony and were those exhibits
6 prepared by you or under your direction?

7 A Yes, they were.

8 Q Do you have any changes or corrections to your
9 prefiled testimony or exhibits?

10 A No, I do not.

11 Q Ms. Tomlinson, if I asked you the same questions
12 that are set forth in your prefiled testimony
13 while you are on the stand today, would your
14 answers be the same as those reflected in your
15 prefiled testimony?

16 A Yes, they would be.

17 MR. JEFFRIES: Madam Chair, Piedmont would
18 move the entry of the prefiled testimony of
19 Ms. Tomlinson into the record as if given orally from
20 the stand.

21 COMMISSIONER BROWN-BLAND: That motion will
22 be allowed. And, just for clarification of the
23 record, we have a filing date as August 1, 2018.

24 MR. JEFFRIES: I'm sorry. Did I misspeak?

1 I thought I said August -- I thought I -- that is
2 correct. That's what I intended to say. If I didn't
3 say that, I apologize.

4 COMMISSIONER BROWN-BLAND: All right. The
5 prefiled testimony of MaryBeth Tomlinson will be
6 received into the record as if given orally from the
7 witness stand. And her exhibits along -- and
8 particularly her Exhibit 1 with 10 schedules, all of
9 those will be identified as they were marked when
10 prefiled.

11 MR. JEFFRIES: All right. And we would ask
12 that they be admitted into evidence, please.

13 COMMISSIONER BROWN-BLAND: Without
14 objection, those exhibits will be received into
15 evidence at this time.

16 MR. JEFFRIES: Thank you, Madam Chairman.

17 (WHEREUPON, Exhibits MBT-1 through
18 MBT-4 are marked for
19 identification and received into
20 evidence as prefiled.)

21 (WHEREUPON, the prefiled direct
22 testimony of MARYBETH TOMLINSON is
23 copied into the record as if given
24 orally from the stand.)

1 **Q. Please state your name and your business address.**

2 A. My name is MaryBeth Tomlinson. My business address is 4720 Piedmont
3 Row Drive, Charlotte, North Carolina.

4 **Q. What is your position and what are your responsibilities with Piedmont
5 Natural Gas Company ("Piedmont" or the "Company")?**

6 A. I am employed as the Manager of Gas Accounting. Piedmont is a wholly
7 owned subsidiary of Duke Energy Corporation ("Duke Energy").

8 **Q. Please describe your educational and professional background.**

9 A. I received a B.A. degree in Accounting from Belmont Abbey College in
10 Belmont, NC in 1985. In 1985, I was employed by Hobbs, Crossley and
11 Blacka P.A. as a staff accountant. In 1987, I was employed by ALLTEL
12 Corporation as Manager of General Accounting. In 1995, I was employed
13 by SeaLand Service Corporation as Manager of Vessel Accounting. In
14 1999, I was employed by United States Ship Management, LLC ("USSM")
15 as Manager of General Accounting. In 2005, I was employed by HSBC
16 Mortgage Corp. as Manager of Accounting. In 2007, I was employed by
17 Piedmont as Manager of Special Projects. In February 2008, I became the
18 Manager of Corporate Accounting. In August 2012, this department was
19 divided between two managers and I became the Manager of Plant
20 Accounting and Accounts Payable. I accepted the position as the Manager
21 of Gas Accounting in January 2015.

22 **Q. Have you previously testified before this Commission or any other
23 regulatory authority?**

1 A. Yes. I have previously testified before this Commission and the Public
2 Service Commission of South Carolina.

3 **Q. What is the purpose of your testimony in this proceeding?**

4 A. The purpose of my testimony in this docket is to provide the information
5 required by Commission Rule R1-17(k)(6)(c) for the period June 1, 2017
6 through May 31, 2018. This information is reflected in the following
7 schedules attached to my testimony, which are collectively designated as
8 Exhibit_(MBT-1):

- 9 (1) Summary of cost of gas expense.
- 10 (2) Summary of demand and storage gas costs.
- 11 (3) Summary of commodity gas costs (\$).
- 12 (4) Summary of other cost of gas charges/(credits).
- 13 (5) Summary of demand and storage rate changes.
- 14 (6) Summary of demand and storage capacity level changes.
- 15 (7) Summary of demand and storage costs incurred versus collected.
- 16 (8) Summary of deferred account activity - sales.
- 17 (9) Summary of deferred account activity – all customers.
- 18 (10) Summary of gas supply (Dts).

19 These schedules were prepared by me or under my supervision.

20 **Q. Has Piedmont accounted for its cost of gas in compliance with Rule R1-**
21 **17(k) and the Commission's prior order in Docket G-100, Sub 67?**

1 A. Yes. Piedmont has complied with the Rule and has filed with the
2 Commission (with a copy to the Public Staff) a complete monthly
3 accounting of its computations under the approved procedures. As ordered
4 by the Commission in Docket G-100, Sub 67, Piedmont has recorded the
5 net compensation from secondary market transactions in the All Customers'
6 Deferred Account.

7 **Q. Has Piedmont accounted for its secondary market sales and capacity**
8 **release to Duke Energy Carolinas, LLC ("DEC") and Duke Energy**
9 **Progress, LLC ("DEP") in compliance with the North Carolina Utilities**
10 **Commission's September 29, 2016 *Order Approving Merger Subject to***
11 ***Regulatory Conditions and Code of Conduct* in Docket Nos. G-9, Sub**
12 **682, E-2, Sub 1095, and E-7, Sub 1100?**

13 A. Yes. As of October 2016, the month in which the merger was
14 consummated, Piedmont has recorded in Piedmont's Deferred Gas Cost
15 accounts all of the margins (also referred to as net compensation) received
16 by Piedmont on secondary market sales and capacity release to DEC and
17 DEP for the benefit of customers without any benefit to or sharing by
18 Piedmont.

19 **Q. How do the gas costs incurred by Piedmont during the period June 1,**
20 **2017 through May 31, 2018 compare with the gas costs recovered from**
21 **Piedmont's customers during the same period?**

1 A. During the period June 1, 2017 through May 31, 2018, Piedmont incurred
2 gas costs of \$349,780,100, received \$343,478,124 through rates and
3 allocated the difference of (\$6,301,976) to Piedmont's gas cost deferred
4 accounts. At May 31, 2018, Piedmont had the following deferred account
5 balances:

6	All Customers Account	\$ (17,078,428)
7	Sales Customers Account	\$ <u>5,191,871</u>
8	Total	\$ (11,886,557)

9 The Sales Customers Account balance owed to Piedmont as shown above
10 includes \$5,207,171 related to its hedging program and (\$15,300) of other
11 activity.

12 **Q. Has the Commission been kept advised of changes in Piedmont's**
13 **deferred account during the test period?**

14 A. Yes, Piedmont has filed information with the Commission on a monthly
15 basis regarding the status of its deferred accounts and has provided copies
16 of this information to the Public Staff.

17 **Q. How does Piedmont propose to address recovery of the Hedging**
18 **Account Balances?**

19 A. Piedmont proposes to combine the Hedging Deferred Accounts and the
20 Sales Customer Only Deferred Account balances to determine the net
21 increment/decrement for sales customers resulting from this proceeding.

1 **Q. What are the results of Piedmont's Hedging Program for the review**
2 **period?**

3 A. As indicated above, the balance in the Hedging Program Deferred Accounts
4 at May 31, 2018 was \$5,207,171. I have attached an analysis of the
5 Hedging Program Deferred Account for the review period as
6 Exhibit_(MBT-2):

7 **Q. Are you proposing that any rate increments or decrements be**
8 **implemented in this proceeding on the basis of the balances in the**
9 **deferred accounts?**

10 A. Yes. Based on the end-of-period balances in the Company's deferred
11 accounts, I recommend that the increments/decrements to Piedmont's rates
12 reflected on Exhibit_(MBT-3) and Exhibit_(MBT-4), attached hereto, be
13 placed into effect for a period of twelve months after the effective date of the
14 final order in this proceeding.

15 **Q. Does this conclude your testimony?**

16 A. Yes.

17

1 BY MR. JEFFRIES:

2 Q Ms. Tomlinson, have you prepared a summary of
3 your prefiled testimony?

4 A Yes, I have.

5 Q Could you please provide that to the Commission?

6 A Yes.

7 (WHEREUPON, the summary of
8 MARYBETH TOMLINSON is copied into
9 the record.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

**SUMMARY OF PREFILED DIRECT
OF MARYBETH TOMLINSON
Docket No. G-9, Sub 727**

My name is MaryBeth Tomlinson and I am the Manager of Gas Accounting for Piedmont Natural Gas Company, Inc. The purpose of my direct testimony is to provide the Commission with Piedmont's gas cost and Hedging Program accounting data and end-of-period balances for the review period in this proceeding as required by Commission Rule R1-17(k)(6)(c). The accounting data required by Commission Rule is attached to my testimony as Exhibit __ (MBT-1).

Piedmont has complied with the requirements of Commission Rule R1-17(k) during the review period by filing monthly accountings of its gas costs as well as its deferred account balances. The Company has also recorded the net compensation from secondary market transactions in its All Customers' Deferred Account as required by the Commission in Docket No. G-100, Sub 67. Consistent with the Commission's *Order Approving Merger Subject to Regulatory Conditions and Code of Conduct* in Docket Nos. E-7, Sub 1100, E-2, Sub 1095, and G-9, Sub 682, the Company has also recorded 100% of the margins generated by secondary market transactions between Piedmont and its corporate affiliates DEC and DEP into that deferred account.

During the review period for this docket, Piedmont incurred gas costs of \$349,780,100 and recovered gas costs from its customers in the amount of \$343,478,124, with the difference allocated to Piedmont's gas cost deferred accounts. The end-of-period balances in Piedmont's gas cost deferred accounts are an over-collection in Piedmont's All Customers Deferred Account of (\$17,078,428) and an under-collection in its Sales Customer

Deferred Account of \$5,191,871, which includes \$5,207,171 related to its hedging program and is offset by \$15,300 of other activity.

During the review period, Piedmont's Hedging Program produced a net cost to customers of \$5,207,171. The review period activity in Piedmont's Hedging Program deferred account is summarized on Exhibit __ (MBT-2).1 km

Coming out of this proceeding, Piedmont proposes to implement temporary rate decrements to all customers as reflected on Exhibit __ (MBT-3) and a temporary rate increment to sales customers only as set forth on Exhibit __ (MBT-4) 1 km

1 MR. JEFFRIES: Thank you, Ms. Tomlinson.

2 BY MR. JEFFRIES:

3 Q Ms. Raney, could you please state your full name
4 and business address for the record?

5 A (Ms. Raney) My name is Gennifer Raney and my
6 business address is 4720 Piedmont Row Drive,
7 Charlotte, North Carolina 28210.

8 Q And you also are employed by Piedmont Natural
9 Gas?

10 A Yes, I am.

11 Q Ms. Raney, what's your --

12 COMMISSIONER BROWN-BLAND: Ms. Raney, you
13 can maybe even move that mic over to your side so you
14 can get it closer to you.

15 THE WITNESS: (Ms. Raney) Okay. Can you
16 hear me well enough?

17 COMMISSIONER BROWN-BLAND: I can hear you
18 but someone might have an issue.

19 THE WITNESS: (Ms. Raney) Okay. I'll do
20 that. That's okay.

21 BY MR. JEFFRIES:

22 Q So could you provide the Commission, please, with
23 a statement of what your title and
24 responsibilities are at Piedmont?

- 1 A I'm the Director of Pipeline Services and I'm
2 responsible for overseeing all of the planning of
3 our interstate and intrastate pipeline capacity
4 and storage capacity. I also direct activities
5 for forecasting our design-day needs and for our
6 daily and monthly needs. In addition, I oversee
7 activities related to FERC for the pipelines that
8 we do business with as well as activities related
9 to third-party transporters on Piedmont's system.
- 10 Q And you're the same Gennifer Raney that prefiled
11 testimony in this proceeding on August 1, 2018,
12 consisting of 13 pages and exhibits marked GJR-1
13 through GJR-7?
- 14 A Yes, I am.
- 15 Q Thank you. And was that testimony and were those
16 exhibits prepared by you or under your direction?
- 17 A Yes, they were.
- 18 Q And do you have changes or corrections?
- 19 A I do not.
- 20 Q Ms. Raney, if I asked you the same questions that
21 are set forth in your prefiled testimony while
22 you're on the stand today, would your answers be
23 the same?
- 24 A Yes, they would.

1 MR. JEFFRIES: Madam Chairman, we would move
2 that Ms. Raney's prefiled testimony be entered into
3 the record as if given orally from the stand.

4 COMMISSIONER BROWN-BLAND: Without
5 objection, that motion will be allowed. And Gennifer
6 Raney's prefiled testimony will be received into
7 evidence and treated as if given orally from the
8 witness stand.

9 MR. JEFFRIES: Thank you.

10 (WHEREUPON, the prefiled direct
11 testimony of GENNIFER RANEY is
12 copied into the record as if given
13 orally from the stand.)

1 **Q. Please state your name and your business address.**

2 A. My name is Gennifer Raney. My business address is 4720 Piedmont Row
3 Drive, Charlotte, North Carolina.

4 **Q. What is your position with Piedmont Natural Gas Company**
5 **("Piedmont" or the "Company")?**

6 A. I am the Director of Pipeline Services in the Natural Gas Business Unit of
7 Duke Energy Corporation ("Duke Energy"), of which Piedmont is a wholly
8 owned subsidiary.

9 **Q. Please describe your educational and professional background.**

10 A. I graduated from Louisiana State University in Baton Rouge, LA in 1992
11 with a Bachelor of Science degree in Finance, and I graduated from the
12 University of St. Thomas in Houston, TX in 1998 with a Masters of
13 Business Administration, Finance concentration. In 1992 I was employed
14 by Shell Oil Company as a Product Accountant for Gas Exploration and
15 Production. In 1995 I was employed by Vastar Resources, Inc. as a
16 Treasury Analyst. In 1997 I accepted a position in Vastar Gas Marketing,
17 Inc. (which later became Southern Company Energy Marketing, Inc.) as a
18 Transportation and Exchange Representative. In 1999 I was promoted to
19 the position of Associate, Producer Services. In 2000, I was employed by
20 Deloitte & Touche, LLC as a Consulting Manager. In 2002, I was
21 employed by Duke Energy and have held positions in Risk Management,
22 Trading Operations, Power Business Development, Commercial Analytics,
23 Wholesale Power Sales, and Renewable Energy Business Development.

1 Beginning in 2014, I became Natural Gas Business Development Director.
2 This group became part of the Natural Gas Business Unit after the
3 integration of Duke Energy and Piedmont. In November 2017, I accepted
4 my current position as Director of Pipeline Services.

5 **Q. Please describe the scope of your present responsibilities for Piedmont.**

6 A. My current major responsibilities for Piedmont include managing pipeline
7 capacity planning and relations, annual design day, monthly, and daily
8 forecasting, and management of third party shipper business on Piedmont's
9 system. In addition, I am responsible for oversight of Piedmont's activities
10 at the Federal Energy Regulatory Commission ("FERC") regarding
11 interstate pipelines that the Company utilizes for transportation and storage
12 services.

13 **Q. Have you previously testified before this Commission or any other
14 regulatory authority?**

15 A. Yes. I presented pre-filed testimony before the Public Service Commission
16 of South Carolina earlier this year in Docket No. 2018-4-G.

17 **Q. What is the purpose of your testimony in this proceeding?**

18 A. My testimony is filed in response to the requirements of Commission Rule
19 R1-17(k)(6), which provides for an annual review of Piedmont's gas costs.
20 In my testimony, I discuss the market requirements of Piedmont's North
21 Carolina customers, including the projected growth in those markets, the
22 capacity acquisition policies and practices we employ to serve those
23 markets, the calculation of our design day requirements, and the efforts

1 undertaken by Piedmont at the FERC on behalf of its customers to ensure
2 that interstate transportation and storage services are reasonably priced.

3 **Q. What is the period of review in this docket?**

4 A. The review period is June 1, 2017 through May 31, 2018.

5 **Q. Please give a general description of Piedmont and its market in North
6 Carolina.**

7 A. Piedmont is a local distribution company principally engaged in the
8 purchase, distribution and sale of natural gas to more than 1 million
9 customers in North Carolina, South Carolina, and the metropolitan area of
10 Nashville, Tennessee. Piedmont currently serves approximately 745,000
11 customers in the State of North Carolina. During the twelve month period
12 ending May 31, 2018, Piedmont delivered approximately 438 million
13 dekatherms (“dts”) of natural gas to its North Carolina customers.

14 Piedmont provides service to two distinct markets – the firm
15 market (principally those that have no alternate source of fuel) and the
16 interruptible market (principally those that either have access to an alternate
17 fuel or who are prepared to cease operating in the event of interruption until
18 service can be resumed). Although Piedmont competes with electricity for
19 the attachment of firm customers, once attached these customers generally
20 have no readily available alternative source of energy and depend on natural
21 gas for their basic space heating or utility needs. During the twelve month
22 period ending May 31, 2018, approximately 93%, of Piedmont’s North
23 Carolina deliveries were to the firm market.

1 In the interruptible market, Piedmont competes on a month-to-
2 month and day-to-day basis with alternative sources of energy, primarily
3 fuel oil or propane and, to a lesser extent, coal or wood. These larger
4 commercial and industrial customers may buy alternate fuels when they are
5 less expensive than gas or when their service is interrupted by Piedmont.
6 During the twelve month period ending May 31, 2018, approximately 7% of
7 Piedmont's North Carolina deliveries were to the interruptible market.

8 **Q. How does Piedmont calculate its customer growth?**

9 A. Piedmont reviews historical customer additions, holds discussions with
10 various business leaders/trade allies and field sales employees, and
11 considers forecasts of local, regional and national business drivers (i.e.,
12 economic conditions, demographics, etc.) to derive its customer growth
13 projections.

14 **Q. Are there any changes in the Company's customer mix or customer
15 market profiles that it forecasts for the next ten years?**

16 A. For the next ten years, the Company expects the economy to continue to
17 grow resulting in increasing residential and commercial demand as detailed
18 in the "Winter 2018 - 2019 Design Day Demand & Supply Schedule",
19 Exhibit_ (GJR-5C). The Company also expects industrial activity to grow
20 modestly.

21 **Q. How will these changes impact the Company's gas supply,
22 transportation, and storage requirements?**

1 A. The residential and commercial growth changes will result in greater firm
2 temperature-sensitive requirements that will require firm sales service from
3 the Company.

4 **Q. Please identify the rate schedules and special contracts that the**
5 **Company uses to determine its design day demand requirements for**
6 **planning purposes and explain the rationale and basis for each rate**
7 **schedule or special contract included in the determination of design day**
8 **demand requirements.**

9 A. The Company uses the following rate schedules, each of which is for firm
10 sales service, to determine its design day demand requirements:

- 11 • 101 – Residential Service;
- 12 • 102– Small General Service;
- 13 • 152 – Medium General Service;
- 14 • 143 – Experimental Motor Vehicle Fuel Service;
- 15 • 103 – Large General Sales Service;
- 16 • 12 – Service to Military Installations in Onslow County (Camp
17 Lejeune).

18 Piedmont also includes any special contracts for which Piedmont is
19 providing firm sales service in the determination of its design day
20 requirements.

21 **Q. How did the Company calculate its design day requirements for Winter**
22 **2017-2018?**

- 1 A. Piedmont's design day calculations for Winter 2017-2018 were performed
2 in the same manner used for the Winter 2016-2017 design day calculations,
3 as described in Company witness Michelle Mendoza's testimony last year.
4 Specifically, all of the usage data was refreshed utilizing the actual firm
5 customer sendout data from November 2011 through March 2017, which
6 included the most current winter weather experience for all firm customer
7 classes. Next, a linear regression analysis was conducted to determine the
8 base load and the usage per heating degree day based on all of the newly
9 refreshed data. Finally, the historical weather data, which included the
10 winter of 2016-2017, was reviewed to determine the design day temperature
11 of 8.68 degrees Fahrenheit. The Company also constructed a load duration
12 curve to forecast the Company's firm sales market requirements for design
13 winter weather conditions. The supply requirements were plotted in
14 descending order of magnitude, with existing pipeline capacity and storage
15 resources overlaid to expose any supply shortfalls. The load duration curves
16 for the 2017 – 2018 **forecasted** design winter, as well as the **actual** 2017 –
17 2018 winter season are shown in **Exhibits (GJR-1A) and (GJR-1B)**. The
18 load duration curve for the 2018 – 2019 forecasted design winter season is
19 shown in **Exhibit_ (GJR-2)**.
- 20 **Q. Please provide a walkthrough of the Winter 2017-2018 design day**
21 **demand calculation.**

- 1 A. Referencing the “Winter 2017 - 2018 Design Day Demand and Supply
2 Schedule” **Exhibit_ (GJR-4C)**: the “System Design Day Firm Sendout”
3 (line 1) is calculated as follows:
- 4 1) The number of heating degree days (“HDD”) in the design day is
5 multiplied by the usage per HDD as calculated in the regression
6 analysis. This result is then added to the base load number derived
7 from the regression.¹
 - 8 2) Any mid-year special firm sales pick up are added (line 2) and any mid-
9 year movements from firm sales to firm transportation are subtracted
10 (line 3), which results in a subtotal for firm sendout that includes the
11 net mid-year changes (line 4).
 - 12 3) Any special contract firm sales commitment (line 5) is added resulting
13 in the “Total Firm Design Day Demand” (line 6).
 - 14 4) A five (5) percent reserve margin is then calculated (line 7) and is
15 added to the “Total Firm Design Day Demand” (line 6) resulting in
16 the “Subtotal Demand” (line 8).
 - 17 5) The “Firm Transportation without Standby” (line 10) is represented as
18 the total dekatherms consumed by all industrial firm transportation
19 customers on the highest winter day usage for that customer class for
20 the prior winter. This number is then subtracted from the “Subtotal
21 Demand” resulting in the “Total Firm Sales Demand” (line 11) for
22 that year.

¹ Formula: (Design Day HDDs x Usage per HDD)+Base Load = System Design Day Firm Sendout

1 6) Each subsequent yearly Design Day forecast is derived by multiplying
2 the previous year's projected firm usage by each succeeding year's
3 forecasted growth percentage.

4 7) The Company then constructs the load duration curve previously
5 described in this testimony.

6 **Q. Has the Company made any methodology changes to its calculation of**
7 **Design Day requirements for the future?**

8 A. No.

9 **Q. Has Piedmont made any changes to the design day temperature?**

10 A. The Company continues to calculate the design day temperature using the
11 daily weighted average² forty year low temperature, as explained in witness
12 Michelle Mendoza's testimony last year. This year's computation of the
13 forty year average yielded a design day temperature of 8.68 degrees
14 Fahrenheit, slightly changed from last year's computation of 8.67 degrees
15 Fahrenheit. See Exhibit (GJR-7).

16 **Q. Did the Company consider efficiency gains and customer conservation**
17 **in its design day methodology?**

18 A. Because the design day methodology is based on refreshed data which
19 represents the customer consumption over a recent period of time and
20 eliminates old customer consumption data, the customer efficiency gains
21 and conservation efforts are taken into consideration.

² A current weighted average of firm sales customers relative to the nine weather stations in the Carolinas.

1 **Q. Does Piedmont believe that conservation measures utilized by**
2 **customers are applicable when formulating design day calculations?**

3 A. No. Piedmont and the natural gas industry have not seen evidence that
4 conservation/reduced usage occurs during design day conditions. This past
5 winter's cold snap, which occurred from December 30, 2017 through
6 January 8, 2018, gave Piedmont an opportunity to refresh data and analyze
7 our customer's behavior during extremely cold weather. We continued to
8 observe that customers tend to conserve for the first few days of colder
9 temperatures before turning up the thermostat. However, once adjusted to a
10 warmer setting, customers appear to become less focused on conservation
11 and more focused on comfort and leave the thermostat at the warmer level
12 for a few days even as temperatures start to moderate. This pattern is
13 illustrated in Exhibit_ (GJR-3). Given what we experienced during this
14 recent cold weather event as a customer response to colder temperatures in
15 this pattern, the Company is confident this conservative approach to design
16 day forecasting is the most prudent approach. Our focus has been, and
17 continues to be, to reliably serve our firm customers on a design day.

18 **Q. What process does Piedmont undertake to acquire firm capacity to**
19 **meet its growing sales market requirements?**

20 A. Piedmont secures incremental capacity to meet the growth requirements of
21 its firm sales customers consistent with its "best cost" policy, as described
22 by Ms. Stabley in her testimony. To implement this policy, Piedmont
23 attempts to contract for timely and cost-effective capacity that is tailored to

1 the demand characteristics of its market. Piedmont evaluates interstate
 2 pipeline capacity and storage offerings expected to be available at the time
 3 that it is determined that additional future firm delivery service is required
 4 or existing firm delivery service contracts are expiring. The Company
 5 attempts to match the days of service of new incremental transportation
 6 capacity to the duration of its incremental demand on the most economical
 7 basis possible. Piedmont attempts to acquire peaking services to meet
 8 projected peak day demand, storage services to meet projected seasonal
 9 demand, and year round firm transportation services to meet base load
 10 demand and provide capacity to be available for storage inventory
 11 replenishment. However, service choices are limited to those offered during
 12 the period being evaluated.

13 **Q. What were the design day demand requirements used by the Company**
 14 **for planning purposes for the review period, the baseload, the amount**
 15 **of heating degree days, dekatherms per heating degree day, customer**
 16 **growth rates and supporting calculations used to determine the design**
 17 **day requirement amounts?**

18 **A. Please see Exhibits (GJR-4A), (GJR-4B) and (GJR-4C).**

19 **Q. What are the design day demand requirements used by the Company**
 20 **for planning purposes for the for the next five winter seasons, the**
 21 **baseload, the amount of heating degree days, dekatherms per heating**
 22 **degree day, customer growth rates and supporting calculations used to**
 23 **determine the design day requirement amounts?**

1 A. Please see Exhibits (GJR-5A), (GJR-5B) and (GJR-5C).

2 Q. Please describe how the Company plans to supply its estimated future
3 growth requirements during the next five-year period beginning with
4 the 2018-2019 winter season.

5 A. Based on current forecasted projections, Piedmont believes that it has
6 sufficient supply and capacity rights to meet its near term customer needs
7 until the Atlantic Coast Pipeline (“ACP”) comes on-line in 2019. The most
8 recent projects of Transco’s Leidy Southeast expansion for 100,000 dts per
9 day of year-round capacity and Transco’s Virginia Southside expansion for
10 20,000 dts per day of year-round capacity went into service in late 2015 and
11 2016, with projections that it would become necessary to begin adding
12 additional capacity beginning in 2018-2019. In 2014, the Company entered
13 into a precedent agreement with ACP to add 160,000 dts of additional
14 capacity utilizing its “best cost” purchasing philosophy. The ACP capacity
15 is scheduled to go in service in November 2019. Current growth projections
16 begin to show a capacity deficit in the 2019-2020 timeframe if the ACP
17 capacity does not go into service as detailed in Exhibit_ (GJR-5C).
18 Recently Piedmont announced that it intends to construct a liquefied natural
19 gas facility in Robeson County, N.C. (“Robeson LNG”). This facility will
20 provide peaking supply of natural gas during peak usage days. The facility
21 is anticipated to be completed in the summer of 2021, and therefore
22 forecasted to provide peaking support starting winter 2021-2022. The
23 capacity portfolio will be restructured to include Robeson LNG using the

1 "best cost" gas purchasing policy while taking into account the customer
2 load profile. Piedmont will continue to review short term interstate pipeline
3 and storage capacity offerings and bridging services to cover any potential
4 capacity shortfall.

5 **Q. Has the Company made any changes to capacity during the review**
6 **period?**

7 A. The Company did not make any changes to its capacity rights during the
8 review period.

9 **Q. Does the Company plan for a reserve margin to accommodate statistical**
10 **anomalies, unanticipated supply or capacity interruptions, force**
11 **majeure, emergency gas usage or colder-than-design weather?**

12 A. Yes, the Company computes a five percent reserve margin and arranges for
13 supply and capacity to provide delivery of the reserve margin for events
14 such as those listed above. This reserve margin is reflected in Exhibits
15 (GJR-4C) and (GJR-5C).

16 **Q. Is it possible to maintain capacity rights that exactly match Piedmont's**
17 **calculated design day demand plus reserve margin at all times?**

18 A. No, it is not. Capacity additions are acquired in "blocks" of additional
19 transportation, storage, or LNG capacity, as current and future needs are
20 identified, to ensure Piedmont's ability to serve its customers based on the
21 options available at that time. As a practical matter, this means that at any
22 given moment in time, Piedmont's actual capacity assets will vary
23 somewhat from its forecasted demand capacity requirements. This aspect of

1 capacity planning is unavoidable but Piedmont attempts to mitigate the
2 impact of any mismatch through bridging services, capacity release and off-
3 system sales activities.

4 **Q. Please describe the Company's interest and position on any issues**
5 **before the FERC that may have a significant impact on the Company's**
6 **operations, and a description of the status of each proceeding described.**

7 **A. The Company routinely intervenes and participates in interstate natural gas**
8 **pipeline proceedings before the FERC. A current summary of such proceedings**
9 **in which Piedmont is a party is attached hereto as Exhibit_ (GJR-6).**

10 **Q. Does this conclude your testimony?**

11 **A. Yes it does.**

1 BY MR. JEFFRIES:

2 Q Ms. Raney, have you prepared a summary of your
3 prefiled testimony?

4 A Yes, I have.

5 Q Could you provide that for the Commission?

6 A Yes.

7 (WHEREUPON, the summary of
8 GENNIFER RANEY is copied into the
9 record.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

**SUMMARY OF DIRECT TESTIMONY OF
Gennifer Raney
Docket No. G-9, Sub 727**

My name is Gennifer Raney and I am the Director of Pipeline Services in the Natural Gas Business Unit of Duke Energy Corporation. The purpose of my direct testimony is to describe Piedmont's markets in North Carolina, the projected growth in those markets, the capacity acquisition policies and practices we use to serve those markets, the calculation of our design day requirements, and the efforts undertaken by Piedmont at the Federal Energy Regulatory Commission on behalf of our customers to ensure that interstate capacity and storage services are reasonably priced.

As of May 31, 2018, Piedmont served approximately 745,000 customers in North Carolina. During the review period in this proceeding Piedmont delivered 438 million dekatherms of natural gas to its North Carolina customers. Roughly 93% of those deliveries went to Piedmont's firm market, primarily consisting of residential, small commercial and small industrial customers. The remaining 7% of those deliveries were made to Piedmont's interruptible market primarily consisting of large commercial and large industrial customers.

Piedmont calculates the design day needs of its system based on a number of factors and inputs including historical weather, historical operating experience, forecasted customer additions, and projected demand. Much of the data underlying these factors is attached to my testimony in the form of exhibits. Piedmont adds a reserve margin to its design day calculations to ensure its ability to provide safe and reliable service to its firm customer base during design day conditions.

Piedmont's Design Day calculations for Winter 2018-19 were performed using the Company's standard methodology which was described in Ms. Mendoza's testimony in last year's Annual Gas Cost Review proceeding. This methodology resulted in a design day temperature this year of 8.68 degrees Fahrenheit.

Piedmont acquires incremental capacity to meet its projected load growth utilizing the "Best Cost" methodology described in Ms. Stabley's testimony. Piedmont generally seeks to match its capacity acquisitions with the needs of its firm customers by acquiring year-round capacity to serve its base-load requirements, storage capacity to serve its seasonal demand, and peaking services to serve its peak day needs.

Piedmont is also routinely involved in matters before the Federal Energy Regulatory Commission which could impact the upstream capacity costs paid by its customers. This involvement includes intervention and active participation, on behalf of its customers, in all matters that could have a material impact on the costs paid by Piedmont's North Carolina customers for upstream transportation and storage capacity.

1 MR. JEFFRIES: Thank you Ms. Raney.

2 Madam Chairman, I think I neglected to move
3 Ms. Raney's exhibits into evidence and would so move
4 at this time.

5 COMMISSIONER BROWN-BLAND: Without
6 objection, the exhibits that were prefiled along with
7 Ms. Raney's testimony will be identified as they were
8 marked when prefiled and received into evidence at
9 this time.

10 MR. JEFFRIES: Thank you, Madam Chairman.

11 (WHEREUPON, Exhibits GJR-1A,
12 GJR-1B, GJR-2, GJR-3, GJR-4A,
13 GJR-4B, GJR-4C, GJR-5A, GJR-5B,
14 GJR-5C, GJR-6, and GJR-7 are
15 marked for identification as
16 prefiled and received into
17 evidence.)

18 BY MR. JEFFRIES:

19 Q Finally, Ms. Stabley, could you state your name
20 and business address for the record, please?

21 A (Ms. Stabley) Sarah Stabley -- is that better?
22 Okay.

23 COMMISSIONER GRAY: Thank you.

24 A Sarah Stabley, business address is 4720 Piedmont

1 Row Drive, Charlotte, North Carolina 28210.

2 BY MR. JEFFRIES:

3 Q And you're also employed by Piedmont; is that
4 correct?

5 A I am.

6 Q And could you tell the Commission your title and
7 your -- the responsibilities that go along with
8 that title?

9 A Uh-huh (yes). I am Managing Director of Gas
10 Supply Optimization and Pipeline Services in the
11 Natural Gas Business Unit for Duke Energy. My
12 current major responsibilities for Piedmont
13 include supervision of the procurement and
14 optimization of pipeline transportation, storage
15 and supply assets, system demand forecasting,
16 administration of the Company's hedging plans and
17 management of broker activity for transportation
18 customers.

19 Q Thank you. And you're the same Ms. Sarah Stabley
20 that prefiled testimony in this proceeding on
21 August 1, 2018, consisting of 18 pages?

22 A I am.

23 Q And was that testimony prepared by you or under
24 your direction?

1 A Yes, it was.

2 Q Do you have any changes or corrections to that
3 testimony?

4 A No, I do not.

5 Q Ms. Stabley, if I asked you the same questions
6 that are set forth in your prefiled testimony
7 while you are on the stand today, would your
8 answers be the same?

9 A They would.

10 Q Thank you.

11 MR. JEFFRIES: Madam Chairman, Piedmont
12 would ask that Ms. Stabley's prefiled testimony be
13 entered into the record as if given orally from the
14 stand.

15 COMMISSIONER BROWN-BLAND: That motion will
16 be allowed. And the prefiled direct testimony of
17 Sarah E. Stabley that was filed on October 1st will be
18 received into the record and treated as if given
19 orally from the witness stand.

20 MR. JEFFRIES: Thank you, Madam Chairman.

21 (WHEREUPON, the prefiled direct
22 testimony of SARAH E. STABLEY is
23 copied into the record as if given
24 orally from the stand.)

1 **Q. Please state your name and your business address.**

2 A. My name is Sarah E. Stabley. My business address is 4720 Piedmont Row
3 Drive, Charlotte, North Carolina.

4 **Q. What is your position with Piedmont Natural Gas Company ("Piedmont"
5 or the "Company")?**

6 A. I am Managing Director of Gas Supply Optimization & Pipeline Services in
7 the Natural Gas Business Unit of Duke Energy Corporation ("Duke Energy"),
8 of which Piedmont is a wholly owned subsidiary.

9 **Q. Please describe your educational and professional background.**

10 A. I graduated from Queens University of Charlotte in May of 2004 with a
11 Bachelor of Arts Degree in Business Administration. I joined the Company
12 as a Collector/Meter Reader in our field operations in December of 1998. In
13 March 2001 I took a position in Gas Control as a Schedule Confirmation
14 Analyst. In November 2004, I was hired as a Gas Supply Representative in
15 the Gas Supply department. In 2008, I was promoted to Manager of Gas
16 Supply & Wholesale Marketing. In 2013, I was promoted to Director of Gas
17 Supply, Scheduling & Optimization. In 2018, I was promoted to my current
18 position as Managing Director of Gas Supply Optimization & Pipeline
19 Services.

20 **Q. Please describe the scope of your present responsibilities.**

21 A. My current major responsibilities for Piedmont include supervision of the
22 procurement and optimization of pipeline transportation, storage, and supply

1 assets, system demand forecasting, administration of the Company's Hedging
2 Plans, and management of broker activity for transportation.

3 **Q. Have you previously testified before this Commission or any other**
4 **regulatory authority?**

5 A. Yes. I have previously testified in this Commission's Annual Review of Gas
6 Costs for Piedmont (Docket Nos. G-9 Sub 633, G-9 Sub 653, G-9 Sub 673,
7 G-9 Sub 690, and G-9 Sub 710). I have also testified in the Annual Review
8 of Purchased Gas Adjustment and Gas Purchasing Policies for Piedmont by
9 the Public Service Commission of South Carolina (Docket Nos. 2012-4-G,
10 2013-4-G, 2014-4-G, 2015-4-G, 2016-4-G, 2017-4-G, and 2018-4-G).

11 **Q. What is the purpose of your testimony in this proceeding?**

12 A. This testimony is in response to Commission Rule R1-17(k)(6), which
13 provides for an annual review of the Company's gas costs recovered from all
14 its customers that it served during the review period. I will also discuss the
15 Company's hedging activity during the review period.

16 **Q. What is the period of review in this docket?**

17 A. The review period is June 1, 2017 through May 31, 2018.

18 **Q. Please explain the Company's gas purchasing policies.**

19 A. The Company has previously utilized and continues to maintain a "best cost"
20 gas purchasing policy. This policy consists of five main components: 1) the
21 price of the gas, 2) the security of the gas supply, 3) the flexibility of the gas
22 supply, 4) gas deliverability, and 5) supplier relations. As all of these

1 components are interrelated, we continue to weigh the relative importance of
2 each of these factors when developing the overall gas supply portfolio to meet
3 the needs of our customers.

4 **Q. Please describe each of the five components.**

5 A. 1) The "price of the gas" refers to the final cost of gas delivered to the
6 Company's city gates. The majority of the Company's supply purchases take
7 place at "pooling points" or at interconnects into the pipeline on which the
8 Company holds firm transportation capacity rights. In the case of "bundled"
9 city gate supply purchases, the Company may pay the gas supplier an all-
10 inclusive price that covers the cost of gas, fuel and transportation charges.
11 The use of storage services may add additional injection, withdrawal, and
12 related fuel charges to the city gate cost of gas. In order to accurately assess
13 prices at a comparable transaction point, the Company evaluates purchase
14 prices at the receipt point and adds the applicable fuel and transportation costs
15 associated with delivery to our pipeline city gate points.

16 2) "Security of gas supply" refers to the assurances that the supply of gas will
17 be available when required. It is imperative to maintain a high level of supply
18 security for the Company's firm customers. Security of gas supply is less
19 important for our interruptible customers whose service is subject to
20 interruption in order to provide service to the Company's firm customers.
21 Fixed supply reservation fees are generally required, in addition to the
22 commodity cost of gas, in order to contract for and reserve firm gas supplies.

1 In addition, the geographic source of supply, the nature of the supplier's
2 portfolio of gas supplies, and negotiated contract terms must be considered
3 when evaluating the level of supply security. Thus, the security of gas supply
4 is interrelated with the price of gas as well as other components of the
5 Company's "best cost" purchasing policy.

6 3) "Flexibility of gas supply" refers to our ability to adjust the volume of a
7 particular supply contract as operating and market conditions change. For
8 example, the demand of firm heat-sensitive customers will vary depending on
9 the weather conditions. Interruptible customers will vary their level of
10 purchases depending on the price of alternate fuels and the demand for
11 product in their own industry. Thus, the Company must arrange a portfolio
12 of gas supplies and storage services flexible enough to meet the daily and
13 monthly "swings" in demand. Contractual "swing rights" are implemented
14 through monthly and daily elections with gas suppliers and through injections
15 into and withdrawals out of storage.

16 4) "Gas deliverability" refers to the ability to deliver the Company's gas
17 supplies at the city gate through reliable transportation and storage capacity
18 arrangements. The interstate pipeline industry has created a complex system
19 of multiple pipeline and storage service combinations. Transportation
20 arrangements can involve *intrastate* pipeline transportation, interstate
21 pipeline transportation, interstate pipeline storage arrangements, interstate
22 pipeline lateral lines, interstate pipeline pooling services, and interstate

1 pipeline balancing and peaking services. The marketplace for pipeline
 2 capacity service is limited, with little to no unused capacity available during
 3 periods of high demand conditions such as extreme cold or hot weather
 4 conditions. Consequently, it is important that we secure and maintain firm
 5 transportation and storage capacity rights to ensure the deliverability of our
 6 gas supplies to meet the design day, seasonal, and annual needs of our
 7 customers. Pipeline transportation and storage capacity contracts require the
 8 payment of fixed demand charges to reserve firm transportation and/or
 9 storage entitlements. The Company is active in proceedings at the Federal
 10 Energy Regulatory Commission ("FERC") not only with respect to the level
 11 of pipeline charges under these contracts, but also the tariff terms and
 12 conditions that apply to these pipeline services.

13 5) "Supplier relations" refers to the dependability, integrity and flexibility of
 14 a particular gas supplier. We contract with gas suppliers who have a
 15 reputation of honoring their contractual commitments and have proven
 16 themselves as reliable suppliers. Conversely, we avoid suppliers which have
 17 a reputation of defaulting on contract obligations or who unilaterally interpret
 18 contracts to their advantage. We prefer to deal with suppliers who are
 19 constantly looking for ways to improve service and offer "win-win" solutions
 20 for meeting customer needs.

21 **Q. Please describe the arrangements under which the Company purchases**
 22 **gas.**

1 A. The Company purchases gas supplies under a diverse portfolio of contractual
2 arrangements with a number of gas producers and marketers. In general,
3 under the Company's firm gas supply contracts, the Company may pay
4 negotiated reservation fees for the right to reserve and call upon firm supply
5 service up to the maximum daily contract quantity (elected either on a
6 monthly or daily basis), with market-based commodity prices. These market-
7 based commodity prices, to which the Company's gas supply contracts refer,
8 are published daily and monthly in industry trade publications. These firm
9 contracts typically range in term from one month to four years. Some of these
10 contracts are for winter only (peaking or seasonal) service, summer only
11 (peaking or seasonal) service, or 365-day (annual) service. Firm gas supplies
12 are purchased for reliability and security of service. The reservation fees
13 associated with firm gas supplies may vary according to the amount of
14 flexibility built into the contract, with daily swing service usually being more
15 expensive than monthly baseload service. Generally, prior to or when
16 existing supply contracts expire, requests for proposal ("RFPs") may be sent
17 to potential suppliers, their responses evaluated, and firm gas supplies are then
18 contracted with suppliers whose proposals best fulfill the Company's "best
19 cost" purchasing policy.

20 The Company also purchases gas supplies in the spot market under contract
21 terms of one month or less. These contracts provide less supply security and,
22 as a result, the Company relies on these contracts primarily for interruptible

1 or spot markets during off-peak periods when secondary supplies are more
2 abundant and for supplemental system balancing requirements. Because of
3 the nature of spot contracts, these supplies do not command reservation fees
4 and are priced at a market rate, generally by reference to an industry index or
5 at negotiated fixed prices.

6 **Q. How does the combination of the five factors described above determine**
7 **the nature of the supply and capacity contracts under your "best cost"**
8 **policy?**

9 A. Under our "best cost" policy, we secure and maintain a supply portfolio that
10 is in balance with the requirements of our sales customers. Because our firm
11 sales customers must have secure and reliable gas supply, we meet the need
12 of our firm sales customers' demand primarily with long-term firm supply,
13 transportation, storage, and peaking service contracts. The temperature
14 sensitivity of our firm customers necessitates that flexibility of supply and
15 storage also be provided. As mentioned earlier, firm gas supply contracts
16 demand a premium, typically in the form of fixed reservation fees. Firm
17 supply contracts with flexible swing service entitlements will command a
18 higher reservation fee than baseload arrangements. Because our interruptible
19 customers are more price sensitive and require less supply security, we supply
20 these customers with off-peak firm gas supply and transportation services
21 when the firm customers' demand declines and through the purchase of gas
22 supplies in the spot market.

1 In short, before entering into any agreement to purchase gas supply, pipeline
2 transportation capacity, or storage capacity, we carefully consider the
3 requirement for the supply and weigh the five "best cost" factors (price,
4 security, deliverability, flexibility, and supplier relations). A great deal of
5 judgment is required when weighing these factors. We keep informed about
6 all aspects of the natural gas industry in order to exercise this judgement. We
7 intervene in all major FERC proceedings involving our pipeline transporters,
8 stay in constant contact with our existing and potential suppliers, monitor gas
9 prices on a real-time basis, subscribe to industry literature, follow supply and
10 demand developments, and attend industry seminars.

11 **Q. What is your greatest challenge in applying your "best cost" gas**
12 **purchasing policy?**

13 **A.** Since most major gas supply decisions require a considerable degree of
14 planning and must be made a year or more in advance of service, our greatest
15 challenge is dealing with future uncertainties in a dynamic global, national,
16 and regional energy market. Future demand for gas is affected by economic
17 conditions, customer conservation efforts, weather patterns, and regulatory
18 policies. In addition, the future availability and pricing of gas supplies will
19 be affected by overall end-user demand, oil and gas exploration and
20 development, pipeline expansion and storage projects, and regulatory policies
21 and approvals.

1 **Q. Please explain the Company's position regarding the current U.S. supply**
2 **situation.**

3 A. For much of the first decade of this century, futures pricing of natural gas
4 reflected by the NYMEX was extremely volatile. Peak pricing for futures
5 contracts occurred in July 2008 when contracts for gas to be delivered during
6 January 2009 sold for \$14.516 per dekatherm. Due to the significant
7 quantities of shale gas that have become available to the market, the cost of
8 gas in the production areas has declined dramatically. It is the Company's
9 expectation that some volatility will remain in the physical markets,
10 particularly related to force majeure type events, interstate pipeline capacity
11 markets, and/or significant changes in supply and/or demand, but that the
12 dramatic swings previously seen in the futures market are not likely to recur
13 with the same regularity or intensity so long as shale gas supplies remain
14 abundant and regulatory policies remain favorable for gas and oil exploration.
15 Other factors to consider in the U.S. natural gas supply – demand situation
16 are the exportation of liquefied natural gas ("LNG"), exportation of gas to
17 Mexico, and increased industrial demand for gas along the Gulf Coast.
18 Nevertheless, market experts believe that future LNG exports, exports to
19 Mexico, and higher Gulf Coast demand will be adequately served by shale
20 supplies and that while there is a reasonable expectation of an increase in gas
21 costs, the anticipated effect is marginal.

1 **Q. Please explain the factors that the Company evaluates in determining the**
2 **pricing basis for its gas supply contracts. Please discuss the various**
3 **pricing alternatives available, such as fixed prices, monthly market**
4 **indexing and daily spot market pricing and describe how supplier**
5 **reservation charges and discounts or premiums from market prices enter**
6 **into the evaluation.**

7 **A.** The Company has various pricing options available to it when developing its
8 gas supply portfolio. These options include monthly market indexing, daily
9 spot pricing, and fixed pricing. Prices for gas contracted for a term of one
10 month or longer typically refer to a monthly or daily index as published by
11 industry trade publications. Prices for daily spot deals may refer to a daily
12 index or a negotiated fixed price.

13 The reservation fee the Company pays for each contract in its firm supply
14 portfolio is dependent upon the pricing options chosen and the supply
15 flexibility requirements associated with each contract. Reservation fees are
16 generally lower for baseload supplies (purchased at a constant volume for the
17 entire month, season or year) and higher if swing service is required.
18 Reservation fees also vary depending on the type of swing service being
19 provided. Examples of factors which affect the cost of swing service are: 1)
20 the number of days of swing required; 2) the volume of swing allowed; 3)
21 commodity pricing at first of the month indices versus daily spot pricing; 4)

1 next day versus intraday swing capabilities; and 5) location of the supply
2 being purchased.

3 The Company considers its anticipated load and swing requirements under
4 various demand scenarios, contemplates the factors listed above and makes a
5 "best cost" purchasing decision.

6 **Q. Please describe how the Company determines the daily contract quantity**
7 **of gas supplies that should be acquired through long-term contracts for**
8 **the whole year, the full winter season and periods less than a full winter**
9 **season.**

10 A. The Company purchases gas supplies on a year-round basis to fulfill its firm
11 requirements including storage injections and to minimize supply costs
12 utilized to serve firm customers. Some of these contracts will escalate in
13 volume during shoulder months (April and October) and the winter period
14 (November through March) as the Company's firm requirements increase due
15 to higher demand, thus sculpting year-round contracts to fit seasonal needs.
16 The Company also purchases volumes for the winter period to meet its
17 forecasted customer demand within the limits of the Company's firm
18 transportation capacity entitlements, which increase during the winter period.
19 In addition, the Company reviews low demand scenarios to measure its ability
20 to fulfill its contractual purchase commitments with suppliers. Lastly, the
21 Company may purchase short-term city gate peaking supply to fulfill

1 additional firm obligations that exceed the Company's firm transportation
2 capacity entitlements.

3 **Q. What process does the Company employ in selecting its firm gas**
4 **suppliers?**

5 A. The Company identifies the volume and type of supply that it needs to fulfill
6 its customer demand requirements, and in general, solicits RFPs from a list of
7 suppliers that the Company continuously updates as potential suppliers enter
8 and leave the market place. The RFPs may be for firm baseload or swing
9 supply. RFPs for swing supply may be further categorized into pricing based
10 on first of the month indices, or daily market indices. Swing supplies priced
11 at first of the month indices command the highest reservation fees because the
12 supplier assumes the risk associated with market volatility during the delivery
13 period. Lower reservation fees are also associated with swing contracts
14 referencing a daily market index because both buyer and seller assume the
15 risk of daily market volatility. After forecasting the ultimate cost delivered
16 to the city gate for each point of supply (incorporating the forecasted cost at
17 the supply point plus pipeline fuel plus pipeline transportation fees), and
18 evaluating the cost of reservation fees associated with each type of supply and
19 its corresponding bid, the Company makes a "best cost" decision on which
20 type of supply and supplier is best suited to fulfill its needs.

21 **Q. Did the Company enter into any new supply arrangements during the**
22 **review period?**

1 A. Yes, during the review period the Company added new supply arrangements.

2 This was done as a result of customer growth and under our "best cost" policy.

3 **Q. Please describe the process that the Company utilized and the market**
4 **intelligence evaluated during the review period to determine the prices**
5 **charged for secondary market sales.**

6 A. The process and information used by the Company in pricing secondary
7 market sales depends upon the location of the sale, term of the sale, the type
8 of sale, and prevailing market conditions at the time of the sale. For long-
9 term delivered sales (longer than one month), in general, the Company solicits
10 bids from potential buyers, and if acceptable, evaluates and awards available
11 volumes. For short-term transactions (daily or monthly), the Company 1)
12 monitors prices and volumes on the Intercontinental Exchange
13 (Intercontinental Exchange or "ICE" is an electronic trading platform where
14 potential buyers post bids and potential sellers post offers at various
15 locations/areas along the interstate pipelines), 2) talks to various market
16 participants, and 3) for less liquid trading points, estimates prices based on
17 price relationships with more liquid points. The Company will also evaluate
18 the amount of supply available for sale and weigh that against current market
19 conditions in formulating its sales strategy (i.e., if the Company has a large
20 amount of supply to sell on a particular day and determines that market
21 demand is low, the Company will be more aggressive in its sales strategy).

1 The Company incorporates all these factors and then initiates its sales
2 strategy.

3 **Q. Did the Company make any changes in its gas purchasing policies or**
4 **practices during the review period?**

5 A. The Company did not implement any changes in its "best cost" gas purchasing
6 policies or practices during the review period.

7 **Q. Did the Company take any other action to reduce price volatility for its**
8 **customers?**

9 A. The Company continues to utilize the Company's Hedging Plan as well as
10 storage which acts as a physical hedge to stabilize cost. The Company's
11 Equal Payment Plan, in addition to the adjustment of the PGA benchmark
12 price and deferred gas cost accounting, also provide a smoothing effect on gas
13 prices charged to customers.

14 **Q. What were the net economic results of the Hedging Plan during the**
15 **review period?**

16 A. The Company's North Carolina sales customers incurred a net economic cost
17 of \$5,207,171 (see Exhibit (MBT-2)) as a result of the Company's Hedging
18 Plan during the review period which was an increase compared to last year.
19 This net economic impact includes the cost of commissions and amounts to
20 an average cost per sales customer of roughly \$0.58 per month.

21 **Q. Did the Company's Hedging Plan work properly during the review**
22 **period?**

1 A. Yes. The Hedging Plan accomplished its goal of providing an insurance
2 policy to reduce gas cost volatility for customers in the event of a gas price
3 fly up.

4 **Q. Has the Company made any changes to its Hedging Plan during the**
5 **review period?**

6 A. There were no changes made to the Hedging Plan during the review period.
7 The Company has and will continue to closely monitor the gas supply –
8 demand picture and make changes it deems necessary to its Hedging Plan.

9 **Q. Please describe how compliance with the Hedging Plan is monitored.**

10 A. Currently, the Gas Accounting, Finance, Risk, and Corporate Compliance
11 areas perform ongoing activities to monitor compliance with the Hedging
12 Plan. In addition, the Company's Gas Market Risk Committee monitors
13 compliance with the Hedging Plan, as well as providing input on any changes
14 contemplated to the Hedging Plan. Periodic internal audits have and will be
15 performed to ensure that controls continue to be adequate and function as
16 management intends.

17 **Q. Have there been any deviations from the Hedging Plan during the review**
18 **period?**

19 A. There were no deviations from the Hedging Plan during the review period.

20 **Q. Given the current low price forecast and low gas cost volatility**
21 **environment, do you think continuing to hedge under the current**
22 **Hedging Plan is prudent?**

1 A. Yes, because the goal of the Hedging Plan is to provide insurance against gas
2 cost volatility if prices fly up, the Company feels it is prudent to incur what it
3 deems to be a low-cost insurance policy and continue with the current
4 Hedging Plan. As stated previously, the cost per sales customer during the
5 review period was approximately \$0.58 per month. Because the current
6 Hedging Plan only contemplates the purchase of options, the cost of the
7 Hedging Plan is relatively low. As stated above, the Company has and will
8 continue to closely monitor the gas supply – demand picture and make
9 changes it deems necessary to its Hedging Plan.

10 Q. What are some of the other steps the Company has taken to manage its
11 gas costs consistent with its “best cost” policy during the review period?

12 A. During the past year, the Company has taken the following additional steps
13 to manage its gas costs, consistent with its “best cost” policy:

14 (1) The Company has, as more fully described in Ms. Raney’s
15 testimony, actively participated in proceedings before the FERC and other
16 regulatory agencies that could reasonably be expected to affect the
17 Company’s rates and services;

18 (2) The Company has utilized the flexibility available within its
19 supply, transportation, and storage contracts to purchase and dispatch gas,
20 release transportation and storage capacity, and initiate secondary marketing
21 sales in a cost-effective manner, resulting in secondary market credits to

1 customers of \$32,829,312.51 an 8% increase, compared to last year's
2 secondary market credits of \$30,266,334.47;

3 (3) The Company has actively promoted more efficient peak day use
4 of natural gas and load growth from "year-round" markets to improve the
5 Company's load factor, which in turn, reduces the average cost charged per
6 dekatherm when the total cost of pipeline and storage capacity is spread over
7 higher non-peak usage.

8 **Q. Please summarize your testimony.**

9 **A.** The Company's "best cost" purchasing policy provides customers with secure
10 and reasonably priced gas supplies. This policy and the Company's practice
11 under this policy have been reviewed and found prudent on all occasions in
12 North Carolina and in the other state jurisdictions in which we operate.
13 Although we believe our policies and procedures are reasonable, we are
14 cognizant of the fact that the natural gas industry is rapidly changing, and we
15 are continuously monitoring our policies and procedures to keep up with, and
16 anticipate, these changing conditions. We have and will continue to work to
17 review current regulations and tariffs and explore possible changes that will
18 better serve our natural gas customers in the future. We are satisfied that our
19 existing policies and procedures are prudent and that they have produced and
20 will continue to produce adequate amounts of secure and reasonably priced
21 gas for our customers.

1 | Q. Does this conclude your testimony?

2 | A. Yes.

1 BY MR. JEFFRIES:

2 Q Ms. Stabley, do you have a summary of your
3 testimony?

4 A (Ms. Stabley) I do.

5 Q Could you please provide that?

6 A Sure.

7 (WHEREUPON, the summary of MS.
8 SARAH E. STABLEY is copied into
9 the record.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

**SUMMARY OF DIRECT TESTIMONY
OF SARAH E. STABLEY
Docket No. G-9, Sub 727**

My name is Sarah Stabley and I am the Managing Director of Gas Supply Optimization & Pipeline Services in the Natural Gas Business Unit of Duke Energy Corporation. I am responsible for the supervision of the procurement and optimization of pipeline transportation, storage, and supply assets, system demand forecasting, administration of the Company's Hedging Plans, and management of broker activity for transportation. The purpose of my testimony is to describe Piedmont's gas purchasing policies during the review period in this proceeding, which is June 1, 2017 through May 31, 2018. My testimony also discusses the Company's review period hedging activity.

During the review period in this proceeding, Piedmont continued to utilize a "Best Cost" approach to purchasing gas. This approach involves five components: the price of gas, the security of gas supply, the flexibility of gas supply, gas deliverability, and supplier relationships. Each of these factors is discussed in detail in my testimony. Collectively, they establish a standard for purchasing gas which has been successfully used by Piedmont for many years and which has been found to be prudent by this Commission on many prior occasions.

Most of Piedmont's primary gas supplies are purchased under arrangements that are standard in the industry and which involve the payment of reservation fees for firm supplies priced at market-based indices. Piedmont also purchases short-term supplies on the spot market, again at market based prices, as necessary to meet its customers' needs during non-critical periods. Before purchasing these supplies, Piedmont engages in a substantial effort to determine the specific need for new supply

in which it evaluates the needs of its customers, their usage characteristics, growth on its system and available supply options, among other things, as described by Ms. Raney in her testimony.

The Company has taken a number of steps to manage its gas costs consistent with its best cost policy including active participation at FERC, restructuring of supply and capacity contracts to adjust to market conditions, and the promotion of more efficient use of its system and of its capacity and commodity rights.

During the review period, Piedmont continued to utilize its hedging plan as an insurance policy to reduce gas cost volatility to its customers. Piedmont's hedging activities for the review period in this proceeding resulted in a net economic cost to customers of approximately 58 cents per month. Piedmont did not deviate from its approved plan during the review period.

The Company also uses a deliberative process to maximize the value of its capacity and supply assets when they are not needed to serve Piedmont's customers. This process includes the solicitation of bids for long-term delivered supply sales and extensive market research to establish daily or monthly sales prices. These practices resulted in \$32,829,312.51 in secondary marketing credits this year.

Piedmont believes that its gas purchasing policies are prudent and that its review period gas costs were prudently incurred.

1 MR. JEFFRIES: Thank you, Ms. Stabley.

2 Piedmont's witnesses are available for cross
3 examination commissions -- by the -- questions -- or
4 by the Commission.

5 MS. CULPEPPER: No questions by the Public
6 Staff.

7 COMMISSIONER BROWN-BLAND: Mr. Page.

8 MR. PAGE: I have just one for
9 clarification, if I could, to Ms. Raney --

10 COMMISSIONER GRAY: Pull up that microphone.

11 MR. PAGE: -- to Ms. Raney and Ms. Stabley.
12 Am I have on?

13 COMMISSIONER BROWN-BLAND: You're on.

14 MS. RANEY: Oops!

15 COMMISSIONER BROWN-BLAND: I've never heard
16 anyone have trouble hearing you, Mr. Page.

17 (Laughter)

18 CROSS EXAMINATION BY MR. PAGE:

19 Q For the two of you in your verbal testimony you
20 identified yourselves as employees of Piedmont
21 Natural Gas. And yet I note in your printed
22 summary it says you are -- you're employed by the
23 pipeline natural, excuse me, by the Natural Gas
24 Business Unit of Duke Energy Corporation. So do

1 you work for Piedmont or do you work for Duke or
2 do you work for both? Who are you employed by?

3 A (Ms. Stabley) I will answer that. Duke Energy
4 sends me my paycheck. So I do work for Duke
5 Energy in the Natural Gas Business unit.

6 Q That was going to be my follow-up question.

7 A Yes.

8 Q Where does your paycheck come from?

9 A My paycheck comes from Duke.

10 Q Would that answer be the same for you?

11 A (Ms. Raney) Yes, it would be. And I believe
12 Piedmont Natural Gas is a subsidiary -- a
13 wholly-owned --

14 A (Ms. Stabley) A wholly-owned subsidiary --

15 A (Ms. Raney) -- subsidiary of Duke Energy and so
16 in the Natural Gas Business Unit.

17 Q And I assume there would be some way in which
18 Duke would bill your services back to Piedmont so
19 there would be an offset there?

20 A (Ms. Stabley) Yes, there's a cost allocation.

21 MR. PAGE: Thank you. That's all.

22 COMMISSIONER BROWN-BLAND: Any redirect?

23 MR. JEFFRIES: (Shakes head no)

24 COMMISSIONER BROWN-BLAND: Questions by the

1 Commission?

2 EXAMINATION BY COMMISSIONER BROWN-BLAND:

3 Q First, and I think I approached this with
4 counsel, but the -- Piedmont filed some responses
5 to the Commission's questions that were posed on
6 September 24th. Who prepared those answers; do
7 you know? Did either of you prepare the answers
8 that we received?

9 A (Ms. Raney) I would say we both did. Yes, we
10 both worked on various ones depending on whose
11 area of focus it was.

12 Q You say you prepared them or you had them
13 prepared?

14 A Both.

15 A (Ms. Stabley) Both. It was a combination effort.

16 A (Ms. Raney) Yes.

17 Q Okay. I just wanted to clear that up for the
18 record. So, let me start -- Ms. Raney, these
19 questions are mostly directed to you but if
20 anyone else wants to --

21 A Okay.

22 Q -- come in on them that's fine, too. Ms. Raney,
23 could you go over for us the purpose of the
24 design-day forecast that's on your Raney Exhibit

1 GJR-5C?

2 A So the purpose of our design-day forecast is to
3 project the customer usage in the future and to
4 project that usage on the coldest day that we
5 might experience in that future, which we
6 determine -- in the future at which we determine
7 is the design-day temperature. And we use the
8 past four years actual temperature experiences to
9 determine what we believe that temperature could
10 be.

11 Q And does that help you make a determination with
12 regard to how much storage and capacity you need?

13 A Yes, it does.

14 Q And that -- is that primarily for your
15 residential customers; the ones that I call the
16 firm customers?

17 A So it would be all of our firm sales customers
18 which include residential, commercial and
19 industrial customers.

20 Q Now, this other question has to do with -- there
21 was a Footnote 2 on your Exhibit 5C and it stated
22 that Dominion's GSS storage was removed from the
23 list of design-day supply capacity in 2015
24 because it depended on backhaul from Transco Zone

1 6. And -- but we noted that various other market
2 area storage facilities were still shown as being
3 available. In your response to our Question 2(b)
4 included a statement that "such north to south
5 deliveries on contracts whose primary path is
6 south to north is generally no longer reliable
7 for design-day planning." And you note that
8 peak-day assets, certain peak-day assets
9 including storage and off-system pipeline
10 capacity are impacted by the loss of backhauling.
11 You recall of all of that, right?

12 A I do, yes.

13 Q My question is has Piedmont contracted for
14 sufficient north to south pipeline capacity to
15 deliver the capacity from storage facilities as
16 well as the off-system pipeline capacity?

17 A So Piedmont does have some north to south
18 capacity in our portfolio, and we've contracted
19 over that over the past several years in order to
20 meet demands, and as that has become available,
21 and relative to other options has fulfilled the
22 best cost policy that we have. So I guess -- do
23 you want to -- yeah, go ahead.

24 A (Ms. Stabley) May I tag on?

- 1 A (Ms. Raney) If that's okay.
- 2 Q Yes.
- 3 A (Ms. Stabley) So the Dominion gas that's
4 referenced in the design day was backhauled on an
5 IT contract, and it was a discounted IT contract
6 at that so it would be the first thing that would
7 be cut. And since there's a lot less security
8 moving gas north to south on an IT contract,
9 that's why it's no longer in design day. The
10 other supplies that we do backhaul are on a firm
11 contract using a -- on a secondary basis and we
12 have contracted with other suppliers to help firm
13 that up on a temporary basis.
- 14 Q All right. So is that north to south capacity
15 that you mentioned you have acquired there, is
16 that on Raney Exhibit 5C?
- 17 A (Ms. Raney) Yes, it is.
- 18 Q GJR-5C?
- 19 A So that would have been the Transco Leidy and the
20 Virginia Southside capacity. Is that right?
- 21 Q So is that --
- 22 A (Ms. Stabley) What line?
- 23 A (Ms. Raney) I'm sorry. Line --
- 24 A (Ms. Stabley) Nineteen.

1 A (Ms. Raney) Eighteen and 19. Eighteen and 19.

2 Q So does having both that firm pipeline capacity
3 and the formerly backhauled storage and pipeline
4 capacity; is that double counting?

5 A It does not double count. So to the extent we
6 have -- so we've removed the Dominion GSS so
7 that's no longer there. And it does not double
8 count the storage because what we'll do is we
9 will either count or show the transportation or
10 the storage, depending on what's most appropriate
11 that is used in order to incrementally deliver to
12 our city gates. So we ensure that we don't
13 double count any of that.

14 Q Thank you. So if Piedmont contracts for the
15 release capacity to deliver formerly backhauled
16 capacity -- I guess, Ms. Tomlinson, this is
17 really for you -- where does that cost show up on
18 Piedmont's cost exhibits?

19 A (Ms. Tomlinson) It's on the demand schedule.

20 A (Ms. Stabley) Those contracts were under asset
21 management.

22 A (Ms. Tomlinson) I'm sorry.

23 A (Ms. Stabley) I'm sorry. The contracts are
24 under asset management, so it would be the asset

1 management fees.

2 A (Ms. Tomlinson) Which all role into the demand
3 and storage costs on Exhibit 2 -- Schedule 2,
4 Exhibit 1. Sorry.

5 Q That's your Exhibit, Tomlinson Exhibit 1?

6 A Correct, Schedule 2.

7 Q MBT I think it is, Schedule 2. Thank you.

8 Ms. Raney, is it possible that
9 your Exhibit GJR-5C would overstate Piedmont's
10 firm contractual capacity to meet design-day
11 needs?

12 A (Ms. Raney) We take every effort to ensure that
13 all of the capacity that we represent on our
14 design-day schedule does not double count and
15 does not show any more than our actual ability to
16 meet design-day needs.

17 Q So your answer would be no it does not overstate?

18 A No, it does not overstate.

19 Q Now, in -- this is to any of you -- but do you
20 agree that at the present time North Carolina has
21 only one interstate pipeline that crosses its
22 bound -- it's -- into its territory?

23 A It does. Columbia --

24 A (Ms. Stabley) Technically there's two. Yeah,

1 Columbia Gas transmission enters into the very
2 north part of North Carolina just ever so
3 slightly.

4 Q And before all this time, generally, Transco
5 comes in along the I-85 corridor and then it has
6 that spur that runs at the Virginia border?

7 A Yes, which is actually very close to where the
8 Columbia Gas transmission lines come into North
9 Carolina, pretty much right there at the same
10 area.

11 Q And even so, despite the Columbia line that you
12 refer to, isn't it true Transco for the most part
13 has had a virtual monopoly across North Carolina?

14 A I would say it's absolutely true that the vast
15 majority of our supply does come off of Transco.

16 Q And does that create a situation of vulnerability
17 for North Carolina just having the one pipeline?

18 A (Ms. Raney) What I would say is that having one
19 pipeline does not give us a diversity of supplier
20 for the natural gas to Piedmont's system.

21 Q And, if the one pipeline had some serious issue,
22 would that cause problems in your service
23 delivery?

24 A If there were a major issue on the one pipeline

1 supplying our gas, yes, that would cause a
2 serious issue for Piedmont.

3 Q Now, low cost backhaul is no longer available
4 because Transco has reversed the flow on its
5 system to move gas to the south; is that correct?

6 A That is correct.

7 Q And that allows Transco to offer capacity to new
8 customers; isn't that correct?

9 A Transco has proposed and is, I believe, in the
10 process of putting into service projects that
11 would give new capacity from north to south on
12 its system.

13 Q Do you know how Transco is pricing that new
14 capacity?

15 A We have evaluated those projects as they have
16 become -- have been proposed and so, yes, we've
17 reviewed the price associated with that capacity.

18 Q And do they price it in such a way that the new
19 customers pay only for the cost of the new
20 facilities that's providing the incremental
21 capacity, or do you know?

22 A So I would say that I don't know really the -- I
23 don't have a good analysis, or a full analysis on
24 what portion is for new versus existing

1 facilities.

2 Q Is it the case --

3 A (Ms. Stabley) I'm sorry. I was just going to
4 say it's my understanding that those projects
5 would only include like the cost associated with
6 those projects.

7 A (Ms. Raney) With the incremental, yeah.

8 COMMISSIONER BROWN-BLAND: Be careful not to
9 talk over each other --

10 THE WITNESS: (Ms. Raney) I'm so sorry.

11 COMMISSIONER BROWN-BLAND: -- so the court
12 reporter can get it.

13 BY COMMISSIONER BROWN-BLAND:

14 Q So is it the case that the customers outside of
15 North Carolina are benefiting from the reversal
16 of flow, from Transco's reversal of flow?

17 A (Ms. Stabley) That's a hard question to answer.

18 Q I guess I'm getting at is there lower cost
19 capacity created when Transco reversed that flow?

20 A No, I do not think that's the lower cost capacity
21 reversing the flow.

22 A (Ms. Raney) The rates on the new projects tend
23 to be higher than the historic rates on Transco's
24 system from what I've observed.

1 Q Are you aware that at least some customers,
2 including a Duke affiliate they serve in Florida,
3 is benefiting from the reversal?

4 A (Ms. Stabley) They might have subscribed to
5 capacity flowing from north to south.

6 Q Do you have any knowledge -- are you aware or
7 that's just --

8 A Only to the extent they're a customer on the
9 public records.

10 Q Okay. So did Transco offer any compensation for
11 our loss of, that being North Carolina's loss of
12 the backhaul when it reversed the flow on its
13 pipes to serve the customers outside of North
14 Carolina?

15 A No. The rate that we pay on our north to south
16 contracts are firm -- or, excuse me, from south
17 to north contracts, are firm from south to north.
18 They are secondary from north to south;
19 therefore, we're not really paying for the
20 service. For years, we were able to segment our
21 capacity and avoid paying year-round demand
22 charges which saved the customers quite a bit in
23 demand charges. But when the flow reversal
24 changed, those were secondary rates that we had

1 not firm.

2 A (Ms. Raney) And Transco has not compensated us
3 for the loss of the ability to segment that and
4 deliver on a reliable basis during the coldest
5 days from north to south. I think that was your
6 question.

7 Q Yes. So -- I thank you for that. So are you
8 aware that or generally aware that the
9 legislature had some concerns about pipeline
10 competition and that they authorized the
11 Commission to order Piedmont or -- to enter into
12 supply contracts to increase competition? Are
13 you familiar with that Statute?

14 A (Ms. Stabley) No.

15 A (Ms. Raney) No, I don't think I'm familiar with
16 that one.

17 Q If I represent to you that there was a Statute
18 62-36.01, you wouldn't have any reason to quarrel
19 with it, if I told you that it says *whenever the*
20 *Commission, after notice and hearing, finds that*
21 *additional natural gas service agreements,*
22 *including backhaul agreements, with interstate*
23 *and intrastate pipelines will provide increased*
24 *competition in North Carolina's natural gas*

1 *industry and will result in lower costs to*
2 *consumers without substantially increasing risks*
3 *of service interruptions to customers, or will*
4 *substantially reduce the risks of service*
5 *interruptions without unduly increasing costs to*
6 *customers -- to consumers, the Commission may*
7 *enter and serve an order directing the franchised*
8 *natural gas local distribution company to*
9 *negotiate in good faith to enter into such*
10 *service agreements within a reasonable time.*

11 Have you heard that before?

12 A (Ms. Raney) I have not. Perhaps Ms. --

13 Q If you would accept it subject to check.

14 A (Ms. Stabley) I will accept that.

15 A (Ms. Raney) I will accept that it is true;
16 however, I have not heard that.

17 MR. JEFFRIES: Madam Chair, whether these
18 witnesses are familiar with it, I can promise you that
19 the Company is quite familiar with that Statute.

20 THE WITNESS: (Ms. Raney) Okay.

21 COMMISSIONER BROWN-BLAND: All right.

22 BY COMMISSIONER BROWN-BLAND:

23 Q Transco has filed a general rate case before the
24 FERC. It's in Docket RP18-1126. But are you

1 aware of the return on equity that Transco
2 proposed?

3 A (Ms. Raney) We are engaged in analyzing the
4 filing that Transco has made. And I have been
5 made aware of the return on equity that they have
6 proposed.

7 Q Do you know what that is?

8 A It was --

9 Q Pretty high?

10 A It was sixteen point something percent. I can't
11 remember the exact.

12 Q That sounds close enough to me. All right.
13 Piedmont's response to our Question 2(b) on the
14 storage seasonal and interstate peaking
15 facilities did not include facilities in the
16 traditional supply area in the Gulf Coast. Could
17 you describe those facilities including their
18 location and operational capacities?

19 A So you're talking about the storage facilities
20 such as GSS? Is that what --

21 A (Ms. Stabley) Would you mind repeating the
22 question?

23 Q The -- your answer to our 2(b), to our Question
24 2(b) on storage seasonal and interstate peaking

1 facilities did not include the facilities in the
2 traditional supply area in the Gulf Coast, ones
3 like Eminence Salt Dome and that --

4 A (Ms. Raney) Right.

5 Q Could you describe those facilities including
6 their location and operational facilities like
7 storage capacity and injection and withdrawal
8 rates?

9 A Okay. So I believe on one of the attachments to
10 the question we have all of those listed. So,
11 let's see.

12 A (Ms. Stabley) Actually it's not on here.

13 A (Ms. Raney) It's not on here.

14 A (Ms. Stabley) Those two storages are not --

15 A (Ms. Raney) Oh, right!

16 A (Ms. Stabley) -- are not on there because they
17 don't provide deliverability on design day. It's
18 capacity that we use in the event of supply
19 disruptions. So you're talking about WSS and ESS
20 storages, I believe, so --

21 A (Ms. Raney) It's --

22 A (Ms. Stabley) -- those are another source of
23 supply.

24 A (Ms. Raney) And we would move them on some of

1 our transport. And so this is kind of an example
2 of why we are not double counting because if we
3 had those listed along with the transport that
4 moves those supplies then that would double
5 count. So that's why they're not listed on the
6 design-day schedule.

7 Q So can you --

8 A If that makes sense.

9 Q Can you address where they're located and their
10 operational capacities?

11 A (Ms. Stabley) I believe ESS is in Mississippi
12 and WSS, I believe, is in Louisiana.

13 A (Ms. Raney) Yes. And then -- sorry, I'd have to
14 look that up. Okay. Let's see, so the WSS, we
15 have an MDQ of 96,069 and a total storage
16 contract quantity of six -- a bit over 6.6 BCF.

17 Let's see, ESS isn't on here. And
18 I seem to have inadvertently left my ESS
19 information -- oh, wait, Sarah found it. Oh,
20 sorry. Okay, ESS, I have it. Our withdrawal
21 quantity there, the daily withdrawal quantity
22 would be 150,430 dekatherms per day. And then
23 the storage contract quantity is almost 1.3 BCF
24 total.

1 Q So I think you mentioned these are used when
2 there's a -- in a disruption situation or high
3 demand; is that right?

4 A (Ms. Stabley) Or it could be that the spot
5 supply, the flowing supply from those general
6 areas on Transco are priced higher than our
7 storage WACOG. So we are able to pull from the
8 storages, assuming that the inventory balance is
9 at an optimal level, if the WACOG is lower than
10 the flowing supply.

11 Q So it allows you some flexibility?

12 A Uh-huh (yes), it does. Flexibility as long -- as
13 well as back-up on a design day should, for
14 whatever reason the supply that we have
15 contracted in those regions, not flow.

16 Q And do you consider that they serve to support
17 the secondary market transactions?

18 A That is not why we subscribe to them. No.

19 Q Okay. So now that Transco has reversed the flow
20 on its system, and the facilities that were
21 market area facilities that function as a
22 surrogate for Transco forward-haul capacity are
23 now essentially supply area facilities, does
24 Piedmont need the same level of seasonal and

1 peaking capacity to the north?

2 A (Ms. Stabley) We are evaluating that, the level
3 of peaking, working to match our customer load
4 profile.

5 Q What -- so what's the status of that evaluation?
6 Is that going to be ongoing for a while, I mean,
7 what do you expect?

8 A It is ongoing and, in fact, it's no different
9 than our evaluation that we do kind of year-round
10 every year. So basically looking at what's our
11 forecast for the customer usage. What's the
12 customer load profile. Obviously, we have
13 periods of peak during the winter and then during
14 the summer, low usage, and so trying to -- using
15 our best cost policy subscribe to those either
16 transportation or storage or a combination of
17 assets that will provide us with firm
18 deliverability to the customers that best matches
19 their profile and overall cost.

20 Q And what are the benefits that Piedmont gets from
21 having capacity in Eminence?

22 A The benefits?

23 Q Uh-huh (yes).

24 A Just what I described before, it serves as a

1 backup. So generally the supply that we purchase
2 around that ESS storage area comes from Station
3 65 on Transco so should there be an interruption
4 in the Station 65 supply from our supply --
5 excuse me, 85 supply from our suppliers then we
6 would at that point go ahead and pull from
7 Eminence, if it were the best storage out of our
8 portfolio to pull from.

9 Q So do you have an understanding of this
10 Commission's actions before the FERC with regard
11 to Eminence? Have you been following that?

12 A I have not followed it specifically but I am
13 aware of the filings, some of the activity.

14 Q What is it that has led to the decision not to --
15 for Piedmont not to join the Commission's effort
16 to get demand credits from Transco?

17 A (Ms. Raney) So I've looked into that a bit. I
18 have not followed it maybe in as much detail as
19 the Commission; however, I did look into what we
20 received from Transco and what we're paying
21 demand charges for. We have not experienced any
22 interruption in service associated with those
23 deliveries so we have not found grounds for any
24 filing and having an issue with Transco regarding

1 those -- that service.

2 Q Is that because you use other assets other than
3 what's at Eminence?

4 A Well, when we have used ESS and we have --
5 whatever we have nominated has been delivered so
6 we have not experienced any interruption in
7 service.

8 Q Have you made sure that the assets that Transco
9 is using are firm?

10 A So when, I think several years ago, Transco
11 reduced the deliverability from Eminence, the
12 demand charges associated for -- associated with
13 our contract so the actual quantities that we had
14 subscribed to were reduced pro rata according to
15 how much their stated deliverability was reduced.
16 So our customers did -- do pay less than they did
17 before that reduction in deliverability. So
18 they -- we have -- they have saved according to
19 what that reduction has been.

20 A (Ms. Stabley) So essentially everything that we
21 subscribe to and pay for for the ESS storage is
22 available for us to use, and Transco has not
23 interrupted that.

24 Q Now, in response to one of the questions that we

1 asked you, you indicated that the Margin
2 Decoupling Tracker Mechanism, that you hadn't
3 observed that it impacted your design-day
4 requirements; do you recall?

5 A (Ms. Raney) Margin decoupling is not my area of
6 expertise.

7 A (Ms. Stabley) No.

8 A (Ms. Raney) Is that --

9 A (Ms. Stabley) Uh-uh (No). And it's not included
10 in the prudence information, the margin
11 decoupling.

12 Q Well do you know -- what I'm sort of driving at
13 there is shouldn't the efficiency improvements
14 that have been made over the years, like in
15 equipment and furnaces and all that, when should
16 we be able to see it have an impact on design-day
17 demand?

18 A (Ms. Stabley) Oh, that would come from the
19 design-day forecasting. That wouldn't have
20 anything to do with the margin decoupling --

21 Q All right.

22 A -- components. Those would be completely
23 separate. So any efficiencies that are seen
24 would come through the demand forecasting for

1 design day.

2 Q And we've not seen those efficiencies; is that
3 what we're saying?

4 A I think any efficiencies we see are included in
5 the number.

6 A (Ms. Raney) So, okay, I guess I'm not clear on
7 which -- specifically which efficiencies we're
8 talking about.

9 Q Well, we haven't seen --

10 A I'm sorry.

11 Q -- the design-day requirements change over time
12 or change very much. And so I pursued with the
13 Company in the past and we've been told about a
14 hooking effect so that they didn't see demand
15 change because, if we had very cold periods of
16 time, the customer is eventually up their usage?

17 A (Ms. Raney) So, if you're talking about
18 customers response and customers demand based on
19 cold weather conditions and energy efficiency
20 effects to that, that would be included in the
21 actual data. So when we do our design-day
22 analysis the actual usage from customers at
23 various temperatures is what is included in the
24 data in order to determine the total demand. So

1 as we've experienced actual growth changes that
2 would be reflective, and so any energy
3 efficiencies would be included just as part of
4 that customer usage. So the --

5 A (Ms. Stabley) I'm sorry. Go ahead.

6 A (Ms. Raney) So the hook effect that you're
7 referring to has to do with customer behavior in
8 extreme cold weather conditions. So what we have
9 observed through various cold, extreme cold
10 weather events is that on the actual coldest day
11 there is high usage, but what we see is that the
12 next day the usage can be even higher even as the
13 temperatures have moderated. So on those extreme
14 cold weather conditions it doesn't appear, based
15 on that data, that customers are employing energy
16 efficiency. They want warmth.

17 Q And so your planning is based on that coldest
18 day?

19 A That's right.

20 Q And you're indicating that customers in that time
21 period of that coldest time, coldest day, either
22 that day of or a couple of days after, that
23 little period of time customers use more. But I
24 guess I'm asking, so we don't see an impact even

1 in that period of time of these more efficient --
2 all these efficiencies that have been added and
3 gained over years, I've got a more efficient gas
4 hot water heater and --

5 A I would say what we see and what happens is in
6 the actual data for customer usage and customer
7 behavior, those efficiencies would be included.
8 But then you also have growth and demand that
9 we've seen as far as customer additions and new
10 households, and those sort of things that could
11 potentially offset so it's a --

12 Q So growth is another factor.

13 A That's correct.

14 Q But if you were just comparing say like an
15 efficient gas furnace with the furnace of 15, 20
16 years ago, those improvements alone are not
17 changing. It's fairly stable what we see when
18 the data comes back --

19 A What I would say is --

20 Q -- in design-day planning?

21 A I'm sorry. What I would say is that I don't have
22 the data that would go that specific. And what I
23 just have is the actual usage data that would
24 incorporate the usage of customers and whether

1 they have more efficient appliances, then that
2 would show up in the actual usage data that we
3 use to determine our demand on the system. But I
4 don't have it broken down to the specific level
5 that you have. I'm not quite sure how we would
6 do that.

7 A (Ms. Stabley) I would agree that the -- any sort
8 of energy efficiency or conservation that we see
9 from customers are in the numbers that we're
10 using currently when we look at our most current
11 customer usage so it would be included in that.

12 Q Can you imagine that we would ever see a gain in
13 the design-day planning that we would see the
14 forecast come down based on the new efficiencies
15 and --

16 A (Ms. Raney) So it hasn't been our experience so
17 far. To the extent it's impacted our growth
18 rates, it would be included in that overall
19 calculation. It's hard for me to predict that,
20 but at the moment the information that we have
21 where we gather the growth projections we have
22 not seen a net decrease due to efficiency.

23 Q So, and was it never expected from the gas
24 company's point of view, I mean, is that a

1 surprise to you? Did you ever expect to see
2 it -- to see the gain?

3 A (Ms. Stabley) I don't think that it's a
4 surprise. No.

5 A (Ms. Raney) We -- it's --

6 Q So you never had that expectation? You never had
7 the expectation that we would see a drop?

8 A Every year the models, and actually throughout
9 the year, are trued up based on the most recent
10 customer usage so they're already in the numbers.
11 So there's really no efficiency factor that's
12 being applied to certain customers. So it's all
13 a part of the data - part of their usage
14 characteristics, part of their load profile -
15 that all go into calculating what we think they
16 will use on design day.

17 Q All right. And then, Ms. Raney, on page 6 of
18 your testimony, you talk about the use of a
19 linear regression to determine design-day needs,
20 and there you mention using the data from 2011 to
21 2017?

22 A Yes, that's correct.

23 Q Are you able to say whether that's a long enough
24 period for your linear regression to be

1 meaningful?

2 A (Ms. Raney) We believe it is a long enough
3 period. It's -- part of I think what has
4 influenced our decision to go with this time
5 period has to do with the quality of the data and
6 the fact that -- and some of the effects that you
7 mentioned about the change in customer behavior
8 associated with things like more efficient
9 appliances. So if you go back too far, then you
10 would include some data that did not necessarily
11 represent the more current type of behavior that
12 we're -- that customers are employing.

13 Q Because --

14 A I think that's the right word.

15 Q -- if you went back for a longer period of time,
16 the numbers would look different, right?

17 A They could. It's -- we're still looking at the
18 usage by customer per heating degree day is. So
19 any time you introduce more data it could
20 influence your result up or down.

21 Q So given the reductions in design-day forecasts
22 shown, are you confident that the analysis
23 produces an adequate level of design-day demand?

24 A I'm sorry. The reduction -- could you --

1 Q It says given the reductions in design-day
2 forecasts shown, is Piedmont confident that the
3 analysis produces an adequate level of design-day
4 demand?

5 A So the -- Piedmont is confident in the analysis.
6 Yes. And I guess I'm trying to sort out which
7 reduction. Is that on my page 6 that you're
8 seeing?

9 MR. JEFFRIES: Madam Chairman, I think I
10 understand the question.

11 A Okay.

12 MR. JEFFRIES: I'm not sure Ms. Raney does.
13 I believe you're referring to the reduction on, it's
14 identified under Question 6 of the Commission's
15 questions.

16 COMMISSIONER BROWN-BLAND: Right.

17 A (Ms. Raney) Yes. I apologize, I was looking at
18 my testimony. I was like, gosh. Yes, we are
19 confident in our projection. So, if I may, the
20 reduction that you're referring to has to do with
21 the various design-day demand calculations for
22 the winter of 2018-'19 that would have been
23 performed over successive years. And as --
24 yes --

1 Q So that picked up two warm things, the
2 hurricane --

3 A That's right.

4 Q -- hurricanes and the warmer heating season.

5 A So those earlier fore -- oh, I apologize.

6 Q So those were like -- I guess I'm asking is that
7 getting too much emphasis in a short period and
8 affecting your numbers?

9 A Right. So during those windows forecasts were
10 run. You know, the earlier ones would not have
11 had those warm weather experiences within the
12 data. And so in successive years, as you get
13 closer to that 2018-'19 we add the data which, as
14 you said, included two warm weather experiences.
15 It also included the other data for the cold --
16 the normal or colder than normal winter so all of
17 the data was included. But as we get closer to
18 that year that we're planning for then we -- our
19 analysis can -- we'll take into account the more
20 recent data and that can influence the result,
21 and that's what you see here. And so the growth
22 rate went down after Hurricane Matthew and that
23 influenced kind of the starting point for the
24 next year, and both of those factors together

1 created this slight reduction.

2 Q But -- and so when you look at that over a
3 shorter period of time, and these are sort of
4 outliers, I think that's what I'm getting at --

5 A Right.

6 Q -- with these outliers and do you still have
7 confidence in the numbers even though you saw
8 some of these ups and downs --

9 A I understand.

10 Q -- and over a longer period it might be a little
11 smoothed out?

12 A Sure. I understand what you're saying. And so
13 that's why we keep in our analysis the older data
14 as well as adding the newer data. But it -- at a
15 certain point, we look at our analysis each year
16 to ensure that it's reasonable and that if there
17 are any modifications to the data set that we
18 might need to do. Now, we didn't actually reduce
19 the number of years in our analysis; we've added
20 to it to get -- to include the more recent
21 experiences. So we do feel confident in the
22 analysis that we're performing.

23 Q Okay. Thank you.

24 And thank you, Mr. Jeffries, for

1 getting us straight.

2 A (Ms. Raney) I appreciate that.

3 Q What is the Company's equity position in the
4 Atlantic Coast Pipeline project?

5 A So Piedmont is a customer on that and so we
6 generally don't speak on behalf of the owner
7 side.

8 A (Ms. Stabley) Correct.

9 MR. JEFFRIES: Madam Chairman, Piedmont
10 maintains a wall between the folks like Ms. Raney and
11 Ms. Stabley who operate on the customer side and so
12 they would not be privy nor would I to the details of
13 the equity ownership activities.

14 COMMISSIONER BROWN-BLAND: I appreciate
15 that.

16 BY COMMISSIONER BROWN-BLAND:

17 Q So our Question 7 that we had asked you earlier
18 dealt with whether a contract provision dealing
19 with governmental changes, such as the reduced
20 federal income tax, was included in negotiated
21 contracts with interstate pipeline suppliers such
22 as Atlantic Coast Pipeline. And you indicated
23 that the negotiated contract did not include such
24 a provision.

1 If governmental changes yield
2 excessive returns, what actions would the Company
3 take to protect the ratepayers?

4 A (Ms. Raney) So, Piedmont has entered into a
5 long-term negotiated rate agreement with Atlantic
6 Coast Pipeline, and so any change in the rate of
7 return associated with the recourse rate wouldn't
8 impact our customers due to our negotiated rate
9 agreements so that would be outside of those.
10 Yeah.

11 Q You're saying that the agreements then would
12 protect the -- it's the agreements that would
13 protect the ratepayers?

14 A The long-term negotiated rate agreements were
15 executed through arms-length negotiations and
16 were the best cost alternatives at the time of
17 all the alternatives that we reviewed that were
18 available. And so the change in tax rate would
19 not impact those negotiated rates.

20 Q Okay.

21 COMMISSIONER BROWN-BLAND: Are there other
22 questions from the Commission? Commissioner Gray.

23 EXAMINATION BY COMMISSIONER GRAY:

24 Q I'm going to change the direction a little bit.

1 So you get your gas from Transco. Every 85 miles
2 or so Transco has a compression station to make
3 sure the gas is flowing. Do you know whether or
4 not Transco has back-up energy capacity if they
5 lose electricity that allows the compression to
6 take place?

7 A (Ms. Stabley) I'm not aware of Transco --

8 Q Yeah, well I have a generator in my back yard --

9 A Okay. (Laughing)

10 Q -- that runs on natural gas and I assume that
11 everything --

12 A (Ms. Raney) Good for you. (Laughing)

13 Q -- and I assume that the natural gas will flow
14 but if it doesn't it's because the compression is
15 not there to allow the gas to flow?

16 A (Ms. Stabley) It's my understanding there could
17 be electric compression or gas compression, and
18 I'm not --

19 A (Ms. Raney) Right.

20 A (Ms. Stabley) -- privy to the information on
21 exactly Transco's facilities.

22 Q You may want to ask Transco what's the back-up.

23 A Okay.

24 Q And if I might be even bold enough to suggest

1 that with the increase in the ability of battery
2 storage, perhaps some solar at some of those
3 compression sites might be an alternative to
4 provide back-up power to allow the gas to flow?

5 A Could I say though, we do pay for firm service on
6 Transco so should Transco not provide that firm
7 service, regardless of whether a compressor went
8 down or there were other issues --

9 Q And I've seen firm before, too, yes, ma'am.

10 A -- so we do pay for firm service.

11 Q And I hope you continue to get it.

12 A I do, too.

13 A (Ms. Raney) So do we.

14 COMMISSIONER GRAY: Thank you.

15 COMMISSIONER BROWN-BLAND: Commissioner
16 Mitchell.

17 COMMISSIONER MITCHELL: I have just two
18 quick questions that follow up on questions from
19 Commissioner Brown-Bland.

20 EXAMINATION BY COMMISSIONER MITCHELL:

21 Q Ms. Stabley, I think this one will go to you.

22 And I want to make sure I understood your
23 testimony correctly when Commission Brown-Bland
24 was discussing sort of the backhaul capacity,

1 that is no longer available, or is I guess
2 decreasingly available, to the Company, and you
3 all have had to procure capacity elsewhere to
4 replace that back -- the capacity that was
5 formerly backhauled?

6 A (Ms. Stabley) It's not a replacement. We -- the
7 gas supplies that we could not really rely on to
8 move what used to be a backhaul, we put under
9 firm asset management agreement contracts which
10 provided for the delivery firm at our city gate.

11 Q So --

12 A So we did --

13 Q -- you firmed up what was formerly backhauled?

14 A Yes, for a short period of time. Those expire
15 October 2019, so they're short term or as
16 three-year asset management deals, various
17 contracts.

18 Q And that was my next question. So the duration
19 would have been three years from start to finish?

20 A Yes.

21 Q Okay. Got it. And then the last question is
22 about the margin decoupler. So I think I
23 understood your testimony to be that any
24 efficiencies that the Company has -- or any

1 efficiencies that customers have -- or that in
2 customer usage may have been offset by growth in
3 your customer base. So when you're calculating
4 those design-day requirements, sort of the
5 efficiencies are offset by growth; is that -- did
6 I understand --

7 A (Ms. Raney) Yeah. Sorry. I guess what I would
8 say is that we're using the actual observed
9 customer usage data. So to the extent those
10 customers have implemented any energy efficiency
11 appliances, then that would be reflective in
12 their actual usage and then we use that actual
13 data to calculate the regression.

14 Q Okay. So we -- the Commission is concerned with
15 the impact of that program on - I say concerned -
16 I mean we're just interested in the impact of
17 that program on customers and so, if we've
18 noticed that the Company has expensed interest
19 associated with that program over a number of
20 years, and so in evaluating benefits to customers
21 that may result from that program, is it -- does
22 it enter into the Company's considerations when
23 determining whether the need exists to file a
24 general rate case? This is sort of a convoluted

1 question and I'll restate it. But is it possible
2 that the margin decoupler has allowed the Company
3 to stay out longer -- stay out for -- you know,
4 not file a general rate increase longer than it
5 otherwise would have had that program not been in
6 place?

7 A That type of -- that rate case question is
8 definitely outside of the areas that I would --
9 that are my expertise so --

10 Q That's fair enough.

11 A -- I don't have an answer to that.

12 Q Okay. I have nothing further.

13 A Okay.

14 COMMISSIONER BROWN-BLAND: Are there follow
15 up to Commission's questions?

16 MS. CULPEPPER: No questions.

17 MR. JEFFRIES: I have a few, Madam Chair.

18 COMMISSIONER BROWN-BLAND: Hold up just a
19 minute.

20 MR. PAGE: Jim, I have a couple --

21 COMMISSIONER BROWN-BLAND: Mr. Page.

22 MR. JEFFRIES: Oh, I'm sorry, Bob.

23 COMMISSIONER BROWN-BLAND: I'll let you go,
24 Mr. Page.

1 MR. JEFFRIES: You were hiding behind Sarah
2 over there. I didn't see you.

3 MR. PAGE: I was trying to do you a favor by
4 hiding.

5 EXAMINATION BY MR. PAGE:

6 Q I wanted to follow up on some of the questions
7 that the Commissioners asked about the Statute
8 and the effect of competition and the likelihood
9 of the Atlantic Coast Pipeline coming online next
10 year.

11 I understand that from what
12 Mr. Jeffries offered that there's some sort of a
13 wall that screens you guys from knowing exactly
14 how much of the Atlantic Coast Pipeline Piedmont
15 owns or Duke owns, but you're aware they own some
16 piece of that, right?

17 A (Ms. Raney) Yes.

18 Q And particularly, Ms. Stabley, in your summary
19 this morning you talked about five different
20 factors that affect purchase of supply decisions.

21 A (Ms. Stabley) Correct.

22 Q The first one of which is cost?

23 A Yes.

24 Q Okay.

1 A Uh-huh (yes).

2 Q But there are four other conditions which say
3 everything is not necessarily cost driven.

4 A Correct.

5 Q And when you function in the availability of
6 purchasing supply through the Atlantic Coast
7 Pipeline, which isn't there now but hopefully
8 will be next year, then as the public witness
9 previously testified, wouldn't there be a
10 tendency in there, all other things being equal,
11 for Piedmont to prefer a supply that could be
12 delivered over the Atlantic Coast Pipeline rather
13 than Transco?

14 A Assuming operationally, flexibility,
15 security-wise, all things as being equal --

16 Q All of those five factors that are listed.

17 A -- if you're only comparing cost. If it were
18 less expensive to deliver supply to our customers
19 on ACP then, yes, we would look to do that.

20 Q I'll give you a disclosure here, my clients are
21 very, very, very interested in cost. So we will
22 be monitoring, and assume the Commission and
23 Public Staff will be monitoring, to assure that
24 when the Atlantic Coast Pipeline comes on that

1 it's not given undue preferences that defeat the
2 purpose of the Statute and increase cost rather
3 than reduce it?

4 A Right. Right. No, we layer our supply on based
5 on the customer need and then layering on
6 economically, assuming all things being equal
7 with supply and flexibility, or excuse me,
8 deliverability and flexibility, then, yes, cost
9 we layer in economically.

10 Q And generally, not in theory, you add a new
11 source of supply it ought to drive rates down?

12 A Yes. So in the example where rates are less
13 expensive coming in on Transco or Columbia Gas
14 Transmission then, yes, we would take that supply
15 over ACP as long as it's the same deliverability
16 that meets the customer need and is the less
17 expensive.

18 MR. PAGE: All right. Thank you.

19 COMMISSIONER BROWN-BLAND: Mr. Jeffries.

20 MR. JEFFRIES: Thank you, Madam Chairman.

21 I believe most of my questions are going to
22 be either for Ms. Raney or Ms. Stabley so I'm just
23 going to lob them in your direction and you guys
24 figure out who the best person to answer is.

1 EXAMINATION BY MR. JEFFRIES:

2 Q Chairman Brown-Bland asked some questions
3 about -- a number of questions regarding the
4 north-south, south to north capabilities on
5 Transco. As she noted, Transco is the primary
6 pipeline providing service to Piedmont in North
7 Carolina; correct?

8 A (Ms. Raney) Yes.

9 A (Ms. Stabley) Correct.

10 Q And ACP will run north to south, is that correct,
11 if it's constructed?

12 A (Ms. Raney) Yes.

13 Q And that will provide access to a different
14 supply sources than Transco currently does on a
15 forward-haul basis; is that correct?

16 A That's correct.

17 Q And the capacity -- the supply sources for the
18 capacity that Transco has historically moved from
19 north to south that you are now having trouble
20 meeting, those are some of the same supply
21 sources that ACP will access; is that correct?

22 A (Ms. Stabley) No.

23 A (Ms. Raney) Some of them are.

24 Q Okay. So, but they're different supply sources

1 than Transco mainline south to north capacity,
2 correct?

3 A Yes.

4 Q Okay. Thank you. Could you explain if there is
5 any relationship between Piedmont's efforts to
6 firm up this supply that historically has come
7 from the north using these secondary segmented
8 backhaul transactions and Piedmont's proposed LNG
9 project?

10 A (Ms. Raney) Are there any -- yes.

11 Q Is there a relationship between those two?

12 A The reduction and deliverability from peaking
13 assets sourced from the north to the south
14 certainly does have a relationship to the Robeson
15 LNG.

16 Q And what is that relationship?

17 A Well, it spurred our desire to seek out the
18 firming up of peaking supply that was no longer
19 firm to our system, and the Robeson LNG facility
20 provides that service -- will provide that
21 service.

22 Q Thank you. Commissioner Brown-Bland also asked
23 you a question about pipeline risk. Will having
24 another major interstate pipeline providing

1 service into Piedmont's system reduce your Force
2 Majeure risk from upstream suppliers?

3 A Having an additional pipeline, that should reduce
4 our Force Majeure risk because you have another
5 supply source that is on a completely different
6 system.

7 Q You're not solely dependent on Transco?

8 A That's right.

9 Q Okay. Ms. Raney, are you aware of a recent
10 filing by Transco at the FERC relating to
11 priority of service?

12 A I'm -- yes, I am familiar with that filing.

13 Q And did Piedmont participate in that docket?

14 A We did participate. We participated in the
15 technical conference held at FERC on that docket.

16 Q And were those changes by -- proposed changes by
17 Transco, in your view would they reduce
18 operational flexibility for customers in Zone 5
19 like Piedmont?

20 A Yes, they absolutely reduce operational
21 flexibility in Zone 5.

22 Q And did Piedmont oppose those changes?

23 A We protested the changes, yes.

24 Q So I'd like to return briefly, just at the risk

1 of beating a dead horse, to the issue of design
2 day?

3 A Okay.

4 Q So you look at usage as part of your design
5 day -- actual customer usage, system usage as
6 part of your design-day calculation --

7 A Yes.

8 Q -- is that correct?

9 A That's correct.

10 Q Has Piedmont historically been a system that has
11 experienced growth over time?

12 A Yes, it has.

13 Q And is that still continuing?

14 A And that is continuing, yes.

15 Q So if you didn't look at anything else, you would
16 expect from year-to-year to see an increase in
17 demand --

18 A That is --

19 Q -- customer demand based on actual usage year
20 over year, correct?

21 A That is correct.

22 Q Are you also aware that over, for some period of
23 time, average-per-customer usage of natural gas
24 has been in a slow decline?

1 A I'm not sure I've studied those metrics but that
2 is not surprising --

3 Q Okay.

4 A -- per customer.

5 Q And could that be as a result of new construction
6 that maybe is a little tighter, more efficient
7 appliances, energy efficiency measures that
8 customers take or that the Company promotes?

9 A Yes. That sounds like a reasonable explanation
10 of how that could have occurred.

11 Q And so if Piedmont wasn't a growth system and it
12 just had constant demand and you had those
13 factors engaged, you would see demand decline
14 over time, right?

15 A That -- yes. That would make sense, yes.

16 Q Okay. So -- while I'm asking you, I mean, you
17 know --

18 A Yeah. No, it does, it does, it does.

19 Q So, but when you -- you don't try to break out
20 that relative increase or that relative
21 decrease - decrease due to efficiency, increase
22 due to growth - you don't try to spike those out
23 in your design day, correct?

24 A No, we don't. We take actual usage data.

1 Q So it's all baked in there together?

2 A It is all baked in there together.

3 Q Okay. Thank you. And you don't have any way,
4 based on the way you calculate your design data,
5 to figure out what -- I mean, to some extent on
6 the savings it's trying to prove a negative,
7 right?

8 A Right. Yes. We don't break that out in the
9 analysis.

10 Q You have no way of knowing what an individual
11 customer who is saving energy would have used if
12 they hadn't saved it, right?

13 A I do not have a way to know that.

14 Q We had some discussion about your GSS and WSS
15 storage capacity, and as I understood that
16 there's no dedicated transport associated with
17 those services, correct?

18 A (Ms. Stabley) Correct.

19 A (Ms. Raney) Correct. Yeah.

20 Q Okay. So, because of that, you have a whole menu
21 of interstate pipeline capacity that you can use
22 to transport the actual commodity gas on a design
23 day, correct?

24 A (Ms. Stabley) Correct.

1 Q And then you've got these two storage fields, one
2 that's in Louisiana, one that's in Alabama, but
3 they don't have any baked in -- you don't have --
4 there's no service assigned to those storage
5 facilities that gets that gas to North Carolina,
6 right?

7 A (Ms. Raney) Those aren't bundled transport
8 storage contracts. Correct.

9 Q So you have to use your menu and that's why you
10 separated those when you were talking about
11 design-day storage facilities, correct?

12 A Correct.

13 Q And I believe you, Ms. Stabley, also said that it
14 gives you some optionality on sources of supply,
15 if there's either curtailment or price
16 differentials on a --

17 A (Ms. Stabley) Correct.

18 Q Okay. Thanks.

19 Ms. Raney, in your experience, is
20 there more than one legitimate way to calculate
21 design-day demand?

22 A (Ms. Raney) Yes, there are. Yes.

23 Q The way you do it, is that consistent with the
24 way Piedmont -- now, you've only been employed at

1 Piedmont or with Piedmont for what, a year, a
2 year and a half?

3 A I've been in this position with the Company for
4 just under a year.

5 Q Okay. And did you look at the design-day
6 calculation when you took this job?

7 A Yes, I did.

8 Q Did you do anything to validate it?

9 A I did, I looked at what was done in the previous
10 few years, a lot -- for my own personal
11 understanding because I was new to the position.
12 I also spoke with individuals at -- it's at a
13 university who provides us daily and monthly
14 forecasting service for our system and they also
15 provide design-day forecasting for utilities
16 across the country, and asked them if this was a
17 reasonable method to use, and they did validate
18 that with me that it was a reasonable methodology
19 for forecasting for design day.

20 Q I think you had a couple of questions -- thank
21 you for that. I think you had a couple of
22 questions from the Chairman about the relative
23 adequacy or your relative comfort level with the
24 adequacy of Piedmont's design-day calculation.

1 A Yes.

2 Q And I think she brought up a couple of issues
3 that might cause you to question the way you do
4 it and one was this pattern of excess usage where
5 customers experience a cold day. And I think
6 intuitively most of us would think that would be
7 when they're going to use most of the gas, but
8 instead it's two days later is what seems to
9 happen. She also talked about the length of the
10 look-back you do for your design-day calculation.
11 Is there anything built into your calculation
12 that helps mitigate risks from either of those
13 two factors?

14 A So we, as a Company, have used a reserve margin
15 to help with any of those unpredicted swings in
16 customer usage and other weather impacts like
17 wind, and cloud cover, and things of that sort,
18 and also supply disruptions that could occur to
19 our firm contracted supply. So we use that
20 reserve margin for all of those things.

21 Q Okay. Thank you. You had a couple of questions
22 about ACP, the rates and relationship to rate of
23 return, and I think you indicated that it's
24 really apples and oranges; negotiated rates are

1 one thing and cost of service rates are another,
2 correct?

3 A That's correct.

4 Q And Piedmont did an RFP process for the capacity
5 that ultimately you subscribed to on ACP; is that
6 correct?

7 A That's correct.

8 Q And so in doing that, did you get proposals from
9 multiple upstream potential providers of natural
10 gas?

11 A Yes, we did.

12 Q And was Transco one of those?

13 A Yes, they were.

14 Q Okay. And you did an analysis based on that,
15 were the ACP rates proposed higher or lower than
16 the Transco rates?

17 A I think they were lower, my understanding. Yes
18 they were lower.

19 Q And the ACP rates have since been adjusted.

20 A That's correct.

21 Q Correct?

22 A Yes.

23 Q But if you took the adjusted rates and went back
24 to that initial analysis, are the ACP rates still

1 lower?

2 A Yes, they are still lower.

3 Q Okay. Thank you.

4 And this one actually might be for
5 Ms. Tomlinson. Ms. Tomlinson, are there any
6 demand charges or costs associated with the
7 Atlantic Coast Pipeline project or the Piedmont
8 LNG project in the review period, gas costs of
9 this proceeding?

10 A (Ms. Tomlinson) No.

11 Q Thank you.

12 MR. JEFFRIES: I believe those are all the
13 questions I have, Madam Chairman.

14 COMMISSIONER BROWN-BLAND: Ms. Tomlinson, we
15 were working hard to be sure we had something for you.

16 (Laughter)

17 Well, your testimony has been received and
18 your evidence has been received so, there being no
19 further questions, you are excused, and thank you.

20 THE WITNESS: (Ms. Raney) Thank you.

21 THE WITNESS: (Ms. Stabley) Thank you.

22 THE WITNESS: (Ms. Tomlinson) Thank you.

23 (The witnesses are excused)

24 MS. CULPEPPER: The Public Staff calls

1 Poornima Jayasheela, Zarka H. Naba, and Michael C.
2 Maness.

3 POORNIMA JAYASHEELA, ZARKA H. NABA, and
4 MICHAEL C. MANESS;
5 having been duly sworn,
6 testified as follows:

7 COMMISSIONER BROWN-BLAND: You may be
8 seated.

9 DIRECT EXAMINATION BY MS. CULPEPPER:

10 Q Ms. Jayasheela, please state your name, business
11 address and present position for the record.

12 A (Ms. Jayasheela) My name is Poornima Jayasheela
13 and my business address is 430 North Salisbury
14 Street, Raleigh, North Carolina. I am a Staff
15 Accountant in the Accounting Division of the
16 Public Staff.

17 Q Ms. Naba, please state the same information.

18 A (Ms. Naba) My name is Zarka Naba and my business
19 address is 40 -- 430 North Salisbury Street,
20 Raleigh, North Carolina. I'm a Public Utilities
21 Engineer in the Public Staff's Natural Gas
22 Division.

23 Q Mr. Maness, please provide the same information.

24 A (Mr. Maness) My name is Michael C. Maness. I am

1 Director of the Accounting Division with the
2 Public Staff, 430 North Salisbury Street,
3 Raleigh, North Carolina.

4 Q Ms. Jayasheela, on September 17, 2018, did the
5 panel prepare and cause to be filed in this
6 docket joint testimony consisting of 24 pages and
7 three appendices?

8 A (Ms. Jayasheela) Yes.

9 Q On October 1, 2018, did the panel prepare and
10 cause to be filed in this docket revised joint
11 testimony consisting of 24 pages and three
12 appendices?

13 A Yes.

14 Q Do you have any additional corrections to your
15 testimony?

16 A Yes. Mr. Maness has some revisions.

17 Q Mr. Maness, please give us those corrections.

18 A (Mr. Maness) All of these corrections are on
19 page 20 and in one sentence near the top of the
20 page. On line 2, where it states "May 2018
21 contract period", that should be "May 2019
22 contract period". On line 3, it should read "12
23 months" instead of "13" at the beginning of the
24 line. And on line 4, where it says "May 2017

1 prompt month", it should say "May 2018 prompt
2 month".

3 Q If the panel was asked those same questions
4 today, would your answers as corrected be the
5 same?

6 A (Ms. Jayasheela) Yes.

7 MS. CULPEPPER: I move that the revised
8 joint testimony, as corrected, consisting of 24 pages
9 and three appendices be copied into the record as if
10 given orally from the stand.

11 COMMISSIONER BROWN-BLAND: That motion will
12 be allowed, and the revised joint testimony of the
13 three witnesses as it was filed on October 1 and
14 revised here will be received into evidence and
15 treated as if given orally from the witness stand, and
16 that includes the three appendices.

17 MS. CULPEPPER: Thank you.

18 (WHEREUPON, the prefiled revised
19 joint testimony of Poornima
20 Jayasheela, Zarka H. Naba, and
21 Michael C. Maness, as corrected,
22 including Appendices A, B and C is
23 copied into the record as if given
24 orally from the stand.)

PIEDMONT NATURAL GAS COMPANY, INC.
DOCKET NO. G-9, SUB 727
JOINT TESTIMONY OF
POORNIMA JAYASHEELA, ZARKA H. NABA,
AND MICHAEL C. MANESS
ON BEHALF OF
THE PUBLIC STAFF – NORTH CAROLINA UTILITIES COMMISSION
SEPTEMBER 17, 2018

1 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND
2 PRESENT POSITION.

3 A. My name is Poornima Jayasheela, and my business address is 430
4 North Salisbury Street, Raleigh, North Carolina. I am a Staff
5 Accountant in the Accounting Division of the Public Staff. My
6 qualifications and experience are provided in Appendix A.

7 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS
8 PROCEEDING?

9 A. The purpose of my testimony is (1) to present the results of my
10 review of the gas cost information filed by Piedmont Natural Gas
11 Company, Inc. (Piedmont or Company), in accordance with N.C.
12 Gen. Stat. § 62-133.4(c) and Commission Rule R1-17(k)(6), (2) to
13 provide my conclusions regarding whether the gas costs incurred
14 by Piedmont during the 12-month review period ended May 31,

1 2018, were properly accounted for, and (3) to report on any
2 changes in the deferred gas cost reporting during the review period.

3 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND
4 PRESENT POSITION.

5 A. My name is Zarka H. Naba, and my business address is 430 North
6 Salisbury Street, Raleigh, North Carolina. I am a Public Utilities
7 Engineer in the Public Staff's Natural Gas Division. My
8 qualifications and experience are provided in Appendix B.

9 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS
10 PROCEEDING?

11 A. The purpose of my testimony is to present my conclusions
12 regarding whether the natural gas purchases made by Piedmont
13 during the review period were prudently incurred. My testimony
14 also presents the results of my review of the gas cost information
15 filed by Piedmont in accordance with N.C. Gen. Stat. § 62-133.4(c)
16 and Commission Rule R1-17(k)(6), and provides my
17 recommendation regarding temporary rate increments or
18 decrements.

19 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND
20 PRESENT POSITION.

21 A. My name is Michael C. Maness, and my business address is 430
22 North Salisbury Street, Raleigh, North Carolina. I am the Director

1 of the Accounting Division of the Public Staff. My qualifications and
2 experience are provided in Appendix C.

3 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS
4 PROCEEDING?

5 A. The purpose of my testimony is to discuss the Public Staff's
6 investigation and conclusions regarding the prudence of Piedmont's
7 hedging activities during the review period.

8 Q. PLEASE EXPLAIN HOW THE PUBLIC STAFF CONDUCTED ITS
9 REVIEW.

10 A. We reviewed the testimony and exhibits of the Company's
11 witnesses, the Company's monthly Deferred Gas Cost Account
12 reports, monthly financial and operating reports, the gas supply,
13 pipeline transportation, and storage contracts, the reports filed with
14 the Commission in Docket No. G-100, Sub 24A, and the
15 Company's responses to Public Staff data requests. The
16 responses to the Public Staff data requests contained information
17 related to Piedmont's gas purchasing philosophies, customer
18 requirements, and gas portfolio mixes.

19 Q. MS. NABA, WHAT IS THE RESULT OF YOUR EVALUATION OF
20 PIEDMONT'S GAS COSTS?

21 A. Based on my investigation and review of the data in this docket, I
22 believe that Piedmont's gas costs were prudently incurred.

1 Q. WHAT OTHER ITEMS DID THE NATURAL GAS DIVISION
2 REVIEW?

3 A. Even though the scope of Commission Rule R1-17(k) is limited to a
4 historical review period, the Public Staff's Natural Gas Division also
5 considers other information received pursuant to the data requests
6 in order to anticipate the Company's requirements for future needs,
7 including design day estimates, forecasted gas supply needs,
8 projection of capacity additions and supply changes, and customer
9 load profile changes.

10 **ACCOUNTING FOR AND ANALYSIS OF GAS COSTS**

11 Q. MS. JAYASHEELA, HAS THE COMPANY PROPERLY
12 ACCOUNTED FOR ITS GAS COSTS DURING THE REVIEW
13 PERIOD?

14 A. Yes.

15 Q. HOW DOES THE ACCOUNTING DIVISION GO ABOUT
16 CONDUCTING ITS REVIEW OF THE COMPANY'S
17 ACCOUNTING FOR GAS COSTS?

18 A. Each month the Public Staff's Accounting Division reviews the
19 Deferred Gas Cost Account reports filed by the Company for
20 accuracy and reasonableness, and performs several audit
21 procedures on the calculations, including the following:

1 (1) Commodity Gas Cost True-Up – The actual commodity gas
2 costs incurred are verified, the calculations and data supporting the
3 commodity gas costs collected from customers are checked, and
4 the overall calculation is reviewed for mathematical accuracy.

5 (2) Fixed Gas Cost True-Up – The actual fixed gas costs
6 incurred are compared with pipeline tariffs and gas contracts, the
7 rates and volumes supporting the calculation of collections from
8 customers are verified, and the overall calculation is reviewed for
9 mathematical accuracy.

10 (3) Negotiated Losses – Negotiated prices for each customer
11 are reviewed to ensure that the Company does not sell gas to the
12 customer below the cost of gas to the Company or below the price
13 of the customer's alternative fuel.

14 (4) Temporary Increments and/or Decrements – Calculations
15 and supporting data are verified regarding the collections from
16 and/or refunds to customers that have occurred through the
17 Deferred Gas Cost Accounts.

18 (5) Interest Accrual – Calculations of the interest accrued on the
19 various deferred account balances during the month are verified in
20 accordance with N.C. Gen. Stat. § 62-130(e) and the Commission's
21 Order Approving Merger Subject to Regulatory Conditions and

1 Code of Conduct issued September 29, 2016, in Docket Nos. G-9,
2 Sub 682, E-2, Sub 1095, and E-7, Sub 1100 (Merger Order).

3 (6) Secondary Market Transactions – The secondary market
4 transactions conducted by the Company are reviewed and verified
5 to the financial books and records, asset management
6 arrangements, and other deferred account journal entries.

7 (7) Uncollectibles – The Company records a journal entry each
8 month in the Sales Customers' Only Deferred Account for the gas
9 cost portion of its uncollectibles write-offs. The calculations
10 supporting those journal entries are reviewed to ensure that the
11 proper amounts are recorded.

12 (8) Supplier Refunds – Unless ordered otherwise, supplier
13 refunds received by Piedmont should be flowed through to
14 ratepayers in the All Customers' Deferred Account or in certain
15 circumstances applied to the NCUC Legal Fund Reserve Account.
16 Documentation is reviewed to ensure that the proper amount is
17 credited to the correct account in a timely fashion.

18 Q. HOW DO THE COMPANY'S FILED GAS COSTS FOR THE
19 CURRENT REVIEW PERIOD COMPARE WITH THOSE FOR THE
20 PRIOR REVIEW PERIOD?

21 A. The Company filed total gas costs of \$343,478,124 per Tomlinson
22 Exhibit_(MBT-1), Schedule 1, for the current period as compared

1 with \$284,034,828 for the prior twelve-month period. The
 2 components of the filed gas costs for the two periods are as
 3 follows:

	<u>12 Months Ended</u>		Increase (Decrease)	% Change
	<u>May 31, 2018</u>	<u>May 31, 2017</u>		
Demand & Storage	\$129,398,029	\$132,821,781	(\$3,423,752)	(2.6%)
Commodity	220,382,071	173,683,773	46,698,298	26.9%
Other Costs	<u>(6,301,977)</u>	<u>(22,470,726)</u>	<u>16,168,749</u>	<u>(72.0%)</u>
Total	<u>\$343,478,124</u>	<u>\$284,034,828</u>	<u>\$59,443,295</u>	<u>20.9%</u>

4 Q. PLEASE EXPLAIN ANY SIGNIFICANT INCREASES OR
 5 DECREASES IN DEMAND AND STORAGE CHARGES.
 6 A. The Demand and Storage Charges for the current review period
 7 and the prior twelve-month review period are as follows:

		Actual Amounts for the 12 Month Periods Ended			
		April 30, 2018	April 30, 2017	Increase (Decrease)	% Change
Transco	FT	\$93,988,018	\$94,479,301	(\$491,283)	-0.5%
Transco	GSS	3,679,481	3,679,747	(266)	0.0%
Transco	ESS	2,318,429	2,318,429	0	0.0%
Transco	WSS	1,796,037	1,796,037	0	0.0%
Transco	LNG Service	219,197	219,197	0	0.0%
Columbia	FSS	3,331,131	3,331,131	0	0.0%
Columbia	SST	4,800,194	4,718,079	82,115	1.7%
Columbia	FTS	2,506,655	2,455,311	51,344	2.1%
Columbia	No Notice FT	941,770	929,740	12,030	1.3%
Col Gulf	FTS	255,154	726,150	(470,996)	-64.9%
Dominion	GSS	575,112	574,680	432	0.1%
Dominion	FT - GSS	965,167	972,850	(7,683)	-0.8%
ETN	FT	3,631,601	3,631,614	(13)	0.0%
Midwestern	FT	2,710,800	2,710,800	0	0.0%
Hardy Storage		14,550,258	14,442,394	107,864	0.7%
Pine Needle LNG		7,922,018	9,373,299	(1,451,281)	-15.5%
Cardinal	FT Demand	6,917,009	8,706,922	(1,789,913)	-20.6%
LNG Processing		1,102,267	921,994	180,273	19.6%
Property Taxes		96,225	126,312	(30,087)	-23.8%
Other		(216,691)	-	(216,691)	-
NC/SC Costs Expensed		152,089,832	156,113,988	(4,024,156)	-2.6%
NC Demand Allocator		85.08%	85.08%		
NC Costs Expensed		\$129,398,029	\$132,821,781	(\$3,423,752)	-2.6%

Note: Actual amounts lag one-month behind the accounting period.
The May 31 review periods reflect actual amounts for the 12-month periods ended April 30.

1 The decrease in the Transcontinental Gas Pipe Line Company,
2 LLC (Transco) Firm Transportation (FT) charges are due to a
3 decrease in the electric power component of the reservation
4 charge, pursuant to FERC Docket No. RP18-541-000, effective
5 April 1, 2018.

6 The decrease in Columbia Gulf Transmission, LLC (Columbia)
7 Firm Transportation Service (FTS) charges is due to the
8 termination of the Columbia Gulf contract, effective October 31,
9 2017.

1 The reduction in the **Pine Needle LNG Company, LLC** charges is
2 due to a decrease in its rates pursuant to FERC Docket No.
3 RP17-204-000, effective January 1, 2017, and RP17-576-000,
4 effective May 1, 2017.

5 The decrease in Cardinal Pipeline Company, LLC (**Cardinal**) Firm
6 **Transportation** charges is due to the North Carolina Utilities
7 Commission Order decreasing reservation charges in Docket No.
8 G-39, Sub 38, effective August 1, 2017.

9 The **LNG Processing** charges are the electric bills associated with
10 the liquefaction expense for Piedmont's two on-system LNG
11 facilities. These charges increased due to a higher level of LNG
12 injection volumes and LNG withdrawal volumes when compared to
13 the injection and withdrawal volumes from the 2017 Annual Review
14 of Gas Costs.

15 The **Other** amount of (\$216,691) is a one-time Transco
16 interconnect refund which was recorded in April 2018.

17 Q. PLEASE EXPLAIN THE CHANGE IN COMMODITY GAS COSTS.

18 A. Commodity gas costs for the current review period and the prior
19 twelve-month period are as follows:

	Actual Amounts for the 12 Month Periods Ended			
	April 30, 2018	April 30, 2017	Increase (Decrease)	% Change
Gas Supply Purchases	\$260,145,619	\$198,124,517	\$62,021,102	31.3%
Reservation Charges	3,512,866	2,108,516	1,404,350	66.6%
Storage Injections	(55,350,193)	(41,629,300)	(13,720,893)	33.0%
Storage Withdrawals	55,662,061	48,397,674	7,264,387	15.0%
Electric Compressor Costs	1,970,456	812,550	1,157,905	142.5%
Banked Gas Usage	(2,424)	13,304	(15,728)	(118.2%)
Cash Out Brokers (Long)	1,835,287	1,860,501	(25,214)	(1.4%)
Sales to Transport Customers/Cash Out Shorts	0	(513,518)	513,518	(100.0%)
NC/SC Commodity Costs	\$267,773,671	\$209,174,244	\$58,599,427	28.0%
NC Commodity Costs	\$220,382,071	\$173,683,773	\$46,698,298	26.9%
NC Dekatherms Delivered	74,847,698	61,255,701	13,591,997	22.2%
NC Cost per Dekatherm	\$2.9444	\$2.8354	\$0.1090	3.8%

Note: Actual amounts lag one-month behind the accounting period. The May 31 review periods reflect actual amounts for the 12-months ended April 30.

1 **Gas Supply Purchases** increased by \$62,021,102 primarily due to
2 a greater level of wellhead gas prices and an increase in purchased
3 volumes in the current review period compared with the prior
4 twelve-month review period.

5 **Reservation Charges** are fixed or minimum monthly charges a
6 local distribution company (LDC) may pay a supplier in connection
7 with the supplier providing the LDC an agreed-upon quantity of gas,
8 regardless of whether the LDC takes it or not. The increase in
9 reservation charges reflects the market-driven increase in prices in
10 the current review period as compared to the prior review period.

11 The increase in **Storage Injections** was due to both higher cost of
12 gas supply injected into storage and increased volumes injected

1 into storage. The average cost of gas into storage during the
2 current review period was ~~\$2.8468~~ 2.8309 per dekatherm (dt) as
3 compared with \$2.5405 per dt for the prior period. Piedmont
4 injected 19,552,162 dts into storage in the current review period as
5 compared to 16,386,099 dts for the prior period.

6 The increase in **Storage Withdrawal charges** was due to a higher
7 average cost of supply withdrawn from storage and higher volumes
8 withdrawn from storage. Piedmont's average cost of gas withdrawn
9 was \$2.9723 per dt this review period as compared to \$2.7522 per
10 dt in the prior period. Piedmont withdrew 18,726,868 dts from
11 storage in the current review period as compared to 17,584,794 dts
12 for the prior period.

13 The **Electric Compressor Costs** are associated with electric
14 compressors related to power generation contracts. There is no
15 impact on the deferred account since these costs are recovered
16 through the contract payments.

17 **Banked Gas** is the cost of gas associated with the month-end
18 volume imbalances that are not cashed out with customers.
19 Piedmont currently has four banked gas customers, all former
20 NCNG customers, who may exercise the right per contract to carry
21 forward their monthly volume imbalances instead of cashing out
22 monthly. The change in the banked gas represents the difference

1 in the cost of gas supply of the volume imbalances carried forward
2 from month to month.

3 **Cash Out Brokers (Long)** represents the purchases made by
4 Piedmont from brokers that brought too much gas to the city gate.
5 The modest reduction in Cash Out Longs was due to the decrease
6 in dollars per dt during the current review period as compared to
7 the prior review period. During the current period, the average
8 price per dt for Cash Out Longs was \$1.0140 while the previous
9 period's average price per dt was \$1.1063.

10 **Sales to Transport Customers/Cash Out Shorts** represents the
11 purchases made by transport customers when they are short of gas
12 from Piedmont. In prior annual review of gas costs proceedings,
13 Piedmont applied the North Carolina allocation percentage to Cash
14 Out Shorts. From the current annual review of gas costs
15 proceeding forward, Piedmont is able to directly allocate the Cash
16 Out Shorts to North Carolina.

17 Q. PLEASE EXPLAIN THE CHANGE IN OTHER GAS COSTS.

18 A. Other gas costs for the current review period and the prior twelve-
19 month period are as follows:

	Actual Amounts for the 12 Month Periods Ended		
	April 30, 2018	April 30, 2017	Increase (Decrease)
Total Deferred Acct Activity COG Items	\$13,026,040	(\$49,941)	\$13,075,981
Actual vs. Estimate Reporting Month Adj.	(1,584,982)	3,636,860	(5,221,842)
Total Other Costs	<u>(17,743,034)</u>	<u>(26,057,644)</u>	<u>8,314,610</u>
Total NC Other Cost of Gas Expense	<u>(\$6,301,976)</u>	<u>(\$22,470,726)</u>	<u>\$16,168,749</u>

1 The **Total Deferred Acct Activity COG Items** reflect offsetting
2 journal entries for the cost of gas recorded in the Company's
3 Deferred Gas Cost Accounts during the review periods. This
4 amount includes offsetting journal entries for the commodity
5 true-up, fixed gas cost true-up, negotiated losses, and
6 increments/decrements.

7 The **Actual vs. Estimate Reporting Month Adj.** amounts result
8 from the Company's monthly accounting closing process. Each
9 month, the Company estimates its current month's gas costs for
10 financial reporting purposes and adjusts the prior month's estimate
11 to reflect the actual cost incurred for that month.

12 **Total Other Costs** are primarily the North Carolina ratepayers'
13 portion of capacity release margins and the allocation factor
14 differential for bundled sales. The allocation factor differential is
15 due to the utilization of the NC/SC sales allocation factor in the
16 commodity gas cost calculation and the demand allocation factor
17 utilized in the secondary market calculation.

18

SECONDARY MARKET ACTIVITIES

1

2 Q. MS. JAYASHEELA, PLEASE SUMMARIZE THE COMPANY'S
3 SECONDARY MARKET ACTIVITIES DURING THE REVIEW
4 PERIOD.

5 A. During the review period, the Company earned actual margins of
6 \$51,420,263 on secondary market transactions, and credited the All
7 Customers' Deferred Account in the amount of \$32,811,270
8 ~~(\$51,420,263 x NC demand allocator x 75% ratepayer sharing~~
9 ~~percent)~~ \$32,831,848 (($\$51,420,263 - 100\%$ Duke Off System
10 Sales) X NC demand allocator X 75% ratepayer sharing
11 percentage) + (100% Duke Off System Sales X NC demand
12 allocator)) for the benefit of ratepayers, in accordance with the
13 Commission's Order Approving Stipulation issued on December 22,
14 1995, in Docket No. G-100, Sub 67. This dollar amount is slightly
15 different than the amount recorded on Tomlinson Exhibit_(MBT-1),
16 Schedule 9, since the Company's deferred account includes
17 estimates for the May 2018 secondary market transactions.
18 Presented below is a chart that compares the actual Total
19 Company margins earned by Piedmont on the various types of
20 secondary market transactions in which it was engaged during the
21 review period and the prior review period.

	Actual Amounts for the 12 Month Periods Ended			
	April 30, 2018	April 30, 2017	Increase (Decrease)	% Change
Asset Management Arrangements	\$10,885,208	\$18,439,307	(\$7,554,099)	(41.0%)
Capacity Releases	20,465,242	24,078,870	(3,613,628)	(15.0%)
Off System Sales	20,069,813	7,013,731	13,056,082	186.2%
Total Company Margins on Secondary Market Transactions	\$51,420,263	\$49,531,908	\$1,888,355	3.8%

Note: Actual amounts lag one-month behind the accounting period. The May 31 review periods reflect actual amounts for the 12-months ended April 30.

1 **Asset Management Arrangements (AMAs)**, according to the
2 **FERC,**

3 are contractual relationships where a party agrees to
4 manage gas supply and delivery arrangements,
5 including transportation and storage capacity, for
6 another party. Typically a shipper holding firm
7 transportation and/or storage capacity on a pipeline or
8 multiple pipelines temporarily releases all or a portion
9 of that capacity along with associated gas production
10 and gas purchase agreements to an asset manager.
11 The asset manager uses that capacity to serve the
12 gas supply requirements of the releasing shipper,
13 and, when the capacity is not needed for that
14 purpose, uses the capacity to make releases or
15 bundled sales to third parties.

16 Promotion of a More Efficient Capacity Release Market, Order No.
17 712, 123 FERC ¶ 61,286, Paragraph 110 (June 19, 2008).

18 Piedmont had eight AMAs for the period ending April 30, 2017, and
19 seven AMAs for the period ending April 30, 2018. Beginning in
20 April 2017, two AMAs were combined with the purpose of firming
21 up volumes being delivered from Boswells Tavern to Piedmont's
22 city gate. The value of the combined AMA has decreased in order
23 to firm up these deliveries to Piedmont's city gate.

1 **Capacity Releases** are the short-term posting of unutilized firm
2 capacity on the electronic bulletin board that is released to third
3 parties at a biddable price. The overall net compensation from
4 capacity release transactions decreased due to a lower level of
5 released volumes and the market value of capacity releases also
6 decreased for the current review period as compared to the
7 previous period.

8 **Off System Sales** on Piedmont's system are also referred to as
9 bundled sales. Bundled sales are gas supplies delivered to a third
10 party at a specified receipt point in the Transco market area.
11 Because bundled sales move gas from the production area to the
12 market area, these sales utilize pipeline capacity, and thus involve
13 both gas supply and capacity. The net compensation from off
14 system sales increased by approximately 186% as compared to the
15 prior review period due to higher market prices that were paid by
16 shippers during the current review period as compared to the prior
17 review period.

18 Q. PLEASE PROVIDE A FURTHER DESCRIPTION OF PIEDMONT'S
19 OFF SYSTEM SALES TRANSACTIONS.

20 A. During the current review period, Piedmont entered into multi-
21 month, monthly, and daily off system sales transactions with
22 approximately thirty-five shippers. 31% of these off system sales
23 transaction volumes consisted of daily transactions, 1.5% were

1 monthly transactions and 67.5% were multi-month transactions. Of
2 the two multi-month transactions, one spanned the three-month
3 summer period and the other multi-month transaction spanned the
4 whole current annual review period.

5 **HEDGING ACTIVITIES**

6 Q. MR. MANESS, PLEASE EXPLAIN HOW THE PUBLIC STAFF
7 CONDUCTED ITS REVIEW OF THE COMPANY'S HEDGING
8 ACTIVITIES.

9 A. The Public Staff's review of the Company's hedging activities is
10 performed on an ongoing basis, and includes the analysis and
11 evaluation of the following information:

- 12 1. The Company's monthly hedging deferred account reports;
- 13 2. Detailed source documentation, such as broker statements,
14 that provide support for the amounts spent and received by
15 the Company for financial instruments;
- 16 3. Workpapers supporting the derivation of the maximum
17 hedge volumes targeted for each month;
- 18 4. Periodic reports on the status of hedge coverage for each
19 month (Hedging Position Report);
- 20 5. Periodic reports on the market values of the various financial
21 instruments used by the Company to hedge (Mark-to-Market
22 Report);

- 1 6. The monthly Hedging Program Status Report;
- 2 7. The monthly report reconciling the Hedging Program Status
- 3 Report and the hedging deferred account report;
- 4 8. Minutes from meetings of Piedmont's Energy Price Risk
- 5 Management Committee (EPRMC);
- 6 9. Minutes from the Board of Directors and its committees that
- 7 pertain to hedging activities;
- 8 10. Reports and correspondence from the Company's external
- 9 and internal auditors that pertain to hedging activities;
- 10 11. Hedging plan documents that set forth the Company's gas
- 11 price risk management policy, hedge strategy, and gas price
- 12 risk management operations;
- 13 12. Communications with Company personnel regarding key
- 14 hedging events and plan modifications under consideration
- 15 by Piedmont's EPRMC; and
- 16 13. Testimony and exhibits of the Company's witnesses in the
- 17 annual review proceeding.

18 Q. WHAT IS THE STANDARD SET FORTH BY THE COMMISSION
19 FOR EVALUATING THE PRUDENCE OF A COMPANY'S
20 HEDGING DECISIONS?

21 A. In its February 26, 2002, Order on Hedging in Docket No. G-100,
22 Sub 84 (Hedging Order), the Commission stated that the standard
23 for reviewing the prudence of hedging decisions is that the decision

1 "must have been made in a reasonable manner and at an
 2 appropriate time on the basis of what was reasonably known or
 3 should have been known at that time." Hedging Order, 92 NCUC 4,
 4 11-12 (2002).

5 Q. PLEASE DESCRIBE THE ACTIVITY REPORTED IN THE
 6 COMPANY'S HEDGING DEFERRED ACCOUNT DURING THE
 7 REVIEW PERIOD.

8 A. The Company experienced net costs of \$5,207,171 in its Hedging
 9 Deferred Account during the review period. This net cost amount in
 10 the account at May 31, 2018, is composed of the following items:

Economic (Gain)/Loss - Closed Positions	(\$114,950)
Premiums Paid	5,016,010
Brokerage Fees & Commissions	69,440
Interest on Hedging Deferred Account	<u>236,671</u>
Hedging Deferred Account Balance	<u>\$5,207,171</u>

11 The Company proposed that the \$5,207,171 debit balance in the
 12 Hedging Deferred Account at of the end of the review period be
 13 transferred to its Sales Customers' Only Deferred Account.

14 The first item shown in the chart above, Economic (Gain)/Loss -
 15 Closed Positions, is the gain on hedging positions that the
 16 Company realized during the review period. Premiums Paid is the
 17 amount spent by the Company on futures and options positions
 18 during the current review period for contract periods that closed
 19 during the review period or that will close after May 31, 2018. As of

KMM
KMM
KMM

1 May 31, 2018, this amount includes call options purchased by
 2 Piedmont for the May ~~2016~~²⁰¹⁹ contract period, a contract period that is
 3 ~~13~~¹² months beyond the end of the current review period and 12
 4 months beyond the May ~~2017~~²⁰¹⁸ prompt month. Brokerage Fees and
 5 Commissions are the amounts paid to brokers to complete the
 6 transactions. The Interest on Hedging Deferred Account is the
 7 amount accrued by the Company on its Hedging Deferred Account
 8 in accordance with N.C. Gen. Stat. § 62-130(e) and the Merger
 9 Order, effective October 1, 2017.

10 The hedging costs incurred by the Company during the review
 11 period represent approximately 1.52% of total gas costs or \$0.07
 12 per dt. The average monthly cost per residential customer for
 13 hedging is approximately \$0.34. Piedmont's weighted average
 14 hedged cost of gas for the review period was \$3.51 per dt.

15 Q. DID THE COMPANY MODIFY ITS HEDGING PLAN DURING THE
 16 REVIEW PERIOD?

17 A. No. The Company did not modify its hedging plan during the
 18 current review period.

19 Q. MR MANESS, WHAT IS YOUR CONCLUSION REGARDING THE
 20 PRUDENCE OF THE COMPANY'S HEDGING ACTIVITIES?

21 A. Based on the Public Staff's analysis and what was reasonably
 22 known or should have been known at the time the Company made

1 its hedging decisions affecting the review period, as opposed to the
2 outcome of those decisions, I conclude that the Company's
3 decisions were prudent. I recommend that the \$5,207,171 debit
4 balance in the Hedging Deferred Account as of the end of the
5 review period be transferred to Piedmont's Sales Customers' Only
6 Deferred Account.

7 **DESIGN DAY REQUIREMENTS**

8 Q. MS. NABA, HAVE YOU DRAWN ANY CONCLUSION FROM
9 YOUR REVIEW AS TO THE COMPANY'S FUTURE CAPACITY
10 REQUIREMENTS?

11 A. I reviewed the Company's testimony and information submitted by
12 the Company in response to data requests that dealt with how well
13 the projected firm demand requirements aligned with the available
14 capacity in the future. I also performed independent calculations
15 which projected demand versus capacity requirements.

16 From those calculations, it appears that the Company has
17 adequate capacity to meet firm demand until the Atlantic Coast
18 Pipeline (ACP) comes online in 2019. If ACP does not come online
19 as scheduled, it is projected that Piedmont may have a capacity
20 shortfall starting in the 2019-2020 winter period. I recommend that
21 the Company continue to carefully review its demand projections as
22 it considers capacity additions in the future.

1

DEFERRED ACCOUNT BALANCES

2 Q. MS. JAYASHEELA, BASED ON YOUR REVIEW OF GAS COSTS
 3 IN THIS PROCEEDING AND MS. NABA'S OPINION THAT THE
 4 COMPANY'S GAS COSTS WERE PRUDENTLY INCURRED,
 5 WHAT ARE THE APPROPRIATE DEFERRED ACCOUNT
 6 BALANCES AS OF MAY 31, 2018?

7 A. The appropriate All Customers' Deferred Account balance is a
 8 credit of \$17,078,428, owed by the Company to its customers, as
 9 filed by the Company.

10 The Public Staff recommends transferring the debit balance of
 11 \$5,207,171 in the Hedging Deferred Account as of the end of the
 12 review period to the Sales Customers' Only Deferred Account. The
 13 recommended balance for the Sales Customers' Only Deferred
 14 Account as of May 31, 2018, is a net debit balance, owed to the
 15 Company, of \$5,191,871, determined as follows:

Balance per Exhibit MBT-1 Sch 8	(\$15,300)
Transfer of Hedging Balance	5,207,171
Balance per Public Staff	<u>\$5,191,871</u>

16 Q. MS. NABA, WHAT IS YOUR RECOMMENDATION REGARDING
 17 ANY PROPOSED INCREMENTS/DECREMENTS?

18 A. I have determined that the temporary increments applicable to the
 19 All Customers' Deferred Account balance at May 31, 2018, as

1 proposed by the Company in Tomlinson Exhibit_(MBT-3), are
2 properly and accurately calculated.

3 I also agree with the temporary decrement as proposed by the
4 Company in Tomlinson Exhibit_(MBT-4) for the Sales Customers'
5 Only Deferred Account as of May 31, 2018.

6 I recommend that Piedmont monitor the balances in both the All
7 Customers' and Sales Customers' Only Deferred Accounts and, if
8 needed, file an application for authority to implement new
9 temporary increments or decrements through the Purchased Gas
10 Adjustment mechanism in order to keep the deferred account
11 balances at reasonable levels.

12 I further recommend that Piedmont remove the existing temporary
13 decrements and increment approved in the Company's prior annual
14 review of gas costs proceeding (Docket No. G-9, Sub 710) and
15 implement the temporaries in the instant docket.

16 Q. WHAT AFFECT DOES THIS CHANGE IN TEMPORARIES HAVE
17 ON THE TYPICAL RESIDENTIAL BILL?

18 A. The typical residential customer will experience a decrease of
19 \$1.79 (\$13.27) per year.

1 Q. MS. JAYASHEELA, DID PIEDMONT HAVE ANY CHANGES TO
2 ITS DEFERRED ACCOUNT REPORTING DURING THE REVIEW
3 PERIOD?

4 A. No.

5 Q. DOES THIS CONCLUDE THE PUBLIC STAFF'S TESTIMONY?

6 A. Yes.

Appendix A**POORNIMA JAYASHEELA****Qualifications and Experience**

I received a Bachelor of Science degree and a Master of Business Administration degree from Osmania University, Hyderabad, India. I was employed by the Michigan Public Service Commission (MPSC) from July 2004 to August 2015. During my employment with the MPSC, I participated in contested rate cases, Times Interest Earned Ratio (TIER) case audits for regulated co-operatives, Power Supply Cost Recovery reconciliation audits, reconciliations of uncollectible expense tracking mechanism and revenue decoupling mechanism, and any special audits required by the MPSC.

I started employment with the Public Staff of North Carolina Utilities Commission in August 2015 as a staff accountant. I have presented testimony and exhibits or assisted with the following general rate case audits: Docket No. E-35, Sub 45, Western Carolina University; Docket No. W-1058, Sub 7, Elk River Utilities, Inc.; Docket No. E-34, Sub 46, New River Light and Power; and Docket No. W-567, Sub 8, Prior Construction Inc. I have also presented testimony and exhibits in Piedmont Natural Gas Company's annual gas cost review for 2016, Docket No. G-9, Sub 690, and 2017, Docket No. G-9, Sub 710.

APPENDIX B

ZARKA H. NABA**Qualifications and Experience**

I am a graduate of The City College of New York with a Bachelor of Engineering Degree in Environmental Engineering.

I began working in the environmental field in June 2016 as an Environmental Engineering Intern. I've worked with the New York City Department of Sanitation's Vehicle Acquisition Warranty Division (DSNY) to assist in several fuel usage tracking projects installed in their fleet vehicles. While employed at DSNY, I was responsible for reporting installation projects, as well as researching environmental and safety impacts of various new technologies introduced.

I joined the Public Staff in September of 2017 as a member of the Natural Gas Division. My work to date includes Purchased Gas Cost Adjustment Procedures, Tariff Amendments, Fuel Tracker & Power Cost Adjustments, CNG Contracts, Peak Day Demand and Capacity Calculations, and Customer Complaint Resolutions.

Appendix C**MICHAEL C. MANESS**

I am a graduate of the University of North Carolina at Chapel Hill with a Bachelor of Science degree in Business Administration with Accounting. I am a Certified Public Accountant and a member of both the North Carolina Association of Certified Public Accountants and the American Institute of Certified Public Accountants.

As Director of the Accounting Division of the Public Staff, I am responsible for the performance, supervision, and management of the following activities: (1) the examination and analysis of testimony, exhibits, books and records, and other data presented by utilities and other parties under the jurisdiction of the Commission or involved in Commission proceedings; and (2) the preparation and presentation to the Commission of testimony, exhibits, and other documents in those proceedings. I have been employed by the Public Staff since July 12, 1982.

Since joining the Public Staff, I have filed testimony or affidavits in several general, fuel, and demand-side management/energy efficiency rate cases of the utilities currently organized as Duke Energy Carolinas, LLC, Duke Energy Progress, LLC, and Virginia Electric and Power Company (Dominion Energy North Carolina) as well as in several water and sewer general rate cases. I have also filed testimony or affidavits in other proceedings, including applications for certificates of public convenience and necessity for the construction of generating

facilities, applications for approval of self-generation deferral rates, applications for approval of cost and incentive recovery mechanisms for electric utility demand-side management and energy efficiency (DSM/EE) efforts, and applications for approval of cost and incentive recovery pursuant to those mechanisms.

I have also been involved in several other matters that have come before this Commission, including the investigation undertaken by the Public Staff into the operations of the Brunswick Nuclear Plant as part of the 1993 Carolina Power & Light Company fuel rate case (Docket No. E-2, Sub 644), the Public Staff's investigation of Duke Power's relationship with its affiliates (Docket No. E-7, Sub 557), and several applications for business combinations involving electric utilities regulated by this Commission. Additionally, I was responsible for performing an examination of Carolina Power & Light Company's accounting for the cost of Harris Unit 1 in conjunction with the prudence audit performed by the Public Staff and its consultants in 1986 and 1987.

I have had supervisory or management responsibility over the Electric Section of the Accounting Division since 1986, and also was assigned management duties over the Water Section of the Accounting Division during the 2009-2012 time frame. I was promoted to Director of the Accounting Division in late December 2016.

1 BY MS. CULPEPPER:

2 Q Does the panel have a summary of the testimony?

3 A (Ms. Jayasheela) Yes.

4 Q Would you please read it?

5 A Sure.

6 COMMISSIONER GRAY: Please pull that up.

7 (WHEREUPON, the summary of

8 Poornima Jayasheela, Zarka H.

9 Naba, and Michael C. Maness is

10 copied into the record.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

**PUBLIC STAFF – NORTH CAROLINA UTILITIES COMMISSION
SUMMARY OF TESTIMONY OF POORNIMA JAYASHEELA,
ZARKA H. NABA, AND MICHAEL C. MANESS
BEFORE THE NORTH CAROLINA UTILITIES COMMISSION
DOCKET NO. G-9, SUB 727**

October 2, 2018

The purpose of our testimony is to (1) present the results of our review of the gas cost information filed by Piedmont Natural Gas Company, Inc. (Piedmont or Company), in accordance with N.C. Gen. Stat. § 62-133.4(c) and Commission Rule R1-17 (k)(6), (2) to evaluate the prudence of the natural gas purchases made by Piedmont, (3) to provide our conclusions regarding whether the gas costs incurred by Piedmont during the 12-month review period ended May 31, 2018, were properly accounted for, and (4) to discuss the prudence of Piedmont's hedging decisions.

Based on our investigation and review of the data in this docket, we believe that Piedmont's gas costs were properly accounted for and prudently incurred. Furthermore, based on what was reasonably known or should have been known at the time the Company made its hedging decisions affecting the review period, our conclusion is that those decisions were prudent.

We recommend that Piedmont monitor the balances in both the All Customers' and Sales Customers' Only Deferred Accounts and, if needed, file an application for authority to implement new temporary increments or decrements through the Purchased Gas Adjustment mechanism in order to keep the deferred account balances at reasonable levels. We further recommend that Piedmont remove the existing temporary decrement and increments approved in Piedmont's prior annual review of gas costs proceeding (Docket No. G-9, Sub 710) and implement the temporaries in the ^{correct} ~~instant~~ docket.

KM

1 MS. CULPEPPER: The witnesses are available
2 for cross examination.

3 MR. PAGE: No questions.

4 MR. JEFFRIES: No questions from Piedmont,
5 Madam Chairman.

6 COMMISSIONER BROWN-BLAND: Are there
7 questions from the Commission? Commissioner Mitchell.

8 COMMISSIONER MITCHELL: Good morning. I
9 have two questions and I will just direct them to the
10 panel and you all answer them as appropriate.

11 EXAMINATION BY COMMISSIONER MITCHELL:

12 Q I have a question about the reserve margins.

13 We've heard testimony today about that 5 percent
14 reserve margin --

15 A (Ms. Naba) Sure.

16 Q -- which has been in place for a number of years
17 now as I understand it.

18 A Sure.

19 Q And at the time that Piedmont first proposed
20 using the reserve margin, the Public Staff did
21 not oppose it, didn't question -- let me put that
22 a different way -- didn't question the
23 reasonableness of Piedmont's use of the reserve
24 margin because Piedmont's criterion for the

1 design-day temperature was warmer than other
2 utilities were using at that time.

3 A Sure.

4 Q And so -- but my understanding also is the Public
5 Staff indicated that it would continue to review
6 Piedmont's use of the reserve margin and evaluate
7 it on a case-by-case basis or
8 proceeding-by-proceeding basis going forward.

9 A Sure.

10 Q So we now know that Piedmont uses a considerably
11 lower temperature, design-day temperature, than
12 it did in the past. And so my question for you
13 is whether the Public Staff has an opinion on the
14 reasonableness of that reserve margin now given
15 the change in that design-day criterion?

16 A Sure. The Public Staff has --

17 COMMISSIONER BROWN-BLAND: I'm sorry,
18 Ms. Naba, yeah, pull that --

19 A Sorry.

20 COMMISSIONER GRAY: Thank you.

21 A (Ms. Naba) So the Public Staff has reviewed
22 Piedmont's use of the 5 percent reserve margin.
23 Historically, Public Staff has seen a growth in
24 firm customer demand and so we believe that

1 Piedmont has a legal obligation to provide
2 natural gas to its firm customers on the coldest
3 day of the year. And in order to do that they
4 have to plan for their customer demand under the
5 design-day conditions; as well as they should
6 have a capacity load under -- to provide against
7 the possibility if there is any variation that
8 can occur such as demand arising from unexpected
9 customer usage; as well as impacts from weather
10 conditions such as wind speed, cloud cover, or
11 humidity, and other outside temperatures,
12 conditions.

13 Also, if any of the upstream asset
14 fails to deliver on a design day or a peak day,
15 this 5 percent reserve margin that Piedmont has,
16 it helps to act as a buffer to the firm customers
17 that it has.

18 BY COMMISSIONER MITCHELL:

19 Q So I think I understand your testimony to be that
20 the Public Staff continues to believe that the
21 margin is reasonable given the factors that go
22 into Piedmont's planning for its --

23 A (Ms. Naba) Sure, I would say that.

24 Q -- for meeting its customer demand.

1 A Sure, I would say that it's reasonable.

2 Q And I guess another question would be, would the
3 Public Staff support a more rigorous design-day
4 forecast without a reserve margin?

5 A We've always used, well, the Public Staff has
6 always used a 56.4 heating degree day on a base
7 of 65. We haven't really thought about that but
8 we can look into that.

9 Q Okay.

10 A Sure.

11 Q My next question deals with the Margin Decoupling
12 Tracking Mechanism. We've heard some testimony
13 this morning about that. And we -- the
14 Commission notes that Piedmont has reported just
15 over \$2,000 in pretax interest income in its
16 Margin Decoupling Tracker deferred account over
17 this review period, and that was done in Docket
18 Number G-9, Sub 631B.

19 If the Margin Decoupling Tracker
20 has increased cost to ratepayers by imposing an
21 interest expense, but hasn't reduced the level of
22 design-day demand or otherwise hasn't offset
23 growth that Piedmont has experienced, does the
24 Public Staff have an opinion on whether the

1 mechanism, the tracker should be discontinued at
2 this time?

3 A (Ms. Jayasheela) It is not part of the deferred
4 accounts.

5 A (Ms. Naba) Do you want to speak to that?

6 A (Ms. Jayasheela) The Margin Decoupling Tracker
7 is not part of the deferred accounts. So in
8 accounting, from the accounting side, we do not
9 look at that data in the annual review.

10 Q Okay. One last question and, Mr. Maness, I think
11 this is for you. Can you tell me, I know that
12 you reviewed the Company's hedging activities
13 over the review period, can you tell me the time
14 horizon that the Company uses in its hedging
15 activities? And, if there are multiple time
16 horizons, I'm interested in the longest time
17 horizon.

18 A (Mr. Maness) I believe it's generally one year.

19 COMMISSIONER MITCHELL: Okay. Nothing
20 further.

21 COMMISSIONER BROWN-BLAND: Are there
22 questions on Commission's questions?

23 MR. JEFFRIES: I may have one question for
24 Mr. Maness.

1 EXAMINATION BY MR. JEFFRIES:

2 Q Mr. Maness, is it your understanding that the
3 interest calculation under the Margin Decoupling
4 Tracker Mechanism is bidirectional? Does it work
5 in both directions?

6 A (Mr. Maness) Yes.

7 Q Okay. Thank you.

8 MS. CULPEPPER: I had a question.

9 EXAMINATION BY MS. CULPEPPER:

10 Q Would the Public Staff be evaluating the MDT in
11 the next Piedmont rate case?

12 A (Ms. Naba) Yes. I'm sorry. Yes.

13 MS. CULPEPPER: That's all I have.

14 COMMISSIONER BROWN-BLAND: Is there anything
15 further?

16 (No response)

17 Then these witnesses -- then these witnesses
18 are excused.

19 (The witnesses are excused)

20 COMMISSIONER BROWN-BLAND: And I believe
21 we've received the testimony already.

22 Is there anything else from counsel that
23 needs to come to the Commission's attention in this
24 docket? Anything else?

1 MS. CULPEPPER: Not that I'm aware of.

2 MR. JEFFRIES: Not that I'm aware of Madam
3 Chairman.

4 COMMISSIONER BROWN-BLAND: Generally, we
5 require the proposed orders within 30 days after the
6 transcript is available. Is that still acceptable to
7 both? Do you need any additional time?

8 MR. JEFFRIES: That's acceptable to
9 Piedmont.

10 MS. CULPEPPER: (Nods head affirmatively)

11 COMMISSIONER BROWN-BLAND: Then so ordered.
12 The proposed orders shall be due 30 days from the
13 availability of the transcript.

14 And, with that, we thank you. I excused the
15 witnesses. So we stand adjourned.

16 (WHEREUPON, the proceedings were adjourned.)

17

18

19

20

21

22


23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings in the above-captioned matter were
taken before me, that I did report in stenographic
shorthand the Proceedings set forth herein, and the
foregoing pages are a true and correct transcription
to the best of my ability.



Kim T. Mitchell
Court Reporter II

FILED

OCT 29 2018

**Clerk's Office
N.C. Utilities Commission**