

PLACE: Via Videoconference  
DATE: Wednesday, October 6, 2021  
TIME: 9:00 a.m. - 12:05 p.m.  
DOCKET NO.: E-100, Sub 165  
BEFORE: Commissioner Daniel G. Clodfelter, Presiding  
Chair Charlotte A. Mitchell  
Commissioner ToNola D. Brown-Bland  
Commissioner Lyons Gray  
Commissioner Kimberly W. Duffley  
Commissioner Jeffrey A. Hughes  
Commissioner Floyd B. McKissick, Jr.

IN THE MATTER OF:

Technical Conference

2020 Biennial Integrated Resource Plan Reports  
and Related 2020 REPS Compliance Plans by Duke Energy  
Carolinas and Duke Energy Progress

VOLUME: 4

1 A P P E A R A N C E S:  
2 FOR DUKE ENERGY PROGRESS, LLC AND

3 DUKE ENERGY CAROLINAS, LLC:  
4 Jack Jirak, Esq.

5 Deputy General Counsel  
6 Duke Energy Corporation  
7 410 South Wilmington Street  
8 Raleigh, North Carolina 27601

9  
10 Brett Breitschwerdt, Esq.  
11 McGuireWoods LLP  
12 501 Fayetteville Street, Suite 500  
13 Raleigh, North Carolina 27601

14  
15 FOR VIRGINIA ELECTRIC AND POWER COMPANY d/b/a  
16 DOMINION ENERGY NORTH CAROLINA:  
17 Andrea Kells, Esq.  
18 McGuireWoods LLP  
19 501 Fayetteville Street  
20 Raleigh, North Carolina 27601

21  
22  
23  
24

OFFICIAL COPY

OCT 13 2022

1 A P P E A R A N C E S (Cont'd.):

2 FOR CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY

3 RATES II:

4 Christina Cress, Esq.

5 Bailey & Dixon, LLP

6 434 Fayetteville Street, Suite 2500

7 Raleigh, North Carolina 27601

8

9 FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:

10 Benjamin Smith, Esq.

11 Regulatory Counsel

12 4800 Six Forks Road, Suite 300

13 Raleigh, North Carolina 27609

14

15 FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY, THE SIERRA

16 CLUB, AND NATURAL RESOURCES DEFENSE COUNCIL:

17 Gudrun Thompson, Esq.

18 Senior Attorney

19 Nicholas Jimenez, Esq.

20 Staff Attorney

21 Southern Environmental Law Center

22 601 West Rosemary Street, Suite 220

23 Chapel Hill, North Carolina 27516

24

1 A P P E A R A N C E S (Cont'd.):  
2 FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION AND  
3 TECH CUSTOMERS:

4 Craig D. Schauer, Esq.  
5 Marcus Trathen, Esq.  
6 Brooks Pierce  
7 150 Fayetteville Street, Suite 1700  
8 Raleigh, North Carolina 27601

9  
10 FOR CAROLINAS CLEAN ENERGY BUSINESS ASSOCIATION:

11 John D. Burns, Esq.  
12 General Counsel  
13 811 Ninth Street, Suite 120-158  
14 Durham, North Carolina 27705

15  
16 FOR NC WARN AND THE CENTER FOR BIOLOGICAL DIVERSITY:

17 Matthew D. Quinn, Esq.  
18 Lewis & Roberts, PLLC  
19 3700 Glenwood Avenue, Suite 410  
20 Raleigh, North Carolina 27612

21  
22  
23  
24

OFFICIAL COPY

OCT 13 2021

1 A P P E A R A N C E S (Cont'd.):  
 2 FOR THE USING AND CONSUMING PUBLIC AND THE STATE OF  
 3 NORTH CAROLINA AND ITS CITIZENS:

4 Margaret A. Force, Esq.  
 5 Special Deputy Attorney General  
 6 Teresa L. Townsend, Esq.  
 7 Special Deputy Attorney General  
 8 North Carolina Department of Justice  
 9 Post Office Box 629  
 10 Raleigh, North Carolina 27602

11  
 12 FOR THE USING AND CONSUMING PUBLIC:  
 13 Lucy E. Edmondson, Esq.  
 14 Layla Cummings, Esq.  
 15 Robert B. Josey, Esq.  
 16 Public Staff - North Carolina Utilities Commission  
 17 4326 Mail Service Center  
 18 Raleigh, North Carolina 27699-4300

19  
 20  
 21  
 22  
 23  
 24

OFFICIAL COPY

OCT 13 2021

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R E S E N T E R S :

Duke:

Coal Retirements Panel:

|              |                |
|--------------|----------------|
| Glen Snider  | Michael Quinto |
| Dan Donochod | Robert McMurry |

All-Source Procurement Panel:

|              |                 |
|--------------|-----------------|
| Glen Snider  | George Brown    |
| Jim Northrup | Bill Quaintance |

Grid/Transmission Panel:

|               |                   |
|---------------|-------------------|
| Glen Snider   | Bill Quaintance   |
| Sammy Roberts | Nick Wintermantel |
| Mark Byrd     |                   |

Southern Alliance for Clean Energy, Natural Resources  
Defense Council, the Sierra Club, Carolinas Clean  
Energy Business Association, and the North Carolina  
Sustainable Energy Association:

|               |                |
|---------------|----------------|
| Rachel Wilson | Jeremy Fisher  |
| John Wilson   | Steven Levitas |
| Jay Caspary   |                |

Attorney General's Office:

|                |                |
|----------------|----------------|
| Edward Burgess | Maria Roumpani |
|----------------|----------------|

OFFICIAL COPY

Oct 13 2021

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R E S E N T E R S (Cont'd.):

Public Staff:

Dustin Metz

Jeff Thomas

Bob Hinton

OFFICIAL COPY

Oct 13 2022

1 P R O C E E D I N G S

2 COMMISSIONER CLODFELTER: Good morning,  
3 everyone, and welcome back to our recessed session  
4 here. We're gonna try to close it out this morning  
5 with the presentations of the participants on  
6 transmission issues. Let me say, by way of a  
7 couple of preliminaries, we have until noon today.  
8 We don't have a lot of leeway beyond that, so we  
9 will just need to deal with that as we have to.

10 We're -- this is not a general  
11 open-ended forum on transmission issues. We're  
12 really wanting to focus this morning on the grid  
13 impacts of the different resource portfolios that  
14 are set forth in the 2020 IRPs of Duke Energy  
15 Progress and Duke Energy Carolinas. So if we can  
16 try to keep our focus and our conversation on that,  
17 that would probably help us with the time issue.

18 Having said that, if I recall correctly,  
19 Mr. Breitschwerdt, you have the baton on this  
20 issue; am I correct?

21 MR. JIRAK: Commissioner Clodfelter,  
22 that's correct, and if I may just lay the  
23 foundation a bit for the transmission presentation,  
24 then I'm gonna hand the reins off to Brett, if



1 that's all right with you.

2 CHAIR MITCHELL: You may do so.

3 MR. JIRAK: So just to kick things off,  
4 Commissioner Clodfelter, we wanted to just  
5 acknowledge the fact of the energy legislation  
6 that's obviously been announced, and recognize  
7 that, sort of, unique nature of that, in terms of  
8 the fact that the administration and Senate/House  
9 leadership having reached agreement on a  
10 comprehensive energy framework going forward, and  
11 we know the Commission is closely reviewing that,  
12 as we are as well. And if it's ultimately enacted,  
13 we certainly recognize that this will impact the  
14 short- and long-term planning processes under the  
15 IRP. And we, obviously, just want to be clear that  
16 we are very encouraged by the development. It's a  
17 very important development in the state, in terms  
18 of energy policy, and we fully support the goals  
19 and framework set forth in that legislation.

20 And I think our presentation today  
21 dovetails nicely with that, because the energy  
22 legislation obviously contemplates a kind of  
23 all-of-the-above approach to achieving carbon  
24 reduction consistent with least-cost planning

1 principles and ensuring continued reliability. So  
2 we think talking about grid is very timely, because  
3 that's going to be part of the puzzle, we believe,  
4 and we think some -- even this morning you will  
5 hear some of those themes around how transmission  
6 and grid reliability issues would be critical to  
7 achieving those legislative objectives, again, if  
8 they are enacted.

9 So we just wanted to acknowledge that,  
10 and hopefully our presentation will touch on some  
11 of these really critical issues. So with that  
12 being said, I want to turn the reins over to Brett  
13 who will lead us into the panel.

14 COMMISSIONER CLODFELTER: Very good.  
15 Thank you.

16 MR. BREITSCHWERDT: Good morning,  
17 Commissioner Clodfelter, Commissioners. Again,  
18 Brett Breitschwerdt on behalf of Duke Energy. The  
19 panel this morning, the grid panel, will be led by  
20 Mr. Sammy Roberts, and with Mr. Roberts will be  
21 Mr. Mark Byrd who is pinch-hitting for  
22 Bill Quaintance, who is out of the office this week  
23 and not available to participate;  
24 Mr. Nick Wintermantel with Astrape Consulting, who

1 was responsible for the resource adequacy study  
2 that the Companies filed, the 2020 IRPs; as well as  
3 Mr. Snider, who just can't seem to get enough of  
4 presenting to you-all on IRP issues. He's not  
5 going to be presenting slides, but definitely had a  
6 key role in helping to utilize the information that  
7 the transmission experts for the Companies  
8 developed in shaping the 2020 IRP.

9 So, with that, I'm gonna share the  
10 presentation, and we'll turn it over to  
11 Mr. Roberts.

12 COMMISSIONER CLODFELTER: All right.  
13 Thank you all.

14 MR. ROBERTS: All right. Thank you,  
15 Brett. You can go to the next slide. Good  
16 morning, Commissioners and Chair Mitchell. I'm  
17 Sammy Roberts with Duke Energy, and today in the  
18 grid impact's presentation we will discuss how we  
19 addressed incorporating grid impacts into the 2020  
20 IRPs. We will also discuss evaluating the way in  
21 which resource planning and transmission planning  
22 intersect for addressing resource adequacy, coal  
23 retirements, and the integration of incremental  
24 resources. Today we will be presenting on three

1 topics.

2 First, Nick Wintermantel with Astrape  
3 Consulting will present our resource adequacy,  
4 reserve margin, and the risk of relying on  
5 significant incremental import capability for  
6 future resource planning. Second, I will present  
7 on the role of transmission planning to  
8 facilitating carbon reduction targets and to  
9 support future resource planning, in addition to  
10 describing the growing complexity of transmission  
11 planning. Third, Mark Byrd, manager II in  
12 engineering with Duke Energy, will discuss the  
13 North Carolina Transmission Planning Collaborative  
14 studies and how they could inform development of  
15 IRPs. Lastly, I will wrap up the presentation with  
16 key takeaways for informing the 2022 IRPs.

17 So now I will turn the presentation over  
18 to Nick Wintermantel.

19 MR. WINTERMANTEL: Thanks, Mr. Roberts.  
20 Good morning, Chair Mitchell. Good morning,  
21 Commissioners. I appreciate the opportunity to be  
22 here. We could go to the next slide, Brett, if  
23 that's okay.

24 As Mr. Roberts said, I'm

1 Nick Wintermantel, a principal at Astrape  
2 Consulting. I've been doing resource -- adequacy  
3 resource planning work for the last 20 years. We  
4 do lots of resource adequacy studies around the  
5 country and even some internationally using our  
6 industry-accepted server model. So we have done  
7 work from California to Canada to Texas to SPP to a  
8 lot of the utilities in the Southeast, and today I  
9 really just want to talk about how the transmission  
10 assumptions and -- were included in the study and  
11 how they impacted the results. Next slide.

12 Just briefly -- and overall, my remarks  
13 are fairly short. I have a pretty short deck, but  
14 just kind of level-setting what is resource  
15 adequacy, what is a resource adequacy study. I  
16 want to spend just one or two minutes talking  
17 through that.

18 So what is resource adequacy? It's the  
19 ability of supply-side and demand-side resources to  
20 meet the aggregate electrical demand. When we talk  
21 about resource adequacy, though, we're really  
22 focused on peak periods, extreme-weather periods.  
23 Do we have enough capacity on the ground to meet  
24 that peak load? We are not talking about

1 distribution customers' outages or outages caused  
2 by storms that are much more frequent. When we  
3 talk about resource adequacy, you guys have  
4 probably heard, are familiar with LOLE, loss of  
5 load expectation. The industry standard is 1 day  
6 in 10 years. So, essentially, what we're trying to  
7 do in resource adequacy is make sure we have a  
8 high-enough reserve margin so that our system -- so  
9 that Duke's system would only shed load 1 day in 10  
10 years. When we define reserve margin, that's just  
11 our install capacity, minus our peak 50/50  
12 projected load, divided by peak load.

13 Ultimately, in resource adequacy,  
14 customers, they are going to expect the lights to  
15 be on all hours of the year, and it's even more  
16 critical during those extreme weather periods. For  
17 the companies, that really has shifted to being  
18 that extreme cold winter morning. That's where the  
19 resource adequacy risk lies for the companies.

20 So why do we need a reserve margin?  
21 Again, I've hit on a couple of times, extreme  
22 weather conditions. Load can be much higher than  
23 forecasted during these extreme weather conditions.  
24 We could have poor unit performance. So whether

1       it's a dispatchable generation or intermittent  
2       resource, we could potentially have poor  
3       performance that day, and then we could also miss  
4       our load forecast. Load may grow faster than we  
5       expect. So combinations of these things are what  
6       occur when we have these unreliability events.

7       Next slide.

8                       Now, just jumping right into the  
9       transmission assumptions that are in the study.  
10      The model -- it's a pipe-and-bubble representation.  
11      So here on the right you can see the transmission  
12      network that was modeled. We have the Companies,  
13      DEC and DEP, in blue, and then we model one tie  
14      away. And the objective is to try to capture what  
15      is the weather diversity and generator-outage  
16      diversity among these regions.

17                      Essentially, what we're talking about,  
18      though, is non-firm imports and capabilities. So  
19      what can we expect on that cold winter day? We do  
20      extensive modeling, so there is roughly  
21      200,000 megawatts of generation modeled in the  
22      network for these one tie away. So you can see we  
23      model all the way up to PJM, and then it into the  
24      Southeast.

1                   One thing that we do see in all our  
2 modeling -- we have been doing, I guess, the  
3 studies for two -- we've had two or three  
4 iterations of this resource adequacy study for the  
5 Companies, but what we see is in the Southeast it's  
6 typically capacity-constrained, not  
7 transmission-constrained. Meaning, if we increase  
8 transmission, we are likely still not going to be  
9 able to get more non-firm imports, because,  
10 essentially, when it's cold in Duke, it's also cold  
11 in TVA, Southern, and the Carolinas. And so it's  
12 typically more capacity constrained. In PJM, there  
13 is a little bit more weather diversity, and so,  
14 more often, you can have some transmission  
15 constraints up there.

16                   When we think about non-firm imports,  
17 though, they are certainly more certain than firm  
18 contracts, right? And the companies have no  
19 control what TVA and PJM do in their planning  
20 processes. So it is highly uncertain what will be  
21 there on that cold morning. We have historical  
22 data that we can look at, we can talk to operators  
23 to get their comfort level, but it is an unknown.  
24 And, kind of, really even further making that



1       uncertain is this transition that not only the  
2       Companies are going through -- it's transition from  
3       retiring base-load fossil fuels, adding  
4       intermittent and energy-limited resources such as  
5       solar, wind, and storage -- but that's occurring  
6       everywhere.

7               And, you know, one thing that we note in  
8       Dominion -- Dominion Energy Virginia, which would  
9       be located PJM south in our topology here, is, just  
10       recently, to meet their Virginia Clean Economy Act,  
11       they're showing substantial additions of solar,  
12       wind, and battery storage. With these additions,  
13       they are projecting that they are actually  
14       winter-peaking now, that they are expecting to rely  
15       more on imports during the winter.

16               So it's this game of -- as I think was  
17       Mr. Snider had said, it's a game of musical chairs,  
18       right? You are all maybe hoping that there is  
19       gonna be this capacity there, but maybe somebody  
20       else needs it. So it's very uncertain, so we want  
21       to be careful how we model these things. Next  
22       slide.

23               So the previous slide was, kind of, the  
24       assumptions that go into the model, and then

1 here's, kind of, the results of what that looks  
2 like. So if I focus on the table here on the left,  
3 this is winter reserve margin to meet this  
4 1-day-in-10-year standard. If we assume that DEC  
5 and DEP are islands -- so they have no  
6 interconnections, you get none of this weather  
7 diversity benefit with your neighbors --  
8 essentially DEC would need to carry a 22-and-a-half  
9 percent reserve margin in the winter, and DEP would  
10 need 25-and-a-half percent.

11 And when we do incorporate the neighbor  
12 assistance and we allow for sharing, subject to  
13 those transmission constraints, the recommended  
14 winter reserve margin is reduced to 17 percent,  
15 which is the Company's recommendation.

16 So, essentially, the study is already  
17 taking into account a 5 to 8 percent reduction in  
18 reserve margin due to this reliance on non-firm  
19 imports, this weather diversity we have with your  
20 neighbors. We recognize the interconnection  
21 benefits there, and we are getting that reduction  
22 in our reserve margin. Ultimately, on that cold  
23 winter morning, that represents approximately  
24 2,000 megawatts that we expect to be able to go get

1 a day ahead or during real time. And, Commission,  
2 that's a substantial amount of capacity that we're  
3 already relying on.

4 From Astrape's perspective, even if the  
5 import capability was increased, we would expect  
6 that any opportunities on the other side of that  
7 transmission line would need to be firm contracts.  
8 We wouldn't want to say that we can reduce our  
9 17 percent firm number -- firm reserve margin in  
10 order to rely more on non-firm imports.

11 We can kind of see in the chart on the  
12 right, we've got the island levels, the 25 and  
13 22 percent, but we would want to always hold that  
14 17 percent in some type of firm contract, whether  
15 that's utility-owned or through PPAs or even  
16 purchased from external, but we would want that  
17 firmed up.

18 Just in our studies across the industry,  
19 it is certainly not uncommon for there to be some  
20 type of limit put on our reliance on non-firm  
21 imports. A lot of utilities, though, these studies  
22 are confidential, so it's difficult to see that  
23 information, but RTO studies are very available,  
24 and if you go look around and look at what MISO or

1 PJM are doing, you know, they are more in the  
2 2-to-3 percent on what they are relying on non-firm  
3 imports, and SPP actually relies on zero. So we  
4 are already being very aggressive in the study when  
5 it comes to non-firm imports. Next slide.

6 So this is my last slide. Just the  
7 takeaways. Again, based on the study, we recommend  
8 this 17 percent winter reserve margin, and already  
9 assumes a large amount of non-import capability.  
10 We think there is substantial risk in increasing  
11 our reliance on non-firm imports. Again, we have  
12 no control of what surrounding neighbors are doing  
13 in their plans, and they are certainly not planning  
14 for Duke's load when they are doing their resource  
15 planning.

16 Another point I would make is the  
17 17 percent reserve margin being held by Duke, it is  
18 lower than many of the utilities in the Southeast.  
19 I think it is largely driven by the  
20 interconnections that we're already taking  
21 advantage of. Duke also had relatively good  
22 generator performance as well, so I think that's a  
23 couple of reasons. I mean, if you look around at  
24 Southern and TVA, their recommended reserve margins

1 are in the 25 percent range.

2 And then just lastly, I would say,  
3 during this transition, it's an exciting time for  
4 the industry, right? We are retiring a significant  
5 amount of fossil fuel generation, adding lots of  
6 cleaner renewable intermittent energy. It just is  
7 not the time to take this additional risk and say,  
8 look, let's build transmission and go rely on  
9 non-firm imports and let our neighbors take care of  
10 us. We don't think it's the time to be doing that.  
11 And even with the 17 percent reserve margin, going  
12 into the winter, it's certainly not a guarantee  
13 that we won't have an event. I mean, we're  
14 planning to 1 day in 10 years. In that extreme  
15 cold day where maybe market imports are not there,  
16 that would be the type of day where we will have an  
17 event. So I can't guarantee that, just because we  
18 carry the 17 percent, we won't ever have an event.

19 And with that, that is the end of my  
20 slides. I'll turn it back over to Mr. Roberts, who  
21 is gonna talk -- go more into the transmission  
22 planning side of things. Thank you.

23 MR. ROBERTS: All right. Thank you,  
24 Nick. And good morning, again, Commissioners and

1 Chair Mitchell. I'm Sammy Roberts, general manager  
2 for transmission planning and operations strategy.  
3 A little bit about my background. I have over  
4 31 years experience working for Duke Energy and its  
5 predecessor companies, and the majority of my  
6 career has been in the system planning and  
7 operations area. And so I'm gonna present on the  
8 intersection of resource planning and transmission  
9 planning in relation to IRP considerations. Next  
10 slide.

11 So transmission planning functions,  
12 whether it's analyzing NERC transmission planning  
13 standard compliances with TPL-001, studying  
14 generator interconnection requests, studying new  
15 delivery-point loads or transmission service  
16 requests, it's obvious they've increased in volume  
17 and complexity over the last decade. And this  
18 complexity, in my view, will only increase with  
19 more incremental resources requesting  
20 interconnection to the Duke grid. It's already  
21 seen a lot of its capability utilized by currently  
22 interconnected resources.

23 A new part of this complexity is that  
24 storage would need to be studied, both discharging

1 energy into the system and absorbing energy from  
2 the system.

3 Modeling will increase in complexity as  
4 we transition our analytical approach in ISOP to a  
5 more granular approach to try to further optimize  
6 the integrated resource and grid system, our future  
7 IRPs will most likely need to continue to look at  
8 alternate pathways of resources for achieving clean  
9 energy targets, and that will just add to the  
10 modeling complexity with grid resource interaction.

11 Lastly, as neighboring systems such as  
12 PJM South transform their resource mix, as Nick  
13 mentioned, power flows will change; and thus,  
14 transmission studies will need to ensure they  
15 encompass those realities to preserve power system  
16 reliability. Next slide.

17 On this slide, I would like to discuss  
18 how we estimated transmission network upgrade costs  
19 for the 2020 IRPs and associated incremental  
20 resources and replacement resources. First,  
21 generation replacing retired coal. If we locate  
22 that replacement generation at the Brownfield site,  
23 we can significantly reduce the transmission  
24 network upgrade cost; and thus, in the 2020 IRPs,

1 it was considered to be insignificant. We also  
2 provided cost for network upgrades, such as static  
3 VAR compensators for voltage support, if the  
4 replacement resources were not located at the  
5 retired coal sites.

6 Second, for incremental resources  
7 interconnecting at other locations on the grid, we  
8 used system impact study results to determine a  
9 dollar-per-megawatt cost proxy for estimating  
10 upgrades for incremental IRP resources. I have an  
11 example of that on a future slide.

12 Third, for Oklahoma wind import,  
13 estimates were reflective of only Duke Energy  
14 Carolina's network upgrades for increasing the  
15 Southern Company to DEC interface capability needed  
16 to facilitate such import.

17 Fourth, for assessing the transmission  
18 infrastructure needs for offshore wind, we did  
19 utilize the 2012 North Carolina Transmission  
20 Planning Collaborative wind study, but we applied  
21 updated cost assumptions for the transmission  
22 upgrades identified in the study.

23 Lastly, looking at substantial increases  
24 in import capability, that required significant new



1 transmission infrastructure, both with transmission  
2 lines, transmission substations, and static VAR  
3 compensators, and the estimated cost of that  
4 infrastructure was between 8- and \$10 billion for  
5 increasing import capability by 10 gigawatts. Next  
6 slide.

7 So, in this slide, the table shows the  
8 DEC/DEP portfolio table from the 2020 IRPs. In  
9 looking at this slide, I want to highlight the vast  
10 amount of incremental resources represented in  
11 these portfolios. These portfolios represent up to  
12 4 and a half to 12 gigawatts of additional solar,  
13 up to 3 gigawatts of onshore wind, up to 2.6  
14 gigawatts of offshore wind, up to 1.3 gigawatts of  
15 small modular reactor, 1 to 7.4 gigawatts of  
16 storage, and 0 to 9.6 gigawatts of gas generation,  
17 all while retiring and replacing potentially over 9  
18 gigawatts of coal plants.

19 Most of these incremental resources, if  
20 not connected to the same point of interconnection  
21 as retirement generation, could require significant  
22 transmission network upgrades, since we're running  
23 out of transmission capability for interconnecting  
24 additional resources. Next slide.

1           So, in this map, this is the EIA map of  
2           the North Carolina grid and the interconnected  
3           utility scale generators. The yellow circles are  
4           solar, the blue is natural gas, dark blue is hydro,  
5           purple is nuclear, and black with the white  
6           triangle is coal.

7           So what does the grid do associated with  
8           all these resources? The grid reliably moves  
9           generated megawatts to our load centers. As we  
10          have integrated a significant amount of distributed  
11          energy resources over the last decade, you can see  
12          we now have multiple generators injecting at  
13          multiple points on the grid.

14          One thing I would like to point out is  
15          that, even though the solar looks evenly disbursed  
16          on this map, especially in Eastern North Carolina,  
17          most of the larger transmission solar-connected  
18          facilities are located in Southeastern  
19          North Carolina, and that plays into the evolution  
20          of more transmission constraints that we're seeing  
21          on the grid.

22          So transmission planning, when they  
23          study these interconnections, they have to make  
24          sure that each resource can deliver its full output

1 reliably to the grid conforming to their  
2 capabilities.

3           Next, I would like to point out the  
4 locations of our coal plants that are highlighted  
5 with red boxes. So first we have Roxboro and Mayo,  
6 a little over 31 megawatts, located north of  
7 Raleigh; then we have Belews Creek 1 and 2, about  
8 2,200 megawatts, located just north of the Triad  
9 area: Greensboro, High Point, Winston-Salem; then  
10 we have Marshall plant, a little over 2,000  
11 megawatts, north of Charlotte; Allen plant, 1,100  
12 megawatts, south of Charlotte; and then in our  
13 Cliffside plant, 1,400 megawatts, near Gastonia,  
14 west of Charlotte. So these plants represent  
15 almost 10 gigawatts of capacity on the DEC and DEP  
16 systems and are located in our largest load  
17 centers, as mentioned.

18           Once again, if we don't replace the  
19 retired generation on site, and those replacement  
20 megawatts have to flow across the grid from the  
21 remote replacement resources to the load centers, a  
22 lot of transmission network upgrades will be needed  
23 to reliably change -- support the change in power  
24 plays. Next slide.

1                   So, in this slide, I will further  
2 describe the -- how we came up with the  
3 dollar-per-megawatt proxy that we use for  
4 estimating incremental resource network upgrades.

5                   On this slide, figure 1 shows an example  
6 of the resulting network upgrades determined to be  
7 needed to interconnect a 75-megawatt solar facility  
8 with our transmission system. So if we look at  
9 this diagram, you can see, in the blue clouds, we  
10 need a conductor upgrade of the 6.9-mile conductor,  
11 and we need two new line switches as network  
12 upgrades. And you can see, these facilities --  
13 these -- this infrastructure is networked between  
14 substation A and substation B, which is further  
15 networked into the grid, thus the reason they are  
16 network upgrades.

17                   By contrast, the interconnection  
18 facilities are located between the point of  
19 interconnection in a red box and the point of  
20 change in ownership in a red box. So those  
21 interconnection facilities are the ones that the  
22 solar facility must have in order to interconnect  
23 with our transmission system.

24                   So how did we arrive at the

1 dollar-per-megawatts cost proxy for network  
2 upgrades? Once again, only what's in the blue  
3 cloud was estimated, because that's what the --  
4 what goes into our revenue requirement, is the  
5 revenue upgrade. So how was the  
6 dollar-per-megawatt cost proxy for the network  
7 upgrades for incremental resources estimated? The  
8 table to the right shows over 30 queued generator  
9 interconnection requests that were studied for  
10 interconnecting with the DEC system. Some of the  
11 later queued requests had dependencies on prior  
12 requests, i.e., the same upgrades, so we did not  
13 double-count those in the dollar-per-megawatt cost  
14 proxy. In this example, the proxy cost used in the  
15 IRP for estimating network upgrades would be the  
16 \$267 million network upgrade cost divided by  
17 1,614 megawatts, or 16 and a half cents per watt.  
18 Next slide.

19 This red zone transmission constrained  
20 area map is located on our Oasis site, and these  
21 red zones have been used in the CPRE procurement  
22 program to identify areas where solar generators  
23 are not likely to be competitive. Locating any  
24 incremental resource in the red zone transmission

1 constrained areas will likely incur expensive  
2 network upgrades for interconnection. Once again,  
3 we're essentially running out of places where grid  
4 capability is available that lends itself favorably  
5 to locating incremental resources such as solar and  
6 solar plus storage. Next slide.

7 So, in this slide, the highlighted areas  
8 on the background map reflect upgrades indicated by  
9 multiple generator interconnection request studies  
10 that we must resolve if we wish to connect 4 to 5  
11 gigawatts or more of solar facilities. With  
12 respect to our transmission -- or transition,  
13 excuse me, to key reform and cluster studies, we  
14 believe the likelihood of funding such large  
15 network upgrades has been vastly improved by  
16 implementing cost sharing. However, while  
17 feasible, the current level of certainty, the queue  
18 reform will fund the largest upgrades, such as  
19 those reflected by the red, blue, and green  
20 highlighted constraints on the map is load.

21 Upgrades to enable future renewable  
22 interconnections may require new regulatory  
23 structures, as opposed to the current approach of  
24 upgrading in response to a filed interconnect

1 request with a customer signing an interconnection  
2 agreement. If pursued in future proceedings, we  
3 would have to work through how costs are allocated  
4 if a proactive approach, based on something like  
5 levelized cost of transmission, is utilized to  
6 approve projects. In some areas, network upgrades  
7 are partially funded by the interconnection  
8 customer and partially funded by the transmission  
9 customers. However, the level of benefits are  
10 usually difficult to accurately determine, and,  
11 therefore, basic assumptions are used to split the  
12 obligation. A similar approach could be used to  
13 determine the proper assignment of benefits in the  
14 Carolinas when allocating costs of network  
15 upgrades. Next slide.

16 So with respect to looking at import  
17 capability with the 2020 IRPs, the Company  
18 conducted a high-level assessment to identify the  
19 number of transmission projects and estimated cost  
20 associated with increasing import capability into  
21 the DEC and DEP systems from all neighboring  
22 transmission regions as well as from offshore wind.  
23 The assessments considered the necessary new  
24 construction and upgrades needed to increase import

1 capability by 5 and 10 gigawatts.

2 As indicated on the map to the right, 10  
3 gigawatts of import capability would require the  
4 following new infrastructure on the DEC and DEP  
5 transmission systems: seven new 500 kV lines, two  
6 of which cross the Appalachian Mountains; four new  
7 230 kV lines; three new 500/230 kV substations;  
8 four static VAR compensators; and several  
9 associated reconductor and lower-class voltage  
10 upgrades. The estimated costs for the associated  
11 transmission projects to increase import capability  
12 by 10 gigawatts is between 8- and \$10 billion.

13 Next slide.

14 So what about off-system capacity  
15 purchases? You've read in the record that all DEC  
16 and DEP -- sorry. Sorry about that. So you've  
17 read about, in the record, where DEC and DEP needs  
18 to do -- all DEC and DEP needs to do is increase  
19 import capability to lower our planning reserve  
20 margin. And I think Nick covered that pretty well.  
21 He stated in his presentation that resource  
22 adequacy and the resource adequacy study already  
23 accounts for nearly 2,000 megawatts of non-firm  
24 assistance during peak demand periods. Thus, it is



1 recommended that any further off-system resource  
2 assistance needs to be in the form of firm  
3 capacity. This off-system capacity resource would  
4 need to be -- would need to have firm transmission  
5 service and a firm transmission service path to  
6 meet Duke Energy's designated network resource  
7 rules.

8 So three significant items need to  
9 occur -- and I have given an example here -- for  
10 making a capacity purchase from a generator in PJM  
11 and counting it as firm capacity for a DNR. First,  
12 we would need to contract with the resource under a  
13 firm capacity contract, and we would need to make  
14 that contract contingent on securing long-term firm  
15 transmission service. Second, we would need to  
16 request the long-term point-to-point transmission  
17 service in PJM, the red arrow, and firm  
18 point-to-point transmission service in PJM is  
19 around 63,000 per megawatt year, or 63 million per  
20 year for 1,000 megawatts. In addition,  
21 transmission studies may show that significant  
22 transmission network upgrades could be needed to  
23 facilitate this long-term point-to-point service in  
24 PJM, and Duke would have to pay that cost. Also,

1 we would need to request network firm transmission  
2 service in CPLE, the yellow area, and that would  
3 need to be with respect to the PJM source per our  
4 designated resource rules. That would have to be  
5 studied with a transmission study to see if any  
6 network upgrades would be needed to make that  
7 service firm in CPLE. And lastly, any associated  
8 transmission upgrades have to be constructed and  
9 placed in service prior to the start of the  
10 contract for this capacity resource to count it as  
11 a firm capacity resource. Next slide.

12 So what are the key items to take away  
13 from this part of the presentation? As shown in  
14 the 2020 IRPs and will be shown in future IRPs,  
15 we'll have a significant amount of incremental  
16 resources being interconnected to the grid to  
17 replace the retired generation and to reduce CO2  
18 emissions. These new resources are incremental to  
19 the numerous resources already connected to the  
20 grid as depicted in the prior EIE map; and thus,  
21 grid planning is gonna get more complex, but this  
22 complexity will increase in the future as key  
23 determinants, such as megawatt size and location,  
24 variable and limited energy resources, and

1 distributed connected resources result in changing  
2 power flows on the system.

3 This change in power flows will be  
4 exacerbated if we do not replace retiring  
5 generation with replacement generation connected to  
6 the same point of interconnection. With increasing  
7 interconnections, we're also realizing a decrease  
8 in capability of the grid to facilitate additional  
9 resource interconnections. If the future of  
10 incremental resource interconnections to our grid  
11 requires significant interconnections in primarily  
12 rural, high-radiance areas of our system, an  
13 alternative proactive approach to facilitating  
14 transmission network upgrades may be required.

15 Last, as Nick Wintermantel presented,  
16 just increasing import capability by itself will  
17 not improve reliability. There needs to be a firm  
18 capacity resource on the other side of the wire.  
19 Now I will turn the presentation over to Mark Byrd.

20 MR. BYRD: Good morning, Commissioners,  
21 Chair Mitchell. My name is Mark Byrd. I'm the --  
22 I'm a manager II in the transmission planning and  
23 operations strategy organization. I'm gonna give  
24 an update on the North Carolina Transmission

1 Planning Collaborative studies.

2 A little background on myself. I have  
3 been with Duke Energy and its predecessors for over  
4 40 years. A majority of that time, about 27 years,  
5 I have been in transmission planning roles with the  
6 Company -- with Duke Energy Progress, in  
7 particular. I have served on various NERC and SERC  
8 subcommittees during my time with the Company, and  
9 most recently I served as chairman of the  
10 North Carolina Transmission Planning Collaborative,  
11 the oversight steering committee. My term ended in  
12 June of this year in that role. So next slide,  
13 please.

14 First, I'm gonna give some background on  
15 what the North Carolina Transmission Planning  
16 Collaborative is. I'll start by saying it covers  
17 the transmission footprints of the Duke Energy  
18 Carolinas and the Duke Energy Progress systems.  
19 I'll say it was formed in 2005, and I have been  
20 participating ever since it was formed on the  
21 collaborative, and it -- let's see. It gives an  
22 opportunity for the load-serving entities in the  
23 Duke Energy transmission footprint, a chance to  
24 participate in the transmission planning process.

1 The participants are Duke Energy Carolinas, Duke  
2 Energy Progress, Electricities, and also the  
3 North Carolina Electric Membership Corporation.

4 So every year there is two sets of  
5 studies that the collaborative does. They do  
6 reliability studies annually, and they look at  
7 what's deemed to be a short-term or near-term look  
8 and a longer-term look. So they have models that  
9 are five-year-out cases of the transmission system  
10 and generation system and also a ten-year-out look  
11 at the system, the long-term look. Purpose of that  
12 is to combine the models and the plans of Duke  
13 Energy Carolinas and Duke Energy Progress, make  
14 sure they are compatible with each other and also  
15 look for additional plan -- transmission planning  
16 risk and possible needs.

17 The collaborative process also provides  
18 an opportunity for stakeholders to request  
19 additional studies. They generally are categorized  
20 into two types: economic studies or  
21 public-policy-type studies.

22 One thing I'll go ahead and state  
23 upfront is that the North Carolina Planning  
24 Collaborative does not -- is not able to perform

1 official generator interconnection studies. The  
2 companies, DEC and DEP, have to follow the FERC  
3 large generator interconnection procedures and the  
4 North Carolina interconnection procedures. You  
5 know, there are formal rules for -- you know, for  
6 generators in the generation interconnection  
7 queues. The collaborative can perform generator  
8 studies, but they tend to be for information  
9 purposes. They do not -- they are not binding  
10 studies, because of, you know, all the different  
11 confidential information and other stuff that is  
12 involved with the generator interconnection queue.  
13 So I will come back to that point in a minute.  
14 Next slide, please.

15 So the recent studies that are  
16 pertinent. In 2020, there was -- a study report  
17 was released in January of this year for the 2020  
18 through 2030 collaborative transmission plan. That  
19 report is available on the website for the  
20 collaborative, and it was looking -- we deemed that  
21 to be our reliability study. There was also a  
22 public policy request in 2020, and I'll describe  
23 that in more detail in just a moment. And then, in  
24 2021, the collaborative is currently working on

1 another -- a reliability study for the next 10  
2 years, but also working on another public policy  
3 request, and we call it here the future resource  
4 scenario study, and I'll get into more detail on a  
5 slide in just a moment. Next slide, please.

6 So again, the base reliability study,  
7 the report that was released in January of this  
8 year, combines the latest models of DEC and DEP.  
9 It includes the latest transmission expansion plans  
10 of the two companies. The Company performs a  
11 base-line reliability analysis. It includes in the  
12 model any future generation that has signed  
13 interconnection agreements. It includes any  
14 generation retirements that are firm and that have  
15 been announced. It checks and confirms compliance  
16 to the NERC TPL-001 standard. I won't go into  
17 details, but, basically, it's -- there is a lot of  
18 different contingency outages that have to be  
19 checked to make sure they are not thermal  
20 violations of other lines or voltage violations on  
21 the system.

22 And then, in 2020, there was additional  
23 request. There was an economic study to look at a  
24 high-load growth scenario down in Union County and

1 Cabarrus County. And that was completed, and it's  
2 in the report that came out in January. And there  
3 was a public policy study request put in by the  
4 Southeast Wind Coalition in 2020, and I'll talk  
5 more about that in just a moment. Next slide,  
6 please.

7 Okay. So the public policy request that  
8 was submitted in 2020, that study was actually  
9 completed in June of this year, June 2021. It  
10 tested injections of offshore wind generation at  
11 numerous Duke Energy Progress substations near the  
12 coast. There actually was 32 different projection  
13 sites, substations that -- where offshore wind  
14 could be injected into the system, and it studied  
15 how much generation the system could handle there  
16 without upgrades or with small- and medium-level  
17 transmission upgrades. There was an assumption  
18 that 40 percent of the power being injected at  
19 these sites would stay within Duke Energy Progress'  
20 service area and 60 percent would be transferred to  
21 DEC -- the balancing area for DEC.

22 So, again, this study differed from  
23 prior studies in that we were really analyzing lots  
24 of different sites and different levels of



1 megawatts at locations near the coast of Duke  
2 Energy Progress. And the results of that study  
3 that came out in June said the three most promising  
4 sites for larger amounts of offshore wind with --  
5 that would be investigated for even more injections  
6 were New Bern, a new substation that could get  
7 created near Wilmington called Sutton North, and  
8 also the Greenville 230 kV substation.

9 The scope of this study requested to  
10 look at not only, you know, sites -- you know, how  
11 much wind generation could be added at various  
12 sites, but it also said also, what would it take to  
13 get up to 5,000 megawatts of offshore wind -- you  
14 know, what would be the best way and best locations  
15 to bring that into the system? So these three  
16 sites -- New Bern, Sutton North, and Greenville --  
17 were examined to see what it would take to get  
18 larger amounts that included adding some new 500 kV  
19 lines to the system. So the report gives those  
20 details about these three sites. Okay. Next  
21 slide, please.

22 Okay. Now, bringing us to this year,  
23 2021, there is a public policy request that was  
24 requested by the North Carolina Public Staff, and

1 the goal was to look at a possible future resource  
2 scenario somewhat based on the 2020 DEC/DEP IRPs.  
3 And you can see here there was of a lot of  
4 assumptions made about retiring coal and additional  
5 renewables on the system. And not necessarily  
6 fitting any of the portfolios that were examined,  
7 but it is, you know, one study that looks at a  
8 combination of a lot of renewables and retirements  
9 all in one study.

10 So this study is underway, and one of  
11 the things that I think the collaborative has  
12 realized is that this is gonna require more than  
13 just a single look at a summer peak -- peak load  
14 scenario. You know, at a summer peak, you know,  
15 the solar generation perhaps may be only at  
16 50 percent of its output or so, so -- and wind  
17 generation probably less than that, you know, at a  
18 peak period, possibly. So we're gonna be talking  
19 with the North Carolina Public Staff about adding  
20 some scenarios to look at where -- not only looking  
21 at summer peak, but including other times of the  
22 day when solar generation would be closer to its  
23 nameplate; wind -- another scenario where wind  
24 would be more at its maximum; and possibly some

1 other, you know, times of the year, possibly winter  
2 peak, but it would be a series of different times  
3 of the year and different levels of load to more  
4 fully analyze this scenario.

5 That is -- as I say, that is underway.  
6 There is hope to get this study complete by the end  
7 of this year, but depending on the ultimate scope  
8 of this, it may run into 2022 somewhat before it is  
9 completed. So next slide, please.

10 So answering the question of how the  
11 collaborative studies inform cost in the IRP. So  
12 Sammy mentioned this -- or Mr. Roberts mentioned  
13 this back in his presentation that the 2012 NCTPC  
14 offshore wind study, some of the information from  
15 that study report was used in the 2020 IRP. So as  
16 we went into, in the fall of last year, 2020, the  
17 only offshore wind study that we had available to  
18 us to draw upon was this 2012 NCTPC offshore wind  
19 study, which actually was a joint study with PJM at  
20 the time. That report for this study is on the  
21 collaborative website. It came out in  
22 January of 2013.

23 So what was used in these -- on the  
24 table to the right here, the 70 percent carbon

1 reduction scenario and the no new gas scenarios,  
2 included 2,650 megawatts of offshore wind. So  
3 there were scenarios in the 2012 collaborative  
4 study that included some various amounts of  
5 offshore wind generation. There were two fixed  
6 sites given in that study, and they were in the  
7 Morehead City area and the Southport area. So  
8 there were two different locations looked at, but  
9 the projects that were developed in scenario 2 --  
10 there were three scenarios, but scenario 2 most  
11 closely matched the scenarios here that are circled  
12 in red, in terms of the amount of offshore wind  
13 being analyzed.

14 So those -- the projects that were in  
15 that report, that 2012 study report, the cost  
16 assumption, such as the cost per mile of 500 kV  
17 line, those cost assumptions were updated for the  
18 2020 IRP; those costs had gone up in cost based on  
19 our latest estimates. So those cost were updated,  
20 and that's what was used in the 2020 IRP for  
21 estimating the transmission costs for offshore  
22 wind.

23 So the other two studies that are on  
24 this screen, the study that was just completed in

1 June, the public policy request, that study will be  
2 available now -- is available now, and we plan to  
3 use that as input into the 2022 IRP. That study is  
4 a very logical progression of the earlier study, in  
5 that, instead of assuming a location where the wind  
6 might be injected, this new study examines many --  
7 32 different sites where wind can be injected and  
8 gives us more intelligence about where the best  
9 places to inject wind will be.

10 We also should be done with the study  
11 that's underway now, the future renewable resource  
12 scenario study that we're working on now, and that  
13 study -- those study results should be available  
14 also for the 2022 IRP for estimating transmission.

15 So I do want to say that the -- I just  
16 want to make the point that the NCTPC types of  
17 studies have some limitations, in terms of  
18 informing the IRP, being that, you know, the  
19 official binding generator interconnection studies  
20 are not done -- cannot be done in this process  
21 because of the formal FERC and state processes  
22 procedures that we have. But studies here can be  
23 informative to the transmission planning process.  
24 It just does have some limitations. So with that

1 said, I'm gonna pass this on to Mr. Roberts to  
2 summarize our points.

3 MR. ROBERTS: All right. Thank you,  
4 Mark. So in closing, I would like to provide how  
5 we see transmission planning informing the 2022  
6 IRPs. We will have system impact studies for more  
7 recent generator interconnection requests  
8 reflecting network upgrade costs and will utilize  
9 those costs to refine our transmission network  
10 upgrade cost estimates for incremental resources.  
11 In fact, we should have results from the phase 1  
12 transmission cluster included at that time and will  
13 incorporate those for our dollar-per-megawatt cost  
14 proxy as well.

15 We will also investigate the feasibility  
16 of creating a timeline for necessary critical  
17 transmission network upgrades to enable  
18 interconnection of the IRP portfolio resources.  
19 And this will identify network upgrades that are  
20 potential candidates for a proactive coordinated  
21 planning approach to enable interconnecting  
22 incremental resources in a timely manner.

23 We will also incorporate the applicable  
24 information from the updated and new North Carolina

1 Transmission Planning Collaborative studies, as  
2 Mark just talked about, for offshore wind and the  
3 higher renewable scenarios that he discussed.

4 We will investigate the potential and  
5 associated cost for an off-system capacity  
6 purchase, most likely focusing on PJM as the  
7 source.

8 And lastly, in the 2022 IRP ISOP  
9 stakeholder process, we'll address the analytical  
10 methods being developed in integrated system and  
11 operations planning for estimating the most  
12 cost-effective grid upgrades and associate- --  
13 upgrades associated with the incremental IRP  
14 resources. So now I will be glad to answer any  
15 questions from the Commission and Commission staff.

16 COMMISSIONER CLODFELTER: All right.  
17 Thank you, gentlemen. As we did last week, we will  
18 open questions with questions from the Commission  
19 staff.

20 Before I do that, though -- and,  
21 Mr. McDowell, you check me if I am wrong about --  
22 in what I am about to say. Let me suggest to  
23 Commissioners that, when we're asking questions  
24 this morning, we have scheduled -- at least the

1 last time I looked, we had scheduled a separate  
2 presentation on the offshore wind study. I believe  
3 it's in November at some point. So you will have  
4 an opportunity to ask questions on that particular  
5 topic at a later session. And so, in the interest  
6 of time this morning, let me just ask, if you can,  
7 if you've got questions about the offshore wind  
8 study, if you could hold those, we will have a  
9 separate session, Mr. McDowell, unless it's been  
10 canceled.

11 MR. McDOWELL: No, that's correct.

12 COMMISSIONER CLODFELTER: And with that,  
13 we will open questions, and Mr. McDowell, you're  
14 up.

15 MR. McDOWELL: Okay. Thank you. I  
16 don't have any questions for Mr. Wintermantel. We  
17 do appreciate the documentation that's provided in  
18 the current IRPs relative to resource adequacy.  
19 It's very good documentation. Appreciate the  
20 remarks this morning.

21 I would say, as the Commission stated in  
22 its order setting up the technical conference, we  
23 recognize and appreciate the expanded discussion in  
24 the new chapter on grid requirements that's



1 included in the IRPs. It's very good information.  
2 Reading from that chapter, it states that the six  
3 portfolios presented in this IRP included different  
4 assumptions for coal plant retirement dates along  
5 with a varying array of demand- and supply-side  
6 resource requirements to reliably serve load over  
7 the planning horizon. The Company conducted  
8 high-level assessments -- and I emphasize  
9 high-level assessments, which you've discussed  
10 today -- to estimate the associated necessary  
11 transmission network upgrades for retiring the  
12 existing coal facilities and integrating each  
13 scenario's requisite incremental resources.

14 And as I understand the discussion  
15 today, it's this high-level assessment that is the  
16 basis for the transmission investment requirements  
17 that are denoted in Mr. Roberts' slide. That's the  
18 slide entitled "2020 IRP Portfolio Results With  
19 Transmission Cost Estimates." I believe that's  
20 correct.

21 MR. ROBERTS: Yes, that's correct.

22 MR. McDOWELL: Okay. Good. Going back  
23 to Mr. Byrd's remarks and his history with the  
24 utility. I would say that I think Mark and I

1 started at the utility at the same time, so good  
2 history there.

3 This chapter, as I go on to read, states  
4 that extensive additional study and analysis of the  
5 complex interactions regarding future resource  
6 planning decisions will be needed over time to  
7 better quantify the cost of transmission system  
8 upgrades associated with any portfolio. And I  
9 think we can all agree on that and appreciate the  
10 comments there. Again, I was reading from what's  
11 documented in the IRP. It's -- your comments are  
12 consistent with that and we appreciate that and  
13 emphasize, you know, the complexity of that. So we  
14 appreciate that.

15 And then, in this discussion in the IRP,  
16 again, you go on to address risk, and I'm  
17 particularly interested in that. Again, in this  
18 same chapter it states, given the long lead times  
19 for planning, siting, permitting, and construction  
20 of new transmission, there is some risk that some  
21 of the projects could not be completed in time to  
22 support the in-service dates contemplated by the  
23 more aggressive scenarios. Those more aggressive  
24 scenarios are those outside of the base case as

1 presented.

2 We understand you can't retire  
3 generating capacity until the replacement resource  
4 is in place, correct? And that includes  
5 transmission, infrastructure, needed upgrades,  
6 et cetera; is that correct?

7 MR. ROBERTS: Yes.

8 MR. McDOWELL: So in a minute, I want to  
9 ask you how you are working to mitigate the risk  
10 the Company referred to in the IRP, specifically  
11 that statement. You just -- you just mentioned a  
12 timeline for the necessary transmission network  
13 upgrades. So a timeline, you know, as I envision  
14 what you were saying, is part of working to put in  
15 place some things that help to mitigate that risk,  
16 especially in terms of having projects completed in  
17 time to retire units, et cetera. So I want to  
18 probe that a little bit. I will give you a minute  
19 to think about providing some color around how the  
20 Company works or is planning to mitigate risk  
21 there.

22 However, while you're thinking about  
23 that, let me refer to the section of the IRP that  
24 addresses transmission planned or under

1 construction. So in the filed IRP, there is a  
2 whole section, transmission planned or under  
3 construction.

4 First of all, I will note that, in the  
5 DEP IRP, there are six projects identified.  
6 According to the DEC IRP, however, there are  
7 presently no new lines 161 kV and above planned for  
8 construction in DEC's service area. So six  
9 projects in the DEP IRP identified in this section,  
10 again, the transmission planned or under  
11 construction. In the DEC IRP, there are no  
12 projects listed.

13 And when you look in that section, for  
14 each of the projects identified, there is certain  
15 information outlined for each project that includes  
16 the date construction started, projected in-service  
17 date, and docket number if one has been assigned.  
18 So there is not a whole lot of information there,  
19 but there are bulleted particulars for each  
20 project.

21 Three of the DEP projects do not include  
22 docket numbers, even though they have estimated  
23 in-service dates of 2023, 2024. Okay. There is  
24 not a docket number shown for those. And I realize

1 I'm looking at an IRP that was filed in  
2 September of 2020. I didn't look this up, but I  
3 assume, for example, like, the Porters Neck 230 kV  
4 tap line that's included that was to begin  
5 construction in January of this year has now been  
6 docketed and moving forward; is that correct?

7 MR. ROBERTS: Mark, do you want to come  
8 off mute and answer Mr. McDowell's question?

9 MR. BYRD: Yeah. I believe that that  
10 would be correct, Mr. McDowell. I know there is --  
11 you know, I know there is an update that's being  
12 given to some of the Public Staff members later  
13 today, in fact, that includes Porters Neck. So I'm  
14 really not sure about the docket, but I would  
15 expect that it has been filed at this point.

16 MR. McDOWELL: So obviously my interest  
17 there in what's shown, at least for DEP -- and  
18 again, DEC does not have any projects shown, but at  
19 least for those six DEP projects, there are  
20 projects with in-service dates that are 2023, '24,  
21 and so I'm just -- I'm sensitive to this -- you  
22 know, this idea that the timeline for planning and  
23 implementing and constructing such projects,  
24 transmission -- these may not be major transmission

1 lines, but they are listed, so I'm a little bit  
2 sensitive to that.

3 So here's a question. Does the Company  
4 begin right-of-way acquisition before seeking a  
5 certificate?

6 MR. ROBERTS: Mark, do you want to  
7 answer Steve's question again?

8 MR. BYRD: And again, I'm not really  
9 involved intimately in that part of the projects,  
10 but I would think not. It would have to be, you  
11 know, a special situation, I would think, for  
12 anything like that to happen. I would think that  
13 Duke would need to get the certificate before going  
14 forward with right-of-way acquisitions.

15 MR. McDOWELL: And right-of-way  
16 acquisition, obviously, is quite a chore, I  
17 understand.

18 MR. BOYD: Right.

19 MR. McDOWELL: So what does the term  
20 "planned transmission," as used in this section,  
21 mean? So, again, I'm referring to that section of  
22 the IRP that's transmission planned or under  
23 construction. So what does that term "planned  
24 transmission" mean, to suggest that it should be --

1 projects should be listed in the IRP there? Is it  
2 transmission associated with base portfolios only,  
3 or does it include transmission required to  
4 implement other portfolios identified in the IRP,  
5 or is it just docketed? Well, clearly, that's not  
6 the case, because some of these projects aren't  
7 docketed. Just interested in what the requirement  
8 is to include a project or not include a project.

9 MR. ROBERTS: Again, go ahead, Mark.

10 MR. BYRD: Yeah, my -- I can give you,  
11 for Duke Energy Progress, you know, plan would be,  
12 you know, what we consider in our 10-year  
13 transmission additions plan, you know. I know that  
14 sometimes there can be -- like, for the  
15 North Carolina Transmission Planning Collaborative,  
16 we have categories of projects, and there is a  
17 conceptual category, which means, you know, it may  
18 be further out, less certain, whereas planned means  
19 we intend to do it. Plans could change, but we  
20 intend to perform that project, construct that  
21 project. But, of course, under construction means  
22 that some part of the project -- you know,  
23 right-of-way clearing, some part of the project is  
24 actually started.

1 MR. McDOWELL: Okay. You don't know if  
2 DEC and DEP have two different criteria for what's  
3 included in the IRP for planned?

4 MR. BYRD: I'm not aware how DEC --  
5 their interpretation of that is.

6 MR. ROBERTS: So the one thing I would  
7 mention, Steve, is, as you stated, it's for -- as  
8 the order is written, it's for 161 kV and above.  
9 And on the DEC system, 230 kV is primarily volt  
10 power transmission, and there is not any taps  
11 allowed to that, because it is volt power  
12 transmission between the distant load centers of  
13 the Triad to Charlotte, et cetera. And so, you  
14 know, most of the resources for which you would  
15 need upgrades would be on the 100 kV system, and,  
16 of course, that wouldn't fit this criteria, and so  
17 that's not gonna show up. And I'm sure there is  
18 some 100 kV upgrades that, if you did have that 100  
19 kV and above, would show up in this list for DEC.

20 MR. McDOWELL: Okay. Thank you for  
21 that. I'm just -- I'm just looking for evidence  
22 that work, planning, execution of work necessary to  
23 effect these retirement dates and/or incorporating  
24 the generating capacity through all these



1 portfolios can take place and is part of what  
2 mitigates the risk that was described earlier.

3 Okay. So thanks for that.

4 So I guess I've stalled long enough to  
5 give you a chance to think about the question of  
6 how the Company mitigates that risk. Specifically,  
7 the risk that some of the projects could not be  
8 completed in time to support the in-service dates  
9 contemplated by the more aggressive scenarios. Can  
10 you speak to that risk and how the Company plans to  
11 mitigate that risk?

12 MR. ROBERTS: Yeah. So we look at  
13 alternatives associated with transmission planning  
14 additions, and those alternatives can mitigate  
15 risk. For example, one recent scenario, we looked  
16 at, you know, was it economical to utilize a  
17 battery to fulfill the mission of the transmission  
18 upgrade -- it couldn't be a long-term solution, but  
19 it could be a short-term solution -- if it looked  
20 like that transmission project was gonna be delayed  
21 because of supply chain, et cetera. So to mitigate  
22 that risk, one of the alternatives we considered  
23 was a battery.

24 Well, the risk was mitigated in other

1 ways, and so we won't need the battery and we can  
2 go ahead and get the upgrade done and meet the  
3 deadline by the transmission additions plan  
4 requirements. So that's an example of mitigating  
5 risk.

6 The other risk -- you mentioned  
7 transmission associated with resources, so I will  
8 carry that to all-system resources. You know, we  
9 can control very effectively things within Duke's  
10 control, Duke's service territory. Once you have  
11 an external system transmission owner that has to  
12 construct an upgrade to facilitate something like a  
13 capacity purchase, you are at, sort of, the mercy  
14 of their schedule.

15 Now, they know that in order to procure  
16 that firm capacity contract from all-system, that  
17 upgrade has to be done by a certain point in time,  
18 but there is risk associated with that. And even  
19 then, Steve, there is -- you know, I can remember  
20 being in the control room in 2000- --  
21 August of 2007, and PJM calls us and says, we're  
22 issuing a TLR-005 and we're gonna cut your Kerr Dam  
23 purchase and your Rockport purchase. So there is  
24 still risk even after a firm capacity resource is

1 contracted with respect to external system. But  
2 with that said, we are willing to look at that to  
3 see if it's a cost-effective capacity resource for  
4 our portfolio.

5 MR. McDOWELL: Okay.

6 MR. SNIDER: And, you know, Steve, if  
7 you think about moving to queue reform, for  
8 example, you know, we are looking for ways to make  
9 the interconnection of incremental resources more  
10 efficient. Sharing the cost across multiple -- you  
11 know, that's a way to mitigate risk of your ability  
12 to move incremental renewables onto the system more  
13 efficiently and quicker.

14 I think Mr. Roberts pointed out, you  
15 know, some of these require regulatory approvals,  
16 you know, in terms of, you know, what is triggering  
17 the transmission and how do you then go forth and  
18 build that transmission, right? So we needed  
19 several regulatory approvals to move through queue  
20 reform. You know, could we have other, you know,  
21 transmission projects that will require regulatory  
22 approvals? You know, that remains to be seen. But  
23 I think one of the things I would add to this  
24 discussion is, you know, you need to have, what is

1 the catalyst for building the transmission? Is it  
2 load growth and you're upgrading your grid to  
3 accommodate load growth? That's one catalyst. As  
4 Mr. Roberts pointed out pretty effectively, you  
5 know, interconnecting new resources is a second  
6 catalyst. You have to identify and know where  
7 those resources are before you can build that  
8 transmission. And then reaching into other  
9 balancing areas, I think Mr. Roberts also pointed  
10 out very well, which is, you know, you have to  
11 carefully plan that with -- and coordinate it with  
12 your neighboring balancing area as well as your own  
13 balancing area, but you have to have that catalyst  
14 to do that.

15 So, certainly not the expert that you  
16 have on the rest of this panel, but the way I think  
17 about transmission planning a lot of time is what  
18 is the catalyst that is driving it? When does that  
19 catalyst -- you know, when do I get the CPCN, for  
20 example, for the new generator? That's a  
21 prerequisite before I can build the transmission to  
22 that new generator. So how do we make the entire  
23 process more efficient? You know, I think we are  
24 striving to do that in many ways, and I would just

1 say, you know, queue reform is a good example of  
2 it. And, you know, we'll look to continue to  
3 figure out how to interconnect new generators more  
4 efficiently and in a quicker manner.

5 MR. McDOWELL: Okay. Thank you. I  
6 started off kind of referencing back to something  
7 that was in key takeaways, and that was the bullet  
8 that said determine feasibility of providing a  
9 timeline for necessary critical transmission  
10 network upgrades.

11 We don't necessarily -- in the IRP, I  
12 don't think we necessarily see that timeline.  
13 Obviously, that timeline or the project plan in  
14 total is critical to having these in place to be  
15 able to retire the unit you are planning at a  
16 certain date, et cetera, and I guess that pertains  
17 to transmission infrastructure as well as fuel  
18 supply, et cetera, et cetera, et cetera. So, yeah,  
19 interesting. Thank you for that. Any other  
20 comments relative to mitigation?

21 (No response.)

22 MR. McDOWELL: Okay. I guess a question  
23 for -- well, let me go back to Mr. Roberts' slide  
24 on 2020 IRP portfolio results with transmission

1 cost estimates. So we have got cost estimates  
2 there, which you have described, high-level, and is  
3 the basis for the cost estimates we see, and they  
4 vary across those portfolios.

5 If a person was interested in the  
6 transmission build-out Duke envisions under each of  
7 these portfolios, you really couldn't go too deep  
8 in describing that, could you? Because, again,  
9 they're high-level estimates, the complexity  
10 becomes an issue, where this distributed generation  
11 is, et cetera. So if somebody was saying, okay,  
12 given this portfolio and this couple billion  
13 dollars that's over here, what's the difference in  
14 that than another portfolio, I'm just curious as to  
15 how much detail can be provided there.

16 MR. ROBERTS: Yeah. It would be  
17 difficult to really drill down with any degree of  
18 accuracy. As you stated, Steve, megawatt size,  
19 location, resource type, all of those variables --  
20 and the number of resources in a certain area  
21 wanting to interconnect -- all of those variables  
22 play into what network transmission upgrades would  
23 be needed to facilitate that interconnection.

24 Now, the one piece of information we do

1 have is we have our queue. So we see where  
2 generators want to locate and interconnect, and so  
3 we can use that information to assist with  
4 developing that cost or looking at the transmission  
5 that's going to be needed going forward. I think  
6 on one slide I said if we want to connect 4 to 5  
7 gigawatts of solar, looking at our transmission  
8 queue, we see common network upgrades that are  
9 gonna need to be absolved in order to facilitate  
10 that amount of interconnection of solar.

11 MR. McDOWELL: Okay. Good point.

12 MR. SNIDER: You know, Steve, I tend to  
13 think of it as that continuing -- you know, that  
14 funnel we described last week, right? As we move  
15 deeper into the process from initial screening to  
16 detailed planning to execution, you have more and  
17 more known information, and so you can get more  
18 specific, right? So you hit on some great points.  
19 You know, we have general ideas of what tranches of  
20 solar will cost to interconnect, because it's queue  
21 informed, but we don't know the exact location of  
22 those. We have general ideas for offshore wind,  
23 but until the precise volumes and landing point is  
24 known and how much solar is also in the eastern

1 area -- remember, you are bringing that offshore  
2 wind from east to west, and it's got -- and there  
3 is a lot of solar in the east as well. So until  
4 you know exactly how much solar is in front of the  
5 offshore wind, where the offshore wind is coming  
6 ashore, how many megawatts, you can only get so  
7 precise in your funneling process.

8 MR. McDOWELL: Right.

9 MR. SNIDER: You know -- and, you know,  
10 we did, I think, a -- for the first time in 2020, a  
11 really, you know, good job of saying, you know,  
12 here are -- here's what it costs to replace, from a  
13 transmission perspective, if I do or don't put the  
14 coal back -- or put a replacement resource back at  
15 the retired coal sites. In some cases, I have to  
16 fix a transmission issue by the hole I've created,  
17 and then I've got to site the new generator. And  
18 other cases, if you were to locate there, you would  
19 have some transmission synergies. So we try to, in  
20 that winnowing process, provide more detail than  
21 we've ever provided in an IRP. You know, we'd love  
22 to have the exact numbers, but until you get to the  
23 actual execution phase and understand all the  
24 variables Mr. Roberts spoke about, as well as



1 what's happening around you, you can only go so far  
2 in getting precise in that transmission estimate.

3 MR. McDOWELL: And as you move down that  
4 funnel, the complexity of the analysis really  
5 increases. Even though you've got additional  
6 information, you've got a lot of other variables  
7 that come in there. So I appreciate the comments  
8 of the complexity of that as well, because it's not  
9 simple, even though you get more information  
10 downstream.

11 MR. SNIDER: That's a very good  
12 observation.

13 MR. McDOWELL: So a couple of questions  
14 for Mr. Byrd relative to the NCTPC. Why do the  
15 annual studies look out 10 years in the future as  
16 opposed to 15 or 20 years?

17 MR. BYRD: Yeah. I think that -- I know  
18 that, you know, for my whole time I have been in  
19 transmission planning, you know, our time horizon  
20 generally has been 10 years is how far we looked  
21 out. And I think it has to do with, you know, the  
22 accuracy of the models, the -- you know, the load  
23 forecasting, the limits of our load forecasting, of  
24 our predicting, you know, what future resources we

1 will have. I think, more than ever, right now it's  
2 really hard to do transmission planning if you  
3 don't know where your future generation resources  
4 are going to be located. You know, you can do  
5 studies -- even at 10 years out we have to  
6 sometimes put in we call pseudo generators to, you  
7 know, make up enough generation to serve a load,  
8 even though we don't really know where that  
9 generation is going to be located. So I think  
10 that's the main limitation, is knowing where the  
11 resource is going to be further out than that  
12 10-year horizon.

13 MR. McDOWELL: So if the annual studies  
14 did go further out, say 15 years, if Duke built the  
15 indicated transmission sooner than later, right  
16 away instead of just in time, would that create  
17 headroom on the grid that would ease the  
18 interconnection of more renewables?

19 MR. ROBERTS: So, as per -- oh, this is  
20 for Byrd, I'm sorry. I'll let him answer.

21 MR. BYRD. So if I understand, your  
22 question is, you know, in the reliability analysis,  
23 if we would build the transmission sooner, would it  
24 support adding more generation. I think there is

1 no certainty of that at all. Again, we have to  
2 know where the new generation is going to be  
3 located. Just improving, you know, our reliability  
4 margins on what we know now would not necessarily  
5 help us connect more generation, not knowing where  
6 it's going to be located.

7 MR. McDOWELL: So are those assets,  
8 those transmission assets, that are -- would be  
9 needed to serve load fundamentally different than  
10 the assets that would be needed to address the  
11 interconnection queue?

12 MR. BYRD: That is correct. In general,  
13 that is correct. You know, it depends on the  
14 locations, and that's, you know, what's challenging  
15 about this scenario is, what assumptions do we make  
16 about where -- future generation that's unsited,  
17 where it's going to be located.

18 MR. McDOWELL: So, in the future, would  
19 the NCTPC study incorporate a chosen portfolio  
20 path? Does that start to be addressed in the base  
21 or is it always addressed in these additional  
22 studies? How do we view that in the future?

23 MR. BYRD: Well, it's -- I think that's  
24 a good question that's yet to be seen. I mean, I

1 think, traditionally, there's been sort of a base  
2 model, and that's the assumption that things are  
3 gonna continue on in that path. I guess, you know,  
4 kind of a unique -- starting in 2020, there were  
5 six different portfolios. And so, I don't know.  
6 In the future, you know, if there is a selected  
7 one, I'm assuming that it would become the plan.  
8 And, you know, once those locations are known, I  
9 think that would be the assumptions of the  
10 collaborative in their plans.

11 MR. McDOWELL: And it's each of those  
12 plans that are utilized to inform the IRP, such as  
13 the work underway now that will inform the 2022  
14 IRP; it's not necessarily just one portfolio but  
15 the different views and implications of offshore  
16 wind or wind from Oklahoma or whatever, right?

17 MR. BYRD: Right. I think the offshore  
18 wind is a good example, where, you know, we are  
19 developing our knowledge base as we do more  
20 studies. We are learning more. It's a little bit  
21 unique in that it's, you know, bringing large  
22 amounts, you know, from eastern -- you know, from  
23 the ocean, basically, toward the west. And so I  
24 think we're gaining knowledge as we do more studies

1 on that that would help us guide, you know, a way  
2 to more optimize wind if we make that decision to  
3 go forward with offshore wind.

4 MR. McDOWELL: So with these different  
5 portfolios that are identified in the IRP, what are  
6 the trigger points for doing things, like starting  
7 to secure right-of-way or some of the other  
8 planning or actual execution on some of those?

9 MR. BYRD: Right. Today that would  
10 start when there is a generator interconnection  
11 agreement signed for a specific generator. At that  
12 point, it becomes, you know, a firm resource and  
13 transmission planning then can start, you know --  
14 you know, the process for actually performing the  
15 projects that were identified in the studies  
16 leading up to that point. The transmission that's  
17 needed, it would then start to be constructed.  
18 Engineered and constructed.

19 MR. McDOWELL: Right. So I guess it's  
20 fair to say that -- say that transmission  
21 right-of-way that's -- that will be needed is not  
22 necessarily already owned or being purchased by the  
23 Company to effect what may be necessary to  
24 implement some of these portfolios, including

1 offshore wind.

2 MR. BYRD: That is correct. It's -- I  
3 mean, obviously, we look -- you know, we have  
4 information and we -- about existing right-of-ways  
5 that we do have available, and that's part of the  
6 process, but I think it's probably likely that we  
7 do not have all the right-of-way -- there would be  
8 new right-of-way needed for large amounts of new  
9 generation resources.

10 MR. McDOWELL: The thing we know is,  
11 like, if you're gonna bring that much offshore wind  
12 in, there is not sufficient load on the east coast,  
13 so it's got to be moved, and there is  
14 significant -- which, like Commissioner Clodfelter  
15 said, we will hear from that study later, but we  
16 know there are impacts to enable that then, or at  
17 least to get it to the load centers.

18 MR. BYRD: That is correct.

19 MR. SNIDER: Steve, you know, one thing  
20 to keep in mind too, as Mr. Roberts pointed out, is  
21 in what volumes, right? So there is a difference  
22 between 1,000 megawatts, 1,500, and 3,000. So you  
23 have to be thinking about what is the likely scale  
24 of that resource gonna be, and are you gonna do

1 this in increments or are you going to envision a  
2 larger scale and prepare for that larger scale, and  
3 what regulatory process would be needed to do that,  
4 right? So let's say the first tranche came in at  
5 1,600 megawatts. Well, is that really a  
6 sustainable economy of scale for offshore wind, or  
7 would you end up with more? If you end up with  
8 more, should you be doing two separate transmission  
9 projects or should you envision more in step one so  
10 that you can get better economies of scale and a  
11 more optimal solution, and I think that's what  
12 Mr. Roberts was alluding to in his presentation,  
13 which is, is this a push or a pull, and what's  
14 required -- you know, what's the catalyst to allow  
15 you to build out that transmission at the  
16 appropriate economy of scale if it's not being part  
17 of a specific interconnection agreement request?  
18 And that's the difficult part right now, because  
19 the current process doesn't really allow for us to  
20 just build a larger transmission grid --

21 MR. McDOWELL: I understand.

22 MR. SNIDER: -- with that interconnection  
23 agreement in place. So that is something that the  
24 industry is going to have to wrestle with in the

1 coming, you know, years.

2 MR. McDOWELL: And as you decide how to  
3 build that out incrementally, or whatever, there  
4 are implications downstream with -- associated with  
5 solar projects here, there, across the whole  
6 eastern part of the state, and what opportunities  
7 that provides for too that are in the queue and  
8 otherwise, right?

9 MR. SNIDER: Absolutely. I mean, it's a  
10 portfolio view that you're looking at, and it  
11 certainly affects it.

12 MR. McDOWELL: So coming from the other  
13 direction, you mentioned the public policy request  
14 that the Public Staff submitted and mentioned the,  
15 I think, 2,500 megawatts of wind to be studied  
16 coming from the Midwest. I guess, coming to our  
17 system by way of Southern Company or wherever, does  
18 that include the transmission necessary to bring  
19 the power to Duke's service area or is it just the  
20 interconnection there?

21 MR. ROBERTS: Yeah. So you're talking  
22 about the Oklahoma wind?

23 MR. McDOWELL: Yes.

24 MR. ROBERTS: So for the Oklahoma wind



1 import, the only thing that was estimated was the  
2 upgrades on the Duke Energy Carolinas' side of the  
3 interface, but, you know, you've got to get the  
4 wind energy from Oklahoma, and I think the clean  
5 line project was, like, somewhere in Tennessee,  
6 TVA's area.

7 MR. SNIDER: That's correct.

8 MR. ROBERTS: And that was, like,  
9 \$2-and-a-half billion of transmission to get it to  
10 that point. If we look at importing it into DEC,  
11 that transmission path from that substation in  
12 TVA's area all the way through Southern Company  
13 into DEC has got to be constructed or upgraded in  
14 order to facilitate that imported if we want it to  
15 be firm. So there are additional costs associated  
16 with being able to import Oklahoma wind.

17 MR. McDOWELL: Okay. So that hasn't  
18 been studied or envisioned in the -- in the study  
19 that's underway for this public policy analysis; is  
20 that correct?

21 MR. BYRD: That's correct. Typically,  
22 upgrades that might be needed on other people's  
23 systems would not be part of the scope of this  
24 study. But really, the impact it would have on the

1 Duke Energy transmission system would be what would  
2 be determined in this study.

3 MR. McDOWELL: So, Mark, you're saying  
4 Duke customers wouldn't have to share in that cost?

5 MR. BYRD: No, not really saying that.  
6 It's just that that will -- you know, the cost --  
7 you know, like the wheeling costs, you know, will  
8 be annual -- well, monthly fees for wheeling. You  
9 know, there will possibly be different rates for  
10 those upgrades. You know, that was beyond the  
11 scope of this study.

12 MR. McDOWELL: Okay. I think that's all  
13 the questions I have. I appreciate it. And again,  
14 there is some really, really good information in  
15 the IRPs, themselves, and I appreciate your  
16 comments today. Thank you.

17 COMMISSIONER CLODFELTER: All right. We  
18 have been going just about exactly an hour and a  
19 half. Let me do a check-in. I don't recall, as I  
20 sit here this morning, because I don't have my  
21 cheat sheet in front of me, how many additional  
22 presentations we have today. I know intervenors  
23 have one presentation; is that correct, Mr. Smith?

24 MR. SMITH: Yes, that's correct. NCSEA

1 and NCCEBA have one presentation.

2 COMMISSIONER CLODFELTER: And the  
3 Attorney General has a presentation, correct?

4 MS. TOWNSEND: That's correct.

5 COMMISSIONER CLODFELTER: Mr. Josey,  
6 what about the Public Staff? Mr. Josey?

7 MR. JOSEY: Excuse me?

8 COMMISSIONER CLODFELTER: Presentation  
9 from the Public Staff?

10 MR. JOSEY: Yes, there will be a  
11 presentation from the Public Staff.

12 COMMISSIONER CLODFELTER: Okay. Folks,  
13 we have got -- an hour and a half is about all we  
14 have got, and we can slide just a bit, but we are  
15 gonna start losing Commissioners. I'm gonna lose  
16 one at 11:00. So I'm gonna give our court reporter  
17 a 10-minute break here right now. We will come  
18 back at 10:40, and we'll start with Commission  
19 questions on the Duke presentation. And, folks --

20 MR. McDOWELL: Commissioner Clodfelter,  
21 this is Steve. I do not anticipate having  
22 questions for any of the presentations downstream.

23 COMMISSIONER CLODFELTER: Thank you for  
24 that. I just want to be sure we have enough time

1 for them to get through the presentations. So  
2 let's just see where we are. We'll be as flexible  
3 as we can. Court reporter comes first, so we'll  
4 take a 10-minute break here and come back at 10:40.  
5 Please mute your mics and stop your video.

6 COMMISSIONER McKISSICK:  
7 Commissioner Clodfelter, I'm gonna have to leave at  
8 about 11:45.

9 COMMISSIONER CLODFELTER: We are going  
10 to be losing folks anyway beginning at about 11:00,  
11 so let's come back at 10:40.

12 (At this time, a recess was taken from  
13 10:31 a.m. until 10:40 a.m.)

14 COMMISSIONER CLODFELTER: All right.  
15 We'll pick back up with questions for the panel  
16 from Commissioners beginning with  
17 Commissioner Brown-Bland.

18 COMMISSIONER BROWN-BLAND:  
19 Commissioner Clodfelter, I don't have any  
20 questions, but the discussion and the presentation  
21 have been appreciated. Thank you very much.

22 COMMISSIONER CLODFELTER: Indeed. They  
23 have been excellent. Commissioner Gray?

24 COMMISSIONER GRAY: No questions, but I

1 echo the comment.

2 COMMISSIONER CLODFELTER:

3 Chair Mitchell?

4 CHAIR MITCHELL: I, too, appreciate the  
5 information that y'all have shared with us today.  
6 I have, actually, a number of questions, but I'll  
7 just be quick with one or two of them in the  
8 interest of moving along.

9 This one is for Mr. Wintermantel or  
10 Mr. Snider. Mr. Snider, since you're with us  
11 today, you're gonna take in some -- I'm hoping you  
12 can help.

13 Mr. Wintermantel, you mentioned in your  
14 remarks that Duke is already a bit more aggressive  
15 than our neighbors TVA and Southern Company with  
16 respect to the firm reserve margin. So you noted  
17 that we have the 17 percent all-firm margin here  
18 and TVA and Southern, they are like, I think you  
19 said, 22 and 25. Just tell me if I have gotten  
20 that wrong. And then you mentioned Duke's  
21 generator performance. I think I understand the  
22 point you're making, but can you connect those dots  
23 for me so I can make sure I understand exactly what  
24 you're saying?

1 MR. WINTERMANTEL: Sure. Sure. And  
2 overall, it's more of just a comparison of reserve  
3 margin in general. So TVA -- I'm kind of going  
4 back to my notes here -- looks like they are at  
5 25 percent winter reserve margin target and  
6 Southern Company is at 26 percent. So that's  
7 comparable to the 17 percent in Duke.

8 Now, without going and digging details  
9 into those studies to understand why that is, I'm  
10 somewhat speculating that part of that is because  
11 of the large amount of reliance on non-firm imports  
12 in the Duke studies. We know those numbers; we  
13 perform the study. That's that 5-to-8 percent  
14 range, but I also think there could be other  
15 reasons, and that could be, you know, I think, the  
16 generator performance by the Companies, because  
17 that's based on historical data. So we look at the  
18 historical outages and we try to model those,  
19 calibrate the history. I do think the Duke  
20 generators have performed pretty well. I think --  
21 in the appendix of the report, I think you will see  
22 3 to 4 percent type E4s which are pretty good, so.

23 CHAIR MITCHELL: Okay.

24 MR. WINTERMANTEL: Mr. Byrd or

1 Mr. Snider, do you have anything to add there?

2 MR. SNIDER: No. I think, you know,  
3 it's load response, it's generator perform- -- you  
4 know, what are you solving for in a reserve margin.  
5 It's abnormal weather and outages as well as load  
6 forecast error, right? And so, you know, if you  
7 look across those three big variables that you are  
8 solving for, why do I carry a reserve margin? It's  
9 to solve for those three, you know: extreme  
10 weather, unit outages, and load forecast error. So  
11 we -- in our reserve margins, we assume little to  
12 no load forecast error, others may assume load  
13 forecast error. The fact that you might miss the  
14 long-range forecast.

15 Our unit performance, as  
16 Mr. Wintermantel pointed out, is strong, generally,  
17 which helps us carry a lower reserve margin. But  
18 we do have that winter peak response that we need  
19 to be accountable for, and we need to see all our  
20 Southeast peers doing the same. So those are the  
21 three, and I think across those three we carry  
22 slightly lower than our peers, and it's hard to  
23 parse out which one of the three buckets is causing  
24 us to carry the lower reserve.

1 CHAIR MITCHELL: Okay. And that's very  
2 helpful. Thank you. Thanks both of you for your  
3 responses there. That helps me sort of connect the  
4 dots there and better understand the points that  
5 Mr. Wintermantel was making.

6 All right. Last question, and any of  
7 y'all can answer this. We heard from y'all today  
8 about -- extensively about, sort of, the  
9 transmission planning process that the Companies  
10 historically engaged in. I heard that the  
11 transmission planning horizon has been 10 years  
12 historically, and I think I understand why that's  
13 the case.

14 You know, I guess -- and I also heard --  
15 and I think this was Mr. Byrd -- say, if you don't  
16 know where future resources -- or future generating  
17 resources are going to be located, it's difficult  
18 to, sort of, drill down in detail on the -- on the  
19 transmission side. And so there is sort of a  
20 chicken and an egg that goes on, and I very much  
21 understand that.

22 But as we move forward, you know, what  
23 are we going to do about this chicken and egg? And  
24 I think what I've heard Duke say is, it's a



1 chicken-and-egg conundrum. And what I think I've  
2 heard at least some folks for Duke say is that  
3 perhaps we need to look at a more proactive  
4 approach to transmission planning. And, I guess,  
5 someone, sort of, summarize for me what we -- what  
6 we are going to do as we need to increasingly focus  
7 on, sort of, the interplay between transmission and  
8 generation as we contemplate these new builds and  
9 retirements and, you know, the need to understand  
10 costs associated with both as we make decisions for  
11 the future.

12 So just so I'm clear, you know, we need  
13 to -- how do we get to the point where we can  
14 evaluate all costs associated with new additions,  
15 both transmission and generation, with as much  
16 certainty as possible as we face, sort of, this  
17 future of adding new and different types of  
18 resources? So that's -- someone just take a shot  
19 at that and then I'll -- that will be my last  
20 question.

21 MR. ROBERTS: So, Glen, I'll start, and  
22 you can pick up behind me. So we have taken one  
23 step with that in the cluster study process. And,  
24 you know, with that process and getting that

1 implemented for both state and large generator  
2 interconnection FERC jurisdiction queues, that will  
3 hopefully dilute costs and take care of some of  
4 these larger upgrades. It may. That's one of the  
5 purposes of going to the cluster study.

6 I think, going forward, with looking at  
7 the volume and magnitude, megawatts of resources,  
8 especially concentrated, as you see in the  
9 portfolios, like solar, I think that the cluster  
10 study process, if it doesn't take care of that,  
11 we're gonna have to have a proactive approach in  
12 order to meet the timelines associated with  
13 integrating these resources. And when I say  
14 "timelines," I'm talking about, you know, being  
15 able to have, say, all coal retired by 2030, for  
16 example. Those sorts of timelines we're gonna have  
17 to have -- if that's the direction we pursue and  
18 the Commission approves, we're gonna have to have  
19 some kind of proactive approach.

20 MR. SNIDER: And let me just add  
21 briefly, we do -- you know, we are proactively  
22 studying around each of the coal sites, if I don't  
23 replace, what do I need to do. And we have a plan  
24 in place to execute for that. If I do replace on

1 site, how does that help me? We can study that in  
2 some amount of detail.

3 To your point on the chicken or the egg,  
4 it's, if I don't replace on site or -- and it's not  
5 an all/or, right? It's probably maybe some is on  
6 site and some is not. Where -- for that resource  
7 that's not being replaced on site, you know, is it  
8 going to continue to be a -- the catalyst needing  
9 to be the IA -- you know, the interconnection  
10 agreement is needed prior to the build, or do we  
11 get to a situation where you have an informed view  
12 of where you think resources are most likely to  
13 site and you try to build a very cost-effective  
14 larger-scale project that allows more to  
15 interconnect, so it's more of the pull. I call it  
16 either a push/pull, right? Is transmission being,  
17 you know, sort of pushed by IAs, interconnection  
18 agreements, or are you building a grid that allows  
19 for the effective connection of a lot of resources  
20 and you're pulling resources into the system  
21 because you now have a robust grid from which they  
22 can connect.

23 And if you look across the country, I  
24 think you see some people doing both, right? Some

1 where we're at were IA, but in other areas it's,  
2 hey, we think this is a very smart path for a lot  
3 of good reasons. You build out the transmission,  
4 and then you either build or solicit resources that  
5 can connect to that transmission. And I think  
6 that -- you know, that is something -- you know,  
7 especially as we want to add large amounts of  
8 renewables, it may be something to Mr. Roberts'  
9 points that we need to consider.

10 CHAIR MITCHELL: All right. Thank  
11 you-all for that additional information. And I  
12 have nothing further, Commissioner Clodfelter.

13 COMMISSIONER CLODFELTER: Thank you. I  
14 think this topic of this question will come up  
15 again when we have the presentation on the offshore  
16 wind study. There are some things in that study  
17 that speak to this question pretty directly. So we  
18 get a second chance to talk about it then.

19 I will move to Commissioner Duffley  
20 next.

21 COMMISSIONER DUFFLEY: Thank you. Thank  
22 you for the presentations. If I could ask a  
23 follow-up question on Chair Mitchell's question,  
24 and it's with respect to this proactive build-out.

1 And we heard Mr. Byrd talk about it's hard to plan  
2 when you don't know where the generation is  
3 located, but my question is, does it matter what  
4 type of generation connects, or are all megawatts  
5 the same? So if you did a proactive build for  
6 solar, but it's determined actually storage costs  
7 go extremely down and you're putting in something  
8 else, wind plus solar -- or wind plus storage, so  
9 the generation makeup is different than what you  
10 expected, does that make a difference or not? I'm  
11 just thinking about risk of stranded assets or risk  
12 of inefficient build.

13 MR. SNIDER: Go ahead, Sammy. You're  
14 the expert on this, and I will follow up.

15 MR. ROBERTS: So with respect to  
16 technology, it just, you know, depends on its  
17 capability with respect to how it's studied. For  
18 example, with storage, I think I stated in my  
19 presentation that we're gonna have to look at  
20 studying it for both absorbing energy from the  
21 system as well as delivering energy to the system.  
22 For solar, you have a peak around between noon and  
23 13:00 in the afternoon. So that solar peak needs  
24 to be studied, as well as its contribution to

1 summer gross load peak. So, you know, different  
2 resource types require different types of studies.

3 But to your point, I think the  
4 transmission build can further be utilized by other  
5 resources, and it can be a substitute resource,  
6 other than solar or solar plus storage, that can  
7 utilize that transmission build-out. Also, you  
8 know, I would add, with that transmission  
9 associated with wind, there will be some underlying  
10 lower voltage class upgrades that will be needed.  
11 And so that build-out of transmission to  
12 accommodate those incremental resources talked  
13 about prior, that same transmission could be  
14 utilized associated with the bringing in offshore  
15 wind and handling those contingency situations with  
16 a higher voltage transmission system that would be  
17 built for offshore wind.

18 COMMISSIONER DUFFLEY: Okay. Thank you.  
19 And just have a couple more questions, but I will  
20 try to go quickly. With respect to this type of  
21 proactive build-out, I heard some -- someone talk  
22 about the change of power flows, and with  
23 retirements of certain generation and additions,  
24 does the proactive build-out on help with that? Is

1 that a factor as well, or not really?

2 MR. ROBERTS: Yeah. So if you retire  
3 generation and you don't replace it on site with a  
4 similar amount of megawatts, all of a sudden, you  
5 know, when that generation was online and provided  
6 counterflow or support for a certain area, that  
7 void is gonna be there. And that void, with  
8 respect to that counterflow, may exacerbate flow  
9 from, say, the south up to the north with respect  
10 to retiring Roxboro plant and not replacing it on  
11 site. So, yeah, that proactive transmission can  
12 definitely help in that situation, if you retired  
13 Roxboro, didn't replace it on site, and you located  
14 more incremental resources to the south.

15 COMMISSIONER DUFFLEY: Okay. Thank you  
16 for that. Then, Mr. Roberts, you had a slide  
17 showing an example of network upgrades, and this is  
18 just a very -- probably too basic of a question,  
19 but -- so what is the -- you know, in PJM, they  
20 have several different drivers, right? They have  
21 the reliability driver, the market efficiency  
22 driver, and then, kind of, a state public policy  
23 driver for purposes of cost allocation. What's the  
24 driver for network upgrades? When we're talking

1 about network upgrades in DEC and DEP, what is the  
2 driver? Do we have two different drivers as one,  
3 you know, to correct a NERC violation and then  
4 another driver might be to deal with, you know,  
5 market efficiency or congestion or bottled -- you  
6 know, reducing bottled generation? And if there  
7 are two multiple drivers, not just NERC violation  
8 drivers, what was the percentage of each?

9 MR. ROBERTS: So my limited  
10 understanding, Commissioner Duffley, is that  
11 network transmission is primarily for the purpose  
12 of serving the load. And so you're ensuring that  
13 the resources that you have on your system can  
14 deliver those megawatts to the load with proper  
15 network transmission. And so if you have an  
16 external resource, such as in PJM, coming into -- a  
17 new resource coming into the system, CPLE, that's  
18 how the study would be performed, is to ensure that  
19 that can be reliably delivered to the load -- to  
20 serve the load. So I don't think I answered your  
21 question fully, but I will let somebody else on the  
22 panel take a shot if they have further information  
23 to add.

24 MR. SNIDER: At the risk of --



1 MR. BYRD: I'll go. The distinction is,  
2 you know, when you are studying a new generator and  
3 you say it requires a network upgrade, that network  
4 upgrade then becomes necessary to -- for  
5 reliability, to meet the NERC standards to reliably  
6 implement that new generation. That, you know, if  
7 it signs an interconnection agreement, then it  
8 becomes part of your system, then that becomes a  
9 reliability upgrade. So I think that almost all of  
10 the network upgrades really have to do with meeting  
11 the NERC reliability standards. Some of them are  
12 generated because of new network resources or  
13 generators that are connecting to the system.

14 COMMISSIONER DUFFLEY: Okay. Thank you,  
15 Mr. Byrd. And then one last question, because I  
16 know we need to move on. You mentioned the clean  
17 line project, and, just, can you remind me if --  
18 what would be the cost allocation for DEC customers  
19 of upgrades from TVA through Southern? You  
20 mentioned that upgrade would need to occur. What's  
21 that cost allocation?

22 MR. ROBERTS: Yeah. I don't know what  
23 the cost allocation is associated with that leg of  
24 the transmission path that would need to be firmed

1 up to reliably import Oklahoma wind into DEC.

2 COMMISSIONER DUFFLEY: No worries. I  
3 just wondered if you knew off the top of your head.  
4 Thank you. That's all that I have. Thank you.

5 COMMISSIONER CLODFELTER: Thank you,  
6 Commissioner Duffley.

7 Commissioner Hughes?

8 COMMISSIONER HUGHES: Yes. Thank you.  
9 Could one of you comment on the impact we may see  
10 of large fleet electrification? How does this  
11 compare to some of the impacts we have been talking  
12 about in generation, and if it's on the same level,  
13 what kind of planning is going on and what will you  
14 see in the future? Because we haven't talked much  
15 about that here.

16 MR. ROBERTS: Glen, do you want to take  
17 a shot at that question?

18 MR. SNIDER: Sure. You know, let me  
19 start by saying, you know, again, it goes to the  
20 catalyst, what's causing the need for more grid  
21 infrastructure transmission. There's load growth,  
22 and then there's large generator interconnection,  
23 right, our two big catalysts. And, correct,  
24 Commissioner Hughes, we haven't really been

1 discussing much about low growth and what low  
2 growth may do to require grid upgrades. But, you  
3 know, I think what you're talking about with, like,  
4 large fleet, you know, it will have, I think, first  
5 and foremost, probably distribution interconnection  
6 issues, in terms of, you need to have a robust  
7 enough distribution system to have charging  
8 stations for those large fleets that are converting  
9 from hydro fuels to electric. But then, in  
10 aggregate, that will also need a grid that can  
11 support that. So the catalyst for those upgrades  
12 works in -- comes in through the load forecast and  
13 the need and specific load pockets that are growing  
14 faster. It sort of speaks to some of the benefits  
15 of our ISOP initiatives where we're looking at more  
16 granular forecasting of distribution and  
17 transmission needs due to electrification and being  
18 able to be proactively building in front of it.

19 So, you know, to some extent, those come  
20 in through a different -- in my mind, through a  
21 different channel, triggering growth to meet  
22 native -- or triggering transmission build or  
23 mostly distribution build to meet pockets of load  
24 growth. And, you know, the whole ISOP initiative

1 is gearing towards being able to be in front of  
2 that and plan for and predict, to Mr. McDowell's  
3 question about minimizing risk, not be surprised by  
4 where these requirements are going to happen and  
5 proactively planning for that growth.

6 I don't know if that directly answered  
7 your question, but, you know, I just think of that  
8 a little bit differently than large generator  
9 interconnection.

10 COMMISSIONER HUGHES: Are there  
11 surprises to come, or -- are you confident that  
12 it's imbedded now, or do we have some surprises in  
13 front of us?

14 MR. SNIDER: You know, I think, to the  
15 extent there is great debate over the pace of  
16 electrification -- not just large vehicle, you  
17 know, commercial, industrial, heating load being  
18 electrified -- we're gonna -- I think that really  
19 speaks to the value of having a robust ISOP  
20 process, because there certainly is gonna be  
21 surprises. If you read the literature, there is a  
22 variety of opinions on the pace at which  
23 electrification is gonna happen by sector, and, you  
24 know, you want to be in front of that and not

1 slowing that. As the utility, with an obligation  
2 to serve, we certainly want to be in front of and  
3 promoting the appropriate amount of  
4 electrification, and I think, you know, certainly a  
5 lot of surprises to come. So I would say we don't  
6 know today exactly where that's going to be, but  
7 we're attempting to build an infrastructure and  
8 planning infrastructure that allows us to stay in  
9 front of it as the -- you know, as the industry  
10 unfolds.

11 COMMISSIONER HUGHES: Okay. I will look  
12 forward to those surprises. That's all the  
13 questions.

14 COMMISSIONER CLODFELTER: Thank you.  
15 Commissioner McKissick?

16 COMMISSIONER MCKISSICK:  
17 Commissioner Clodfelter, in the interest of time, I  
18 am going to take a pass and not ask any questions,  
19 but I might suggest to you that we, as  
20 Commissioners -- maybe we could speed through the  
21 remainder of what we need to do and conduct if we  
22 consider submitting written questions. I know the  
23 written questions don't allow an opportunity for  
24 follow-up that we like to have sometimes. I think

1 we have 58 minutes left.

2 COMMISSIONER CLODFELTER: You are  
3 thinking ahead, and I appreciate that. I have been  
4 doing likewise. I have a couple of proposals, but  
5 let's keep going for a while, and then I will  
6 surface those proposals, depending on where we are.

7 COMMISSIONER MCKISSICK: Thank you.

8 COMMISSIONER CLODFELTER: Mr. Roberts, I  
9 have one quick follow-up to Commissioner Duffley's  
10 question. Mr. Roberts, are you still there?

11 MR. ROBERTS: Yes, sir.

12 COMMISSIONER CLODFELTER: The clean line  
13 project, is that classified and identified for  
14 planning purposes as a regional or an interregional  
15 project?

16 MR. ROBERTS: Yeah, so I believe that  
17 crosses two regions, so it would be interregional.  
18 And this project was conceived and costs were  
19 allocated to it back in the 2013 time period. So  
20 those costs will definitely probably need to be  
21 updated.

22 COMMISSIONER CLODFELTER: That's fine.  
23 If it's so classified, I could track down the  
24 follow-up information I need. Thank you for that

1 answer.

2 MR. ROBERTS: You're welcome.

3 COMMISSIONER CLODFELTER: Members of the  
4 panel, that was a very high-quality presentation.  
5 You took the challenge I made on Friday afternoon  
6 and you met it, so I thank you for that.

7 We will move to -- Mr. Smith, you are  
8 next.

9 MR. SMITH: All right. Good morning.  
10 Mr. McCoy, could you allow me to share my screen?  
11 I will go ahead with my introduction while he does  
12 that. I am introducing Jay Caspary, who is a  
13 presenter on behalf of NCSEA and NCCEBA.  
14 Jay Caspary is the vice president at Grid  
15 Strategies, LLC. He's been there since  
16 September 2020. Prior to that he worked for  
17 20 years at the Southwest Power Pool as -- among  
18 other things, but finally as the director of  
19 research development in tariff services. He also  
20 worked at the Department of Energy from 2012 to  
21 2013 as a senior policy advisor on electricity  
22 delivery and energy reliability. And from 1981, I  
23 believe, to 2000 he worked at Illinois Power in  
24 various roles, including transmission

1 planning-related roles.

2 Mr. McCoy, it still is not allowing me  
3 to share.

4 (Pause.)

5 MR. CASPARY: While that's coming up,  
6 can I start talking, since we have limited time?

7 COMMISSIONER CLODFELTER: You may do so.  
8 Thank you.

9 MR. CASPARY: Thanks, Ben, for running  
10 the slides, and good morning, Chair Mitchell and  
11 Commissioner Clodfelter. Thank you for giving me a  
12 chance to talk to you a little about transmission.  
13 I think it's very important that you're seeing --  
14 you're realizing how important transmission is for  
15 long-range planning and to having an efficient  
16 grid, and I appreciate the chance to talk a little  
17 bit about this topic which is near and dear to my  
18 heart.

19 As Ben pulls up the slides, let me give  
20 you a little bit of background. I want to make a  
21 comment, I guess, on what Mr. Wintermantel said  
22 about Southwest Power Pool not relying on non-firm  
23 capacity resources in the determination of its  
24 planning reserve margin. And while that is true, I



1 think it's important to also realize that Southwest  
2 Power Pool has a planning reserve margin target of  
3 only 12 percent, and that may seem very low, and it  
4 is low because it can be an effective level of  
5 reserves given several factors, primarily a robust  
6 transmission system that's been built over the last  
7 decade, as well as expanding markets and -- to  
8 accommodate more and more renewables and the  
9 ability to share resources across broad geographic  
10 regions and take advantage of load diversity and  
11 weather patterns and things like that. You know, a  
12 lot has changed, but I think bigger is better, and,  
13 clearly, that's one of the things that Southwest  
14 Power Pool found out and has actually benefitted  
15 their customers by lowering their planning reserve  
16 margin.

17 Ben, do you have my slides? Are you  
18 gonna go through them? I'm not seeing them, but  
19 that's okay.

20 MR. SMITH: They are coming up right  
21 now. I apologize.

22 MR. CASPARY: No problem. Let's move on  
23 to slide 4. I am going to fly through some  
24 industry overview slides really quick. I want to

1 focus on the questions at the end, and -- but I  
2 appreciate any follow-up questions you might have  
3 about my slides.

4 Transmission and renewable energy are  
5 inescapably connected. If you look at the  
6 renewable resources that have the highest quality,  
7 generally they are far from load centers, and they  
8 require transmission to be delivered effectively  
9 and efficiently to customers.

10 One thing -- you will see that, in broad  
11 interconnection, wide- or even national-scale-type  
12 studies is the need for lots of major transmission  
13 connectivity to help balance the system and deal  
14 with, you know, wind excesses in the plains  
15 offsetting, you know, the lack of solar resources  
16 in the desert Southwest. And the same thing could  
17 be happening in the Southeast even, where you need  
18 transmission to provide flexibility and optionality  
19 to support grid operations and deal especially with  
20 things like extreme weather events.

21 On slide 5 I go over the generation  
22 interconnection queue. There is thousands and  
23 thousands of megawatts of generation that is stuck  
24 in the queues right now. It's good to hear that

1 Duke is trying to get to a clustering process.  
2 That's going to be much more efficient and  
3 effective for the GI clearing, but there is lots of  
4 solar and hybrid projects that are entering the  
5 queues across the U.S. Even in the Southeast there  
6 is 60,000 megawatts of solar in the queue, as well  
7 as about 40,000 megawatts of hybrid storage  
8 projects, and that's based on data from Lawrence  
9 Berkley National Labs.

10 One of the things that we see in all  
11 these big studies, it looks at, you know, how do we  
12 decarbonize this electricity system? We are gonna  
13 need lots of transmission. Most of those studies  
14 say we need two to three times as much transmission  
15 capacity that we have today. The good news is that  
16 we are rebuilding a lot of the existing system, and  
17 there may be opportunities to upgrade and  
18 rightsize, maybe even take advantage of new designs  
19 of transmission structures and configurations to  
20 increase the capability to move power down existing  
21 corridors without having to build new transmission  
22 lines.

23 So I'm a big fan of advanced  
24 transmission technologies, advanced conductors, as

1 well as grid-enhancing technologies. And I don't  
2 think grid-enhancing technologies are necessarily  
3 an alternative to offset long-term transmission  
4 expansion planning, but definitely they are a  
5 bridge to the future. And they can help us  
6 accelerate the integration of renewables prior to  
7 the construction of major transmission upgrades  
8 that are going to be needed, but it just takes a  
9 long time to get those projects approved and  
10 permitted and sited and built and commercial.

11 Ben, are you having any luck on the  
12 video?

13 MR. SMITH: No. I have restarted -- oh,  
14 yes, here it goes. All right.

15 MR. CASPARY: Okay. Great. I want to  
16 spend a couple of minutes just to go over a study  
17 that was done, on slide 7, that talks about  
18 unlocking the queue. And just very briefly,  
19 Southwest Power Pool has about 9,000 megawatts of  
20 primarily wind projects that are stuck in the  
21 queue, and those are only in the states of Oklahoma  
22 and Kansas.

23 So what we did through the WATT  
24 Coalition on a study that was done by Brattle was

1 to look at how many of those projects that are  
2 actually stuck in the queue can be integrated  
3 reliably to the system today -- in 2025, based on  
4 current reliability requirements, thermal and  
5 voltage criteria. And in a change case, we wanted  
6 to see how many of those could we add with the help  
7 of grid-enhancing technologies, specifically  
8 dynamic line rating, advanced topology,  
9 optimization, and advanced power flow controllers.  
10 And we did this looking at the aggregate  
11 combination and the benefit of those technologies.

12 Let's go forward. So we're looking at  
13 2025 models based on the actual 2019 and 2020  
14 experiences in actual operating models to see how  
15 many more renewables we can integrate on the SPP  
16 system using their reliability requirements and  
17 looking at lots of optimal power flows.

18 Let's go forward. I'm not gonna spend a  
19 lot of time on these technologies, but at the top  
20 right you can see that is the queue. The resources  
21 that are actually stuck and not moving forward,  
22 there is over 9,000 megawatts of wind. Most of  
23 that is in Oklahoma. Some solar in both Oklahoma  
24 and Kansas. But you can see that, in the base

1 case, if we do nothing to take advantage of  
2 advanced transmission technologies or  
3 grid-enhancing technologies, you can integrate  
4 about 2.6 gigawatts of new resources in SPP  
5 reliably. Now, if we looked at adding  
6 grid-enhancing technologies, we can more than  
7 double that and -- which is significant. And I'm  
8 an engineer, and I expected to see an improvement,  
9 but nothing like this, and that's despite the fact  
10 that we used very conservative assumptions. Let's  
11 go forward to the next slide.

12 This analysis showed basically a  
13 six-month payback for these assets with potential  
14 benefits of over \$175 million of annual production  
15 cost savings in SPP, and we extrapolated those  
16 across the U.S., and they are very, very big  
17 numbers on the left.

18 On the right you see, actually, how does  
19 the \$90 million of upgrade compare to the cost of  
20 adding the new 2.7 gigawatts of renewables. And  
21 you'll see that it's very small. It's less than  
22 2 percent of the estimated capital cost of the  
23 renewable projects. So I'm sure there is  
24 developers that would gladly fund these projects to

1 get their renewable projects on line, connected,  
2 and serving loads sooner rather than later, and not  
3 having to wait for major transmission upgrades.  
4 Let's go forward.

5 The next slide just shows the actual  
6 details of the technologies that were being  
7 deployed. This would mean a lot to engineers that  
8 want to know more about dynamic line ratings, how  
9 many applications -- most of the applications are  
10 in the 138 and 161 system, and that forces the flow  
11 up on the 345 system, which is the backbone in SPP.

12 We will see a lot of circumstances where  
13 we use software to reconfigure the system to  
14 alleviate congestion on the system, which  
15 typically, again, is at the lower voltage systems  
16 that -- to force the flows up on the higher voltage  
17 systems that have a lot of latent capacity that we  
18 just don't utilize because we don't have sensors  
19 and we don't have knowledge and algorithms in place  
20 to help us take full advantage of potential  
21 reconfigurations of the system. The last  
22 technology we looked at were powerflow controllers.  
23 These are devices that actually help you to push  
24 power on the lines that have latent capacity or

1 pull power off lines that are getting overloaded.  
2 These are proven devices that are being used around  
3 the world, and they are just not an incentive yet  
4 to deploy them in the U.S., and we are trying to  
5 work with the WATT Coalition and FERC on making  
6 that happen in a shared-savings docket. Let's go  
7 forward if we can. I'd like to get through these  
8 slides.

9 There is a lot of deficiencies. You've  
10 heard some of this. I don't want to belabor this  
11 issue, but the changing resource mix, and looking  
12 at how do you plan 10, 15, 20 years out in the  
13 future. We know there is very, very aggressive  
14 decarbonization goals by utilities, by customers,  
15 by states, municipalities, that aren't being  
16 reflected in current plans, and I think it's  
17 prudent for us to look at what we really think is  
18 gonna happen in the future. Even though we are  
19 gonna have to make assumptions about resources, we  
20 do that about loads today and other parameters that  
21 drive our power flow analysis. We can do this. We  
22 just need to, kind of, think a little bit outside  
23 the box. Let's go forward, if we can, to the next  
24 slide.



1                   One of the things I'd encourage you to  
2                   look at is the report we published back in January  
3                   that looked at planning for the future and how  
4                   things could be done differently and more  
5                   efficiently if we'd look, basically, at more  
6                   wholistic planning, to focus on actually what do we  
7                   expect the resource mix to be? What are the  
8                   benefits of adding transmission capacity? You  
9                   know, it's not just economic benefits. There is  
10                  probably reliability benefits, security benefits,  
11                  and other benefits that transmission provides us  
12                  because it is such a flexible resource that  
13                  provides lots of optionality for future resource  
14                  plans.

15                  So this report is posted. I'd encourage  
16                  you to check out the report as well as the website  
17                  and the video that's included. I think over a  
18                  dozen of the former FERC chairs that supported this  
19                  effort, and a lot of that is being rolled into the  
20                  ANOPR right now that's going on at FERC with  
21                  comments due next week. So it's a timely topic.  
22                  Let's move forward if we can. Thank you.

23                  Winter Storm Uri is a classic example of  
24                  the major benefits you get from transmission that

1 probably weren't considered when you approved it,  
2 designed it, and got it built in place. So many of  
3 the projects in SPP as well as MISO have been built  
4 to move wind energy from west to east. These same  
5 projects were critically important to provide  
6 critical service from PJM in the Southeast to the  
7 West during Storm Uri. There's been analysis that  
8 shows that ERCOT could have benefitted by saving  
9 \$1 billion if they had an additional gigawatt of  
10 connectivity to the Southeast. Projects like  
11 Southern Cross would have provided twice that.  
12 2,000 megawatts of capacity into the ERCOT market  
13 would have saved a lot of money and a lot of lives  
14 and helped them ride through that storm.

15 Other things about the NERC -- and FERC  
16 have just released a preliminary report on the  
17 findings, and they talk about how we need to do  
18 studies of large power transfers on stressed  
19 systems, and that ERCOT needs additional  
20 connections, and that's not a surprise. It would  
21 have helped immensely if they had.

22 The next slide shows what happened on  
23 February 12th -- February 15th, sorry, and the  
24 congestion that's shown in the Illinois/Indiana

1 border between the PJM system to the east and the  
2 MISO system to the west. Now, MISO at the time was  
3 importing 13,000 megawatts of power, again, across  
4 these same MVP lines that were built primarily for  
5 renewable deliveries from western MISO to eastern  
6 MISO. Transmission is -- enables and defines  
7 markets and is a real benefit for resiliency in  
8 extreme weather events.

9 On the next slide, actually shows the  
10 flows that were in and out of MISO. The top, you  
11 see the exports to SPP and how they cut off late on  
12 February 15th and early February 16th. That's when  
13 SPP was short and had to curtail load after ERCOT  
14 had already been in trouble and was curtailing  
15 load. And curtailments also occurred in MISO  
16 south. So this shows that we are a part on an  
17 interconnected network, and we need to take full  
18 advantage of the transmission system and consider  
19 what it can do, especially for resiliency-type  
20 events. Let's go forward if we can.

21 As I mentioned, the ANOPR is out there  
22 right now. A lot of people are working today and  
23 the next few days to get comments out. I'd  
24 encourage you to at least monitor this and be

1 engaged. I think it's gonna have a drastic effect  
2 on how we do generation interconnection studies,  
3 how we do planning studies, how we define  
4 benefit-to-cost analysis, how we try to get more  
5 interregional and regional projects completed in  
6 advance of the need of the resource mix so that we  
7 could actually enable the cheapest and best  
8 resources to get into the markets and to actually  
9 facilitate the retirements of some of these old  
10 dirtier units that seem to be a challenge for a lot  
11 of reasons. Let's go forward.

12 So I'd like to talk about the grid  
13 impacts over the next 10 minutes, and the specific  
14 issues in this hearing. So thank you. Let's go  
15 forward.

16 Transmission assumptions are critical.  
17 As I said, transmission defines and enables  
18 markets, provides lots of flexibility through  
19 increased connectivity and options that you just  
20 don't get from other power-generation resources or  
21 demand-response resources.

22 A study by Brattle was done. It looked  
23 at Duke's solar integration service charge, noting  
24 that -- the inflexibility to the gas resources in

1 Duke and how that affected the load-falling  
2 capability. I would encourage Duke to think about  
3 what transmission might be able to do to help with  
4 some ancillary services and help its system become  
5 more flexible and to get access to cheaper, cleaner  
6 resources, maybe external to the system, and, at  
7 the same time, facilitate exports off system when  
8 Duke has excess and the other systems need help.  
9 Because we've certainly seen that systems need to  
10 lean on each other more and more with extreme  
11 weather. Let's go forward, please.

12 In the grid strategies report, I just  
13 want to clarify something. Duke misconstrued a  
14 statement that we did not advocate least-cost  
15 planning, and that's not true. I'm a big fan of  
16 least-cost planning, especially if you want to  
17 maximize the net benefits to consumers and have  
18 least regrets. Hopefully, that is the least-cost  
19 planning scenario, so just wanted to clarify that  
20 quickly. Let's go forward.

21 Transmission is lumpy. And we have seen  
22 that and we've heard about that. There is  
23 tremendous economies of scope and scale of  
24 transmission. I would encourage Duke to consider

1 maybe potentially rightsizing or upsizing some of  
2 their 230 kV circuits to get 500 kV capability,  
3 especially if these facilities are adjacent to  
4 zones where they know -- that are prime candidates  
5 for solar development down the road or helping to  
6 integrate offshore wind you know, 5, 10, 15 years  
7 down the road. It takes so long to build new  
8 transmission, we have to find ways to take  
9 advantage of the existing system, especially the  
10 rights-of-ways. Those are critically important.  
11 Let's go forward.

12 The -- I'm impressed by the  
13 North Carolina Transmission Planning Collaborative  
14 report. I'm glad to see the findings. There are a  
15 lot of places in that report where you could inject  
16 hundreds of megawatts of offshore wind at  
17 tremendously low prices, in my opinion, with very,  
18 very modern upgrades, even up to 1,000-megawatt  
19 scale.

20 Now, granted, some of those facilities,  
21 especially in northeast North Carolina, that are  
22 gonna have to be coordinated with Duke or with --  
23 I'm sorry, Dominion, clearly, you need some joint  
24 planning to capitalize on the joint benefits of

1 major transmission upgrades to integrate offshore  
2 wind. There are benefits of injecting, you know,  
3 2- to 3- to 5,000 megawatts into the system,  
4 especially if you get up to the higher voltages.  
5 But you're gonna have to deal with wheeling  
6 charges, as mentioned by others, as well as the  
7 effective system upgrades. So you have to plan  
8 these systems together, and I'm glad to see that  
9 that's the direction Duke's been going. Let's go  
10 forward.

11 Improved collaborative plan I think is  
12 really a key success factor, and that's being shown  
13 in the North Carolina Transmission Planning  
14 Collaborative with the Southeast Wind Coalition  
15 scenarios. I'm looking forward to seeing those  
16 results, and I hope Duke and Dominion can continue  
17 to work together to find the best solution for  
18 everybody for onshore and offshore transmission  
19 expansion, to take full advantage of that  
20 high-quality resource off the North Carolina backs.  
21 Let's go forward.

22 This is just a little bit more on the  
23 same study. One of the things I wanted to  
24 compliment Duke on was the upgrades. You know, you

1 are trying to optimize the system you have and then  
2 reconductor that system and then rebuild it before  
3 you build new transmission lines. I think that's a  
4 great practical approach. Although, I do recommend  
5 that we look long-term and really understand what  
6 we need for the system long-term, based on  
7 reasonable expectations, as I noted in my comments  
8 on the ANOPR. Let's go forward, please.

9 Proactive planning studies reduce costs.  
10 And here's an example from PJM where they looked at  
11 the cost -- and PJM's using cluster studies now,  
12 like most people are. I'm glad to hear that Duke  
13 is moving forward from a sequential serial  
14 processing to cluster approach. That's gonna be a  
15 great -- a much better, faster solution of lower  
16 cost to the GI projects.

17 But PJM has looked at offshore wind  
18 development. And if you look at traditional  
19 clusters and add up the cost to integrate about 15  
20 and a half gigawatts of offshore wind at PJM, you  
21 got about \$6.4 billion of cost, which is about \$400  
22 a kilowatt, and that's based on the traditional  
23 approach.

24 Now, on the next slide, PJM decided to



1 look at this proactively, and they found that they  
2 could integrate 17 gigawatts of offshore wind, not  
3 looking incrementally at one-off GI leads and  
4 network upgrades assigned to specific projects one  
5 at a time, but looking at them in aggregate, and  
6 they found that the cost to integrate 17 gigawatts,  
7 if it was optimal, if it was proactive, and looked  
8 at all the benefits to all the generators and how  
9 they interact, that it would only be \$3.2 billion,  
10 less than \$188 a kilowatt. So the cost was half,  
11 if you would look proactively and long-term, and I  
12 think that's really important. I'd encourage Duke  
13 and Dominion and its neighbors to continue to do  
14 joint planning and long-term together. Even get  
15 out the 15- and 20-year models. I know there is a  
16 lot of uncertainty, but there is also a lot of  
17 value in having transmission that can facilitate  
18 renewable integrations. We see that in Nevada with  
19 the Greenlink projects. We see that out in  
20 Colorado with the clean power pathway project that  
21 Public Service Colorado's building to get ahead of  
22 the curve, to facilitate renewable integration at  
23 scale with the highest quality renewables becoming  
24 part of their fleet sooner rather than later. So

1 let's move forward a few more slides.

2 In conclusion, you can see that the PJM  
3 study shows that the reliability upgrades necessary  
4 for offshore wind to meet public policy goals  
5 provide substantial benefits to the footprint and  
6 even lower customer cost. So that's a win/win. We  
7 need to find a way to do that, get that into our  
8 processes. Let's go forward.

9 One of the things that I'd like to  
10 stress is the need to take full advantage of the  
11 aging infrastructure. And decisions are being made  
12 today to replace a lot of old lines that were built  
13 in the '50s, '60s, and '70s, and we've got to find  
14 a way to leverage that in our long-range plans.  
15 And again, the ACEG report noted there is a good  
16 way to get some insights into what we might do  
17 going forward. So let's go forward.

18 I want to push my way through this. I  
19 apologize for going so fast. I do think that Duke  
20 can show a little more rigor in their analysis and  
21 assumptions. They mention that and how they are  
22 trying to refine the processes, and that -- the  
23 analysis for the offshore wind scenarios that are  
24 in the works. I encourage that. But coordinated

1 studies are so important. You've got to do this if  
2 we are going to get to a co-optimized generation  
3 and transmission system. And electricity cost to  
4 consumers, as well as the risk, can be reduced if  
5 we do proactive scenario-based multi-value and  
6 portfolio-based planning studies. That's very  
7 different than doing GI over here and transmission  
8 planning over there. Cost allocations differ  
9 between each approach, because we know that a  
10 reliability project provides economic benefits and  
11 vice versa. Let's go forward. As well as  
12 resiliency benefits lately.

13 I think, you know, this is a little bit  
14 more depth about the coal retirements and the  
15 pockets of available transmission. There are tools  
16 out there, and Duke can conduct these of find out  
17 how much capacity is available when, to actually  
18 facilitate quicker interconnections for renewable  
19 projects. Let's go forward. Thank you.

20 One of the biggest things -- and I see  
21 this in a lot of forums -- is transmission is an  
22 afterthought when it comes to IRPs, and I think  
23 that's not serving us very well. Transmission has  
24 so much value it can provide, in terms of

1 capabilities and optionality, that it has to be  
2 considered as one of the key components of any  
3 integrated resource planning effort. I know that's  
4 hard to do, given current processes and tariff  
5 requirements, but I think we need to find a way to  
6 do that and get that transmission planning into the  
7 IRP processes. Let's go forward.

8 I want to wrap this up. There is a lot  
9 of details in here about the assumptions. You  
10 know, the cost to import 10 gigawatts of offshore  
11 wind was, what, \$8 billion? I mean, it's a lot of  
12 money. And they just assumed it was twice the cost  
13 to add -- to import 5 gigawatts. I think there is  
14 tremendous economies to scale that need to be  
15 captured. Little bit sharpening of the pencil will  
16 help a lot. Let's go forward.

17 You can see the reference to the data  
18 request, that there really wasn't much effort by  
19 Duke to look at what could happen at the end of  
20 life in corridors. I think this is really  
21 important and needs to be part of the planning  
22 process at Duke and with its neighbors as it goes  
23 forward. Let's go forward.

24 The failure to capture benefits of

1 optimized and least-cost planning. We don't see  
2 that, you know, especially beyond the first two  
3 gigawatts of developments in here. It's in the  
4 same cost per kilowatt of installation and  
5 integration in terms of network upgrades. I think  
6 that's overly simplistic, and we need to refine the  
7 analysis and sharpen the pencil as I mentioned  
8 before. Let's go forward.

9 I want to wrap this up. Modeling by  
10 Synapse suggests that, you know, significantly more  
11 energy -- clean energy developments with lower cost  
12 could be integrated into the resource plans. And  
13 then, as a result, that Duke could get the  
14 economies of scale for a more efficient and  
15 effective bulk system and projects. Duke didn't  
16 consider these at all from what I can tell. I  
17 encourage them to do that going forward. Let's go  
18 forward to the next slide, and we're gonna wrap  
19 this up.

20 That's where I'm at. I appreciate your  
21 time. I'm sorry I rushed through this so quickly.

22 COMMISSIONER CLODFELTER: Mr. Caspary,  
23 we understand the constraints you are operating  
24 under, and we appreciate your efficiency. You got

1 through an awful lot of material. Thank you for  
2 that.

3 Mr. McDowell, I understand you don't  
4 have any questions; is that correct?

5 MR. McDOWELL: That's correct.

6 COMMISSIONER CLODFELTER: All right.  
7 Let's go to Commissioners, and I think  
8 Commissioner Gray, you're first up.

9 COMMISSIONER GRAY: I have no questions,  
10 but it was a great presentation, even quick,  
11 though.

12 COMMISSIONER CLODFELTER: All right.  
13 Chair Mitchell?

14 CHAIR MITCHELL: No questions. Thank  
15 you.

16 COMMISSIONER CLODFELTER:  
17 Commissioner Duffley?

18 COMMISSIONER DUFFLEY: No questions.  
19 Thank you.

20 COMMISSIONER CLODFELTER:  
21 Commissioner Hughes?

22 COMMISSIONER HUGHES: No questions as  
23 well. Thanks.

24 COMMISSIONER CLODFELTER:

1 Commissioner McKissick?

2 COMMISSIONER MCKISSICK: No questions.

3 COMMISSIONER CLODFELTER: All right.

4 Mr. Caspary, you can't get off without at least one  
5 question. Is there any system, RTO or ISO or any  
6 independent system, that's in the United States  
7 that is making extensive use of any of the gas  
8 technologies that we could take a look at as a case  
9 study?

10 MR. CASPARY: Not yet. There are  
11 pockets of them being deployed, primarily as pilot  
12 projects. They are getting more and more  
13 attention, and I would expect that, if you looked  
14 at what's going -- it's hard for me to even keep up  
15 with what's going on with dynamic line rating  
16 companies, because there are so many installations  
17 out there right now. There is actually a big  
18 project at PJM that was put in by PPL to basically  
19 offset a market efficiency project, to actually put  
20 in dynamic line ratings in PJM to actually  
21 understand the line rating, and not necessarily  
22 rebuild or build an adjacent facility because that  
23 line is shown to be overloaded. And I think the  
24 results are going to be very enlightening, in terms

1 of helping people understand that maybe the  
2 assumptions that are used in planning models for  
3 static line ratings are too conservative, and we  
4 need to maybe loosen them up a little bit and be  
5 more realistic. And there is other technologies  
6 too that are being -- a lot of case studies are out  
7 there, and smart wires are installed in a lot of  
8 devices on the systems. Not necessarily in the  
9 U.S. Mostly in the UK, Australia, and around the  
10 world where they have a different incentive  
11 structure for utilities to do that. Thank you. I  
12 appreciate the questions and look forward to any  
13 follow-up online -- off line too.

14 COMMISSIONER CLODFELTER: Thank you.  
15 You have given us a number of topics. We know how  
16 to find you to get follow-up.

17 Yes, Chair Mitchell?

18 CHAIR MITCHELL:  
19 Commissioner Clodfelter, one question. You know,  
20 the -- you point out, sort of, what Duke's failures  
21 with respect to its -- the transmission analysis  
22 included in its IRP, and so just two things. I  
23 mean, I think in the discussion today with Duke  
24 they've -- they -- there seems to be some agreement



1 between you-all that some changes in the  
2 transmission planning process should occur, you  
3 know. So I kind of -- I see -- I think I heard  
4 them headed in -- or at least maybe partially  
5 headed in the direction that you suggest they need  
6 to go. Am I wrong about that?

7 MR. CASPARY: No, I think you're right.  
8 Thank you. Yeah. It's a question of timing and a  
9 sense of urgency, and do you wait for FERC ANOPR  
10 comments and then debate about whether you need to  
11 change the planning process or the GI process or do  
12 you get ahead of that curve --

13 CHAIR MITCHELL: Understood.

14 MR. CASPARY: -- and do it because it's  
15 the right thing to do? Hopefully, they are gonna  
16 be more proactive and take advantage of  
17 capabilities that exist today that just aren't in  
18 the current tariffs and other processes. Thank  
19 you.

20 CHAIR MITCHELL: Last question for you  
21 is, to -- just for our own edification, is there a  
22 jurisdiction -- is there a state right now that is  
23 utilizing some of these transmission planning  
24 processes that you advocate?

1 MR. CASPARY: Yeah. And you've heard  
2 this before. Colorado, I think, is the leader,  
3 Nevada is the leader. They are building  
4 transmission proactively to actually lower the cost  
5 of actual approved capacity additions, to  
6 facilitate earlier retirements of fossil fleet and  
7 accelerate the integration of renewables.

8 CHAIR MITCHELL: And do you know if  
9 those processes are being conducted pursuant to  
10 state law or is that just pursuant to existing  
11 authority that those Commissions have?

12 MR. CASPARY: I think there have been  
13 law changes, at least in Colorado, that have  
14 facilitated that, yes.

15 CHAIR MITCHELL: Okay. Thank you for  
16 that. I appreciate it. Nothing further.

17 COMMISSIONER CLODFELTER: Mr. Caspary,  
18 thank you for being with us today. All right.  
19 We -- let me check in on something, and this is a  
20 proposal I am going to make. Mr. Josey, where are  
21 you? There you are. We have got the Attorney  
22 General's presentation, and they have a third-party  
23 presenter, so I'm going to proceed in that order  
24 and take their presentation next. Your presenters

1 are all on staff, correct?

2 MR. JOSEY: Yes. We only have one  
3 presenter, it's Mr. Metz, and I believe his  
4 presentation is only about three minutes, so.

5 COMMISSIONER CLODFELTER: Okay. Well,  
6 then, that changes what I was going to propose. I  
7 was going to suggest we sandwich you in at some  
8 other point in our agenda where we've got you just  
9 across the hall and we could call you over and get  
10 you in, but if you've only got about three minutes,  
11 Ms. Force, let's plow ahead and let's take your  
12 presentation next, Ms. Force.

13 MS. FORCE: Thank you, Commissioner.  
14 I'd just like to introduce Edward Burgess again  
15 from Strategen and turn it over to him.

16 COMMISSIONER CLODFELTER: Welcome back,  
17 Mr. Burgess.

18 MR. BURGESS: Thank you, Commissioners.  
19 I'm gonna attempt to call up my slides here, if I  
20 can have access to the shared screen. Okay. Can  
21 you-all see and hear this? Great. Thank you.

22 I will skip my introduction, since I  
23 introduced myself last week, and just jump in to  
24 topic 3 here on grid impacts. You know, two main,

1 kind of, issues that I wanted to cover. First of  
2 all, that, you know, from the -- you know, our  
3 assessment and the Attorney General's review of the  
4 IRP, you know, we felt that there would need to be  
5 more analysis and transparency going forward of  
6 some of the very significant transmission and  
7 distribution investments that Duke is planning.  
8 And I'll give an example of that, you know,  
9 relating to the transmission for coal retirements.

10 And then second, you know, we wanted to  
11 just touch on the fact that increased understanding  
12 of Duke's grid interactions is going to be  
13 increasingly important going forward for a variety  
14 of reasons, and so, you know, that's a really  
15 fundamental part of resource planning, and we have  
16 a few recommendations on that front.

17 So just to start, you know, one of the  
18 reasons we're interested in more transparency on  
19 these transmission plans is just the sheer, sort  
20 of, scale of the investment that we're talking  
21 about here. You know, Duke has been presenting to  
22 its investors that it plans to invest about  
23 \$17 billion over the next five years in T&D, you  
24 know, not

1 15 -- 10 or 15 years, but -- so from a planning  
2 perspective, we are really rapidly entering this  
3 execution stage, and should be able to hopefully  
4 drill into some of the specifics of what's being  
5 planned.

6 You know, and in particular, Duke's made  
7 a lot of claims about certain transmission  
8 investments that are needed to retire some of its  
9 coal plants, and I want to dive into those in  
10 particular. And I think it's especially worth  
11 noting that, you know, these costs associated with  
12 the coal plant retirements are actually, you know,  
13 wind up delaying the retirement of certain coal  
14 plants in Duke's economic assessment. You know,  
15 it's sequential peaker analysis. So in order to  
16 avoid incurring those costs, you know, we're seeing  
17 delayed plant retirements. And so this -- you  
18 know, it's really important, I think, to gain a  
19 full understanding of what these transmission costs  
20 are.

21 You know, so based upon our review, we  
22 think there is a lot of unanswered questions about  
23 the transmission needs for these coal retirements  
24 based on the public and confidential information

1 Duke provided. You know, some of the details Duke  
2 provided on its transmission analysis were  
3 confidential, so out of abundance of caution, the  
4 Attorney General's marked these slides  
5 confidential. Without going into the specific  
6 details I --

7 COMMISSIONER CLODFELTER: Mr. Burgess,  
8 I'm sorry to interrupt you, but at least on my  
9 screen, the confidential information is appearing.  
10 So you may want to check your slide -- your screen  
11 sharing and your slide presentation, because at  
12 least I'm able to see the confidential information  
13 and also your marginal comments. So you may want  
14 to adjust your screen sharing now.

15 MR. BURGESS: I'm sorry, I don't --

16 COMMISSIONER CLODFELTER: No. Now it's  
17 up there for everybody.

18 MR. BREITSCHWERDT:  
19 Commissioner Clodfelter, this is  
20 Brett Breitschwerdt at Duke. I do believe the  
21 information that is identified is the unredacted  
22 version -- or excuse me, the redacted version that  
23 doesn't show the confidential. Mr. Burgess, it  
24 does seem that your speaker's notes and the next

1 slide are presented on the screen. So perhaps  
2 you're sharing the wrong screen, but the  
3 information presented is not confidential.

4 MR. BURGESS: I see. Let me see if I  
5 can adjust which screen is being shown. Is that --  
6 I'm not sure if I can do that in this.

7 MS. FORCE: Just to clarify, I think the  
8 following slide appears to the right and it is not  
9 confidential.

10 COMMISSIONER CLODFELTER: Thank you for  
11 cleaning me up on that. I thought that was the  
12 confidential version of the redacted slide.

13 MS. FORCE: It is not. It's a little  
14 confusing because it was showing the next slide.  
15 Now the notes are not there. So thank you.

16 MR. BURGESS: Are the notes still  
17 showing now or is it --

18 COMMISSIONER CLODFELTER: They are not.

19 MR. BURGESS: Okay. I don't think there  
20 was any confidential information in the notes  
21 either, so I don't think there would be an issue.  
22 In any case -- okay.

23 Just to pick back up, you know, without  
24 going into the specifics, I do want to just talk

1 about some of these concerns in general terms. You  
2 know, for more detail, you can refer to the initial  
3 comments the Attorney General filed on page 7 of  
4 the confidential attachment as well as the  
5 confidential version of these slides, which puts  
6 some more meat on the bones of those initial  
7 comments. And yes, these slides should be  
8 redacted, you know, that I'm showing here now, but  
9 you-all should have copies of the those  
10 confidential slides if you'd like to follow along.

11 So some of the general concerns. Some  
12 of the reliability needs initially identified by  
13 Duke didn't make much sense to us on a technical  
14 level as being related to specific plant  
15 retirements. In fact, they seemed to be more  
16 related to certain global reliability issues that  
17 wouldn't be tied to an individual generator. And,  
18 you know, even when we considered more localized  
19 issues, you know, there have been periods of time  
20 in the recent past where some of these plants have  
21 been offline for extended periods of time, and you  
22 know, presumably the system still operated reliably  
23 even without these upgrades in question. And so,  
24 you know, that just gives us some pause about, you



1 know, what specifically are the concerns here about  
2 transmission and reliability? Can we, sort of, get  
3 a little more specific about what those needs are?  
4 And, you know, what we later learned is that Duke  
5 has done some transmission studies to look at these  
6 retirements. And, you know, when we looked into  
7 these studies, we did have, you know, additional  
8 questions and concerns about what they were  
9 showing, including concerns about potential  
10 double-counting of certain transmission costs. You  
11 know, seeing the exact same, you know, transmission  
12 element upgrade identified at multiple plants that  
13 were retiring. You know, studies used to identify  
14 the upgrades appeared to have certain assumptions  
15 that weren't aligned with the IRP. You know, we  
16 had also some concerns that not all of the likely  
17 mitigation factors were being properly examined.  
18 You know, for example, the assumptions around  
19 onsite generation as a mitigation factor.

20 You know, keep in mind that these  
21 were -- you know, these studies were driving  
22 determinations about coal retirement dates, and so,  
23 you know, some of these issues, I think, play into  
24 what we talked about last week.

1           So, ultimately, you know, we recommended  
2           that an independent analysis of the transmission  
3           needs to be conducted prior to the next IRP cycle  
4           in 2022 to look closely at what those transmission  
5           upgrades are for the retirements. And let's see, I  
6           will move to the next slide.

7           You know, fundamentally, we thought that  
8           the Commission intervenors maybe didn't have quite  
9           the solid fact basis it needed to assess some of  
10          these claims about the retirements, and that's one  
11          reason we recommended initially a hearing in this  
12          matter, but, you know, in lieu of that, we think  
13          that this independent analysis of the transmission  
14          needs could be a good next step.

15          Okay. I want to shift topics here and  
16          talk a little bit about grid interaction with  
17          neighboring systems. As I mentioned, and has been  
18          discussed here today, you know, this is key for  
19          planning issues in a variety of capacities. So,  
20          you know, a few of them include how we think about  
21          Duke's winter reliability needs, and everyone is to  
22          be aware of what occurred in Texas this February  
23          with the outages. And, you know, I think it's  
24          important to recognize that one reason that they

1 were in that situation was because the Texas grid  
2 essentially functions as an island and, you know,  
3 didn't have the ability to interact with its  
4 neighbors in the same way that other regions did.  
5 And so, while, you know, I think Duke makes a good  
6 point about we don't want to necessarily depend  
7 upon neighboring regions exclusively for  
8 reliability needs and there are some more  
9 coordination that needs to go on there, I think  
10 having greater import and export capability can  
11 really be thought of as an insurance policy under  
12 these kind of extreme grid stress conditions and,  
13 you know, the fact that SPP and MISO, while they  
14 had a lot of similar conditions as Texas, didn't  
15 face nearly the same catastrophic outages, partly  
16 because they were able to interact with each other  
17 and with their neighbors to relieve some of that  
18 stress.

19 In addition, you know, looking at the  
20 import and export capability can help potentially  
21 unlock more firm contracts, you know, relying on  
22 cheaper resources in other regions rather than  
23 having to build our own, you know, locally, and  
24 could provide both economic benefits and provide

1 that, sort of, more dependable support with  
2 neighboring systems through those firm contracts,  
3 rather than the unfirm resources that Duke was  
4 concerned about.

5 Looking at just the total overall peak  
6 megawatt needs and the resulting system cost in  
7 Duke's resource adequacy study included an island  
8 scenario where they looked at just what they would  
9 have to do to serve their need locally, and that  
10 increased their reserve margins by over 6 percent.  
11 And I think Duke spoke to that, but, of course, you  
12 know, the reverse should also be true, and if we  
13 have greater imports and exports, that could  
14 potentially lower the reserve margins. And so, you  
15 know, one recommendation would be for those future  
16 RA studies to look at scenarios with a relaxed  
17 import constraint, you know, especially for PJM,  
18 which, you know, is one of the regions where there  
19 was some transmission constraints. And even if  
20 that's just for informational purposes and not  
21 necessarily to set the reserve margin target, I  
22 think it would be useful just to understand how  
23 much benefit we could get from that greater  
24 neighbor interaction.

1                   It also impacts capacity value solar.  
2           Some of the neighboring systems, PJM, Southern, may  
3           have their summer peaking and may have excess  
4           capacity in winter, so there could be some  
5           diversity of loads and resources that complement  
6           each other in that situation, and that would help  
7           alleviate Duke's winter peaking needs and greater  
8           interaction of these systems that could potentially  
9           shift that -- you know, the capacity needs back  
10          from winter towards summer as it was in the past.  
11          And, you know, that's when, of course, solar was  
12          more plentiful and may be able to provide a greater  
13          contribution to the system reliability.

14                   I think, you know, as we think about the  
15          planning, you know, what are some concrete steps to  
16          sort of think about planning in a more regional  
17          basis and looking at how we can do that in future  
18          IRPs. You know, just getting a more solid  
19          understanding of, you know, how Duke's interacting  
20          with its neighbors, and identifying the precise  
21          import and export constraints with the neighboring  
22          systems, some of which was provided in the RA  
23          studies in the IRP. But I think that more could be  
24          done to, sort of, continue evolving that

1        understanding over time, identifying how those  
2        historic flows across each interface have been  
3        working, and maybe even some kind of dashboard to  
4        illustrate this. You know, identifying what are  
5        the actual, you know, constraints that are on those  
6        interfaces. Is there a specific transmission  
7        element that's, you know, causing issues? And  
8        maybe that's a small upgrade. Maybe it's a large  
9        upgrade, but maybe it's small and could really  
10       unlock more of that interaction. Is it just some  
11       sort of a rule of thumb that system operators use  
12       because that's how they've historically operated?  
13       Is it some kind of a legacy, you know, firm  
14       contract on a line that's, you know, not really  
15       reflective of how it's physically being used, but  
16       just how contractually the arrangements have been  
17       made? And is there something that you could do to,  
18       sort of, tap into unused capacity on that  
19       transmission system?

20                    And so, you know, once those things have  
21       been identified, we can identify steps to maybe  
22       alleviate those constraints with specific upgrades  
23       or perhaps some of the solutions that Mr. Caspary  
24       was talking about with dynamic line readings and

1 other non-wire solutions, and we can look at those.

2 And then, you know, next, identifying  
3 the resulting increase in the capacity along those  
4 lines if the upgrades were taken. And then that  
5 could, you know, form a basis of looking at these  
6 different scenarios where there is higher imports  
7 or exports and cases to be studied in the IRP. A  
8 lot of other regions -- I'm familiar with regions  
9 in the West where they do actually study -- you  
10 know, for these high-renewable-energy scenarios,  
11 look at different import and export constraints  
12 and, you know, to see what is the actual benefit  
13 that we could achieve by increasing that amount of  
14 flow and diversity across the region.

15 We talked about, too, the co-optimizing  
16 between generation and transmission planning. This  
17 is -- will always be a tough, sort of,  
18 chicken-and-egg problem, in terms of, do you plan  
19 generation first and then transmission or vice  
20 versa? I will point out that there have been  
21 recent studies that have actually taken the steps  
22 to try to co-optimize generation and transmission  
23 across large regions of the grid, and even with  
24 some IRPs as well. And some of the ones that, you

1 know, I'm familiar with -- and I think there are  
2 many others, including, the Western Electricity  
3 Coordinating Council through their TEPPC committee  
4 undertook this effort almost a decade ago, I think,  
5 and developed a tool to co-optimize this. More  
6 recently, you know, the National Renewable Energy  
7 Lab has conducted a sort of country-wide study to  
8 look at this issue too. And these are complex  
9 studies, but, you know, they really provide a  
10 wealth of insights and information if they are done  
11 well, and so, you know, one thought that the  
12 Commission could explore might be initiating  
13 partnerships with, you know, either National Lab or  
14 other institutions that have the capabilities to  
15 conduct these kind of studies and do so for the  
16 Carolina's region with the goal being provide  
17 guidance on what that sort of optimal transmission  
18 investment that, you know, Duke and other utilities  
19 in the region could be making to achieve the clean  
20 energy goals that we're all seeking. And so, you  
21 know, part of the Commission's role might be making  
22 sure all the necessary data and information is  
23 provided to the entities that are collaborating and  
24 working on these studies.



1                   And so with that, I will stop it there  
2                   and leave just a few minutes for additional  
3                   questions, or if we want to turn to the next  
4                   presenter in the next few minutes here.

5                   COMMISSIONER CLODFELTER: Thank you,  
6                   Mr. Burgess. Are there questions for Mr. Burgess?  
7                   And we will begin with Commissioner Gray.

8                   COMMISSIONER GRAY: No questions.

9                   COMMISSIONER CLODFELTER: All right.  
10                  Chair Mitchell?

11                  CHAIR MITCHELL: I do have a question.  
12                  Mr. Burgess, if you go back to the last slide of  
13                  your presentation, you discuss the Commission's  
14                  initiating a partnership with one of the Labs to  
15                  conduct a study for the Carolinas. Talk some about  
16                  what specifically -- what specific type of  
17                  information do we need to gather in this -- what  
18                  would we be looking at here?

19                  MR. BURGESS: Yeah. I think what  
20                  really -- there is, I think, a couple of things  
21                  that would hopefully emerge from this kind of a  
22                  study. One would be to try to look at, again,  
23                  this, sort of, how do we co-optimize generation and  
24                  transmission together, right, rather than sort of

1 studying one and then the other in a silo? And  
2 this provides an opportunity, I think, to take, you  
3 know, a more advanced approach to system planning,  
4 leveraging, I think, some of the, you know,  
5 computing capabilities that these institutions  
6 have, because, you know, it can become a very  
7 intensive exercise on that front.

8 But then, you know, the results would be  
9 to look at scenarios with different generation  
10 mixes that we want to achieve, you know, whether  
11 that's a certain amount of renewable energy or  
12 clean energy, and then the transmission that goes  
13 along with that, with the goal of really being able  
14 to identify, okay, what are those key, you know,  
15 backbone, kind of, transmission projects that we  
16 want to invest in to allow that scenario to occur  
17 cost-effectively? Because a lot of transmission  
18 planning occurs in a much more localized fashion.  
19 You don't necessarily see the full benefits of  
20 these kind of regional projects that could occur,  
21 and, you know, there's been attempts to try to  
22 get -- overcome this through -- in the past with  
23 things like third-quarter 1,000, which hasn't  
24 really been as effective, I think, as a lot of

1 folks hoped at the outset. But to really try to do  
2 more regional -- interregional planning to say,  
3 here's some really critical backbone lines that  
4 would enable a lot of potential resources to come  
5 under the system in a cost-effective manner. And,  
6 you know, we have studied this in a way that we  
7 know this is really more of an optimal approach  
8 than, sort of, a patchwork that you might see,  
9 especially in a place like the Southeast where you  
10 have individual balancing authorities and utilities  
11 kind of operating in a more islanded fashion. You  
12 know, how do we get them together and coordinate  
13 planning more regionally.

14 CHAIR MITCHELL: Okay. So your  
15 recommendation is more focused on regional or, sort  
16 of, BA-to-BA coordination as opposed to within the  
17 BAs?

18 MR. BURGESS: Yeah. I think that's  
19 probably right. I think it would be -- I think  
20 these kind of efforts would, yeah, be more geared  
21 towards that sort of regional look and -- rather  
22 than, like, within the BA.

23 CHAIR MITCHELL: Okay. All right.  
24 Thank you very much. Nothing further for me.

1 COMMISSIONER CLODFELTER: Thank you.

2 Commissioner Duffley?

3 COMMISSIONER DUFFLEY: No questions.

4 Thank you.

5 COMMISSIONER CLODFELTER: All right.

6 Commissioner Hughes?

7 COMMISSIONER HUGHES: No questions.

8 COMMISSIONER CLODFELTER: Fine. I --  
9 Commissioner McKissick, I can't see you on the  
10 screen. You may be gone. I think he is gone by  
11 now.

12 Thank you, Mr. Burgess. I do not have  
13 any questions for you today. I appreciate your  
14 presentation.

15 MR. BURGESS: Thank you.

16 COMMISSIONER CLODFELTER: Mr. Josey,  
17 let's see if you can get Mr. Metz in -- you said  
18 three minutes. Let's see what happens here. This  
19 will be interesting.

20 MR. JOSEY: Sure. Absolutely. And just  
21 before he gets going, I would just like to say that  
22 if the Commission would like to meet with the  
23 Public Staff at a later date, informally or  
24 formally, we are happy to do so. And if we can't

1 get to the questions or discussion that Mr. Metz's  
2 presentation may bring up, then we are happy to  
3 answer those questions at a later date.

4 COMMISSIONER CLODFELTER: We'll see what  
5 we can do. Proceed.

6 MR. JOSEY: Thank you.

7 MR. METZ: My name is Dustin Metz. I'm  
8 an engineer with the Public Staff's energy  
9 division. I have a couple of modified topics I'd  
10 just like to convey to the Commission. (Sound  
11 failure.)

12 (Court reporter interruption due to  
13 sound failure.)

14 COMMISSIONER CLODFELTER: Mr. Metz, your  
15 audio is a little bubbly. Sounds like you're  
16 gurgling a little bit.

17 MR. METZ: Can you hear me now?

18 COMMISSIONER CLODFELTER: Joann?

19 COURT REPORTER: That's a little better.

20 MR. METZ: I have a couple of modified  
21 topics I would like to convey to the Commission.  
22 The natural retirement of aging assets and  
23 transition to a new generation fleet or portfolio,  
24 either with accelerated retirement or not, has and

1 will need to be considered for transmission  
2 planning cost and even timing. The topic of area  
3 of concern of large-scale policy portfolios may  
4 require even more time requirements than what we  
5 were accustomed to for general IRP planning  
6 purposes.

7 My second topic, the Public Staff  
8 submitted a transmission modeling request to the  
9 planning collaborative. The intent of the policy  
10 request was to think outside the box and look at a  
11 what-if scenario while maintaining a diverse  
12 generation portfolio.

13 What would the transmission system  
14 tomorrow look like with a mix of portfolios? Is it  
15 significantly different than what we have now or  
16 will it be more of the same? This request blended  
17 multiple independent evaluations and is attempting  
18 to look at a total impact or wholistic impact.  
19 Perhaps a blended approach can find synergies and  
20 leverage savings, or perhaps it will find other  
21 reliability impacts that we have not considered or  
22 identified. It is a more proactive approach to  
23 inform potential policy decisions and enable  
24 further evaluation of resource optimization in the

1 Carolinas while trying to strive for reasonable  
2 cost for system users.

3 How do we balance 10- to 15-year  
4 transmission planning versus a 60-year transmission  
5 life? We do it by planning and modeling. By  
6 running a series of different generation injection  
7 scenarios and potential procurement of resources in  
8 dedicated areas via solicitation may be ways to  
9 mitigate some of the risks and concerns that were  
10 brought forward today.

11 That completes my two-minute  
12 presentation.

13 COMMISSIONER CLODFELTER: Thank you,  
14 Mr. Metz. I'm just gonna ask for Commissioners to  
15 raise their hands if they have any questions they  
16 want to ask Mr. Metz.

17 (No response.)

18 COMMISSIONER CLODFELTER: All right.  
19 Mr. Metz, I want to thank you on behalf --  
20 Commissioner Duffley?

21 COMMISSIONER DUFFLEY: I think  
22 Chair Mitchell had a question.

23 CHAIR MITCHELL: Go ahead,  
24 Commissioner Duffley.

1 COMMISSIONER CLODFELTER: Oh, I'm sorry.

2 CHAIR MITCHELL: No. Go -- let  
3 Commissioner Duffley go and then I'll ask mine.

4 COMMISSIONER DUFFLEY: No, no. I was  
5 just raising my hand so he would catch your  
6 question.

7 COMMISSIONER CLODFELTER: Okay.  
8 Chair Mitchell.

9 CHAIR MITCHELL: Mr. Metz, just so I'm  
10 clear, are you-all endorsing -- looking at  
11 transmission in a different way? Are you saying  
12 that we could do transmission planning in a way  
13 that identifies synergies and cost-effective  
14 solutions and maybe even addresses reliability  
15 concerns that we were aware of or maybe not aware  
16 of in a way that current process doesn't?

17 MR. METZ: Yes. And it's really  
18 leveraging -- the pieces of the planning  
19 collaborative have already been -- already have  
20 been completed over the years. Based upon being a  
21 part of the planning collaborative for about six  
22 years, it's not to throw shade at the planning  
23 collaborative to do a great job, but my observation  
24 has been we have looked at wheeling 2,000 megawatts



1 through the system -- I'm oversimplifying this --  
2 we've looked at wind impacts, we've looked at these  
3 individual one-off scenarios. While they are  
4 important, this took a different approach and said,  
5 okay, I looked at the IRP, I looked at the system  
6 needs and said what if we did a little bit of  
7 everything, what would the transmission system look  
8 like? Let's blend all that together. Perhaps  
9 that's a different way to start evaluating  
10 potential policy changes or transmission planning.

11 CHAIR MITCHELL: So how do we get there?

12 MR. METZ: So hopefully through the  
13 planning collaborative we will be able to see the  
14 results of this one. And I think, as Mr. Byrd has  
15 stated, potentially at the end of the year or maybe  
16 even into next year we will be able to evaluate  
17 from a technical evaluation to see what the results  
18 provided us, allow that to inform, going into 2022  
19 IRP, of what things we may have to do differently  
20 or things that we may have to modify going forward.  
21 So it is an incremental step towards evaluation  
22 that's already ongoing.

23 CHAIR MITCHELL: Okay. All right.

24 Thank you, Mr. Metz. Nothing further for me.

1 COMMISSIONER CLODFELTER: Anyone else?

2 (No response.)

3 COMMISSIONER CLODFELTER: Mr. Metz,  
4 following up on that, I want to commend the Public  
5 Staff for making that request for the public policy  
6 study. You are way ahead of me. I had planned to  
7 ask Mr. Byrd this morning why the collaborative was  
8 not modeling and studying the alternative resource  
9 portfolios in the IRP, only to learn that the  
10 Public Staff had already made exactly that request  
11 and that that work was underway by the  
12 collaborative. So once again, you are ahead of us  
13 on this, and I commend you for getting that out  
14 there. Thank you. That was -- I think that's  
15 going to be a very, very useful exercise. Thank  
16 you.

17 All right. Those are all the  
18 presentations we had. Mr. Jirak and  
19 Mr. Breitschwerdt, I had said that I would give you  
20 some time Friday afternoon for a response on coal  
21 retirements and you wanted to defer. I am,  
22 unfortunately, not able to give you that time right  
23 now. So I think we are going to have to rest on  
24 the presentations as they stand, given the time we

1 have got now.

2 So I want to -- on behalf of all the  
3 Commissioners, I want to thank all the presenters  
4 and counsel and the parties. These have been  
5 uniformly very high-quality, exceptional  
6 high-quality presentations. I think they  
7 stimulated an awful lot of good analysis and good  
8 thought and good questions for all of us to, sort  
9 of, explore and think about. You've equipped us  
10 very, very well through these presentations, I  
11 think, to begin thinking about some of the  
12 questions that we're going to have to address with  
13 respect to the 2020 IRPs, the 2022 IRPs, and, if it  
14 should happen to pass into law, the questions that  
15 we will have to address under the current  
16 legislation that's moving through the General  
17 Assembly.

18 I couldn't have asked for better. And  
19 again, I know I speak for my colleagues when I say  
20 thank you very much. This has been some really  
21 very, very good work. So anything further before  
22 we conclude the technical conference?

23 MR. BREITSCHWERDT: Nothing from Duke.  
24 Thank you.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

COMMISSIONER CLODFELTER: Again, thank  
you all and enjoy the rest of the day, or continue  
with your work for the rest of the day as may be  
appropriate.

(The technical conference concluded  
at 12:05 p.m. on Wednesday,  
October 6, 2021.)

OFFICIAL COPY

OCT 13 2021


1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA )  
COUNTY OF WAKE )

I, Joann Bunze, RPR, the officer before whom the foregoing technical conference was taken, do hereby certify that the proceedings were taken down by me to the best of my ability and thereafter reduced to typewriting under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This the 15th day of October, 2021.



JOANN BUNZE, RPR

Notary Public #200707300112

OFFICIAL COPY  
OCT 15 2021