E-100 Sub 148 Avoided Cost Rates OFFICIAL COPY

Page: 1

1	PLACE: Dobbs Building, Raleigh, North Carolina
2	DATE: April 19, 2017 FILED
3	DOCKET NO.: E-100, Sub 148 MAY 02 2017
4	TIME IN SESSION: 9:30 A.M. TO 12:35 P.M. C. Utilities Commission
5	BEFORE: Chairman Edward S. Finley, Jr., Presiding
6	Commissioner ToNola D. Brown-Bland
7	Commissioner Don M. Bailey
8	Commissioner Jerry C. Dockham
9	Commissioner James G. Patterson
10	Commissioner Lyons Gray
11	
12	
13	IN THE MATTER OF:
14	
15	General Electric
16	Biennial Determination of Avoided Cost Rates
17	for Electric Utility Purchases from Qualifying
18	Facilities - 2016
19	
20	VOLUME 4
21	
22	
23	
24	

1	APPEARANCES:
2	FOR DUKE ENERGY CAROLINAS, LLC, AND
3	DUKE ENERGY PROGRESS, LLC:
4	Lawrence B. Somers, Esq.
5	Deputy General Counsel
6	Kendrick C. Fentress, Esq.
7	Associate General Counsel
8	Duke Energy Corporation
9	410 S. Wilmington Street/NCRH 20
10	Raleigh, North Carolina 27602
11	
12	E. Brett Breitschwerdt, Esq.
13	McGuireWoods, LLP
14	434 Fayetteville Street, Suite 2600
15	Raleigh, North Carolina 27601
16	
17	Robert W. Kaylor, Esq.
18	Law Office of Robert W. Kaylor, P.A.
19	353 East Six Forks Road, Suite 260
20	Raleigh, North Carolina 27609
21	
22	
23	
24	



Page: 3

```
APPEARANCES Cont'd.:
1
    FOR NORTH CAROLINA SUSTAINABLE ENERGY
2
    ASSOCIATION:
3
   Peter H. Ledford, Esq.
4
    Regulatory Counsel
5
    4800 Six Forks Road, Suite 300
6
    Raleigh, North Carolina 27609
7
8
    Charlotte Mitchell, Esq.
9
    Law Office of Charlotte Mitchell
10
    Post Office Box 26212
11
    Raleigh, North Carolina 27611
12
13
    FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION:
14
15
    Robert F. Page, Esq.
    Crisp, Page & Currin, L.L.P.
16
    4010 Barrett Drive, Suite 205
17
    Raleigh, North Carolina 27609
18
19
    FOR NORTH CAROLINA PORK COUNCIL:
20
    Kurt J. Olson, Esq.
21
    Law Office of Kurt J. Olson
22
    3737 Glenwood Avenue, Suite 100
23
    Raleigh, North Carolina 27612
24
```

```
APPEARANCES Cont'd.:
1
2
    FOR SOUTHERN ALLIANCE FOR CLEAN ENERGY:
3
    Gudrun Thompson, Esq., Senior Attorney
4
    Lauren J. Bowen, Esq., Staff Attorney
5
    Peter Stein, Esq., Associate Attorney
6
    Southern Environmental Law Center
7
    601 W. Rosemary Street, Suite 220
8
    Chapel Hill, North Carolina 27516
9
10
    FOR CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY
11
12
    RATES I, II AND III:
    Adam Olls, Esq.
13
    Bailey & Dixon, LLP
14
    Post Office Box 1351
15
16
    Raleigh, North Carolina 27602
17
    FOR NTE CAROLINAS SOLAR, LLC:
18
19
    M. Gray Styers, Jr., Esq.
    Smith Moore Leatherwood, LLP
20
    434 Fayetteville Street, Suite 2800
21
    Raleigh, North Carolina 27601
22
23
24
```

```
APPEARANCES Cont'd.:
1
    FOR CYPRESS CREEK RENEWABLES:
2
3
    Thadeus B. Culley, Esq.
    Keyes & Fox, LLP
 4
    401 Harrison Oaks Boulevard, Suite 100
 5
 6
    Cary, North Carolina 27513
 7
    FOR NORTH CAROLINA ELECTRIC MEMBERSHIP
 8
    CORPORATION:
 9
    Michael D. Youth, Esq.
10
11
    Associate General Counsel
    Post Office Box 27306
12
    Raleigh, North Carolina 27611
13
14
    FOR THE NORTH CAROLINA ATTORNEY GENERAL:
15
16
    Jennifer T. Harrod, Esq.
17
    Special Deputy Attorney General
    North Carolina Department of Justice
18
    Post Office Box 629
19
20
    Raleigh, North Carolina 27602
21
22
23
24
```

APPEARANCES Cont'd.: FOR THE USING AND CONSUMING PUBLIC: Tim R. Dodge, Esq. Lucy E. Edmondson, Esq. Heather D. Fennell, Esq. Robert Josey, Jr., Esq. Public Staff - North Carolina Utilities Commission 4326 Mail Service Center Raleigh, North Carolina 27699-4300

TABLE OF CONTENTS 1 EXAMINATIONS 2 PAGE 3 PANEL - CONT'D: 4 GLEN A. SNIDER 5 KENDAL C. BOWMAN 6 GARY FREEMAN 7 Cross Examination by Mr. Culley.....9 8 Cross Examination by Ms. Harrod......49 9 Cross Examination by Mr. Dodge......73 10 11 12 EXHIBITS 13 IDENTIFIED/ADMITTED 14 15 Public Staff Snider Cross Exhibit 2.....110/--16 Public Staff Snider Cross Exhibit 3.....112/--17 18 19 20 21 22 23 24

Page: 8

1	PROCEEDINGS
2	CHAIRMAN FINLEY: All right, ladies and
3	gentlemen. Let's reconvene the hearing, come back on the
4	record. We have continued cross examination by the
5	intervenor parties. Who's next?
6	MR. CULLEY: Thank you, Mr. Chairman. Thad
7	Culley for Cypress Creek Renewables. Oh, I'm sorry.
8	I've been informed counsel for SACE has one concluding
9	question. I think she
10	MS. BOWEN: Thank you, Thad. Mr. Chairman, at
11	the end of the day yesterday we did forget to ask that
12	our SACE cross exhibits please be we'd move that those
13	exhibits be added to the record.
14	CHAIRMAN FINLEY: If you will hold that until
15	we get through with the Panel, we'll pick up all the
16	exhibits at that point.
17	MS. BOWEN: Excellent. Thank you, Mr
18	CHAIRMAN FINLEY: I haven't forgotten about
19	them.
20	MS. BOWEN: Thank you, Mr. Chairman.
21	CHAIRMAN FINLEY: All right.
22	CROSS EXAMINATION BY MR. CULLEY:
23	Q All right. Well, good good morning, Panel.
24	A (Freeman) Good morning.

1	Q As I mentioned, my name is Thad Culley. I'm
2	counsel for Cypress Creek Renewables. I will try and get
3	through these questions as quickly as possible today. So
4	I'd like to start with Ms. Bowman. Let's discuss what
5	I'll call the half-mile rule that was discussed in your
6	testimony. So would you agree Duke has proposed some
7	modifications to the terms and conditions of the standard
8	offered PPAs in this proceeding as it relates to the
9	half-mile rule?
10	A (Bowman) Yes.
11	Q And one of those modifications would prevent a
12	party that owns a project with the standard offer PPA
13	from selling that project to another party that owns
14	another standard offer QF project using the same energy
15	resource that's located within a half mile; is that
16	correct?
17	A Could you repeat that? I need to follow the
18	question.
19	Q Right. So I'll I'll see if I can paraphrase
20	and simplify that one.
21	A And where are you reading from in my testimony?
22	Q Oh, I'm not reading from your testimony. This
23	is just a general question about what Duke's proposal is.
24	A Can you point me to where in my testimony I

1	talk about the half-mile rule?
2	Q Yes. Let's go to your direct testimony, page
3	55. And I believe the reference line numbers you're
4	going to need there are going to be I think 10 through
5	11 you discuss the rationale.
6	A Okay.
7	Q Okay. Perhaps in your words could you explain
8	what the half-mile proposal is in this case?
9	A So I believe this is intended to try to prevent
10	kind of combining facilities that are too close together
11	that kind of evade the the half-mile rule, so they're
12	intended to prevent that through consolidation of
13	ownership of QFs after their PPAs or another standard
14	offer have been executed. So this is trying to prevent
15	gaming of the system of the half-mile rule once those
16	facilities have been constructed.
17	Q Okay. So maybe we could discuss what the
18	current standard is. So Duke's current standard offer
19	rate schedules already provide that a QF is not eligible
20	through the standard offer if it is under common
21	ownership with another QF that is located within a half
22	mile and uses the same energy resource; is that is
23	that correct or not?
24	A That is correct.

Page: 12

1	Q And I believe you just stated your
2	understanding of the rationale Duke has now proposed for
3	for this modification. And to be clear, I don't think
4	we answered the first question about what that
5	modification is. It's now saying that if two projects
6	are owned by separate entities within a half mile, this
7	rule would prohibit the sale of that QF to make it under
8	one common ownership; is that correct?
9	A That is my understanding, yes.
10	Q So if the original rule was to prevent gaming
11	and to to, you know, prevent that we'll say to
12	ensure that QF developers don't circumvent the 5 megawatt
13	standard offer by breaking the projects up into into,
14	you know, multiple adjacent projects, you know, that
15	that was the original intent; is that correct?
16	A That is my understanding.
17	Q Would you agree that the only effect of the
18	Companies' proposal now would be to prevent the owner of
19	an existing standard offer project from selling that
20	project to a developer who owns a different project using
21	the same energy resource located within a half mile?
22	A No. I don't believe the intent is to prevent
23	them from purchasing it. I just don't think that they
24	should be allowed to combine it to circumvent the rule.

1	Q And what public policy is advanced by that
2	restriction on the free buying and selling of QFs?
3	A I don't believe we're restricting the free
4	buying and selling here. We're just restricting the
5	the size limitation.
6	Q But isn't if two QFs have been properly
7	developed under the standard offer tariff by two separate
8	developers and a QF owner who buys a nearby project isn't
9	doing anything to game the system, I mean, would you
10	agree with that?
11	A They could still have the the two separate
12	agreements.
13	Q Right, but they they would not be able to
14	buy and sell buy and sell that QF under the existing
15	terms of the QF's contract with Duke; is that correct?
16	A I'm not sure I'm understanding what they can't
17	buy and sell.
18	Q So if there are two QF projects under separate
19	ownership
20	A Under separate ownership, correct.
21	Q that are within a half mile, and the owner
22	of one acquires the other, both had independently secured
23	the standard offer contract, does the act of
24	consolidating ownership have a consequence that
	North Carolina Utilities Commission

1	terminates that PPA?
2	A I don't believe it does.
3	Q And let me just ask, do you have any evidence
4	that developers are deliberately evading the geographic
5	restrictions in the current standard?
6	A I'm going to defer to Mr. Freeman for this.
7	A (Freeman) Well, clarify your question because,
8	you know, I'll go back to what Ms. Bowman originally said
9	that around, you know, gaming the system, and we do
10	have evidence that, you know, developers in in some
11	cases have proposed multiple projects, you know, within a
12	half a mile trying to, you know, circumvent the 5
13	megawatt project limitation.
14	Q I'm sorry. Let me I don't think I clearly
15	articulated that question. I actually meant to say in
16	the context of the conversation we've been having about
17	subsequent consolidation of those projects, do you have
18	any evidence that developers are evading the geographic
19	restrictions by gaming it in that way?
20	A No. I don't have any evidence that that I'm
21	aware of at this point.
22	Q And for developers to do that, would you agree
23	they would have to have some form of coordination or even
24	collusion to avoid this limitation?

Page: 15

1	A Well, I think the question has come up, you
2	know, in a number of cases, and and I'm not clear on
3	the resolution, but as, for example, your company,
4	Cypress Creek and FLS, when there was a merger of those
5	companies, I think it did call into question some of the
6	projects that were owned by by both both entities.
7	And I I don't recall what the resolution of that was.
8	Q But as as you say, there's no evidence that
9	developers have deliberately tried to evade this
10	restriction by subsequent consolidation?
11	A No. I'm not aware of any evidence.
12	Q Right. But that is the rationale Duke has put
13	forward for proposing this modification; would you agree?
14	A I I don't have enough information to to
15	really, you know, really answer your question. I'm
16	sorry.
17	Q Okay. No. Thank thank you. Thank you.
18	And do you agree that the proposed I'm sorry, let me
19	get some water that this proposed restriction would
20	apply even if there were no indication that gaming was
21	going on, in other words, completely innocent
22	consolidation of two projects within a half mile of each
23	other?
24	A I'm sorry. So ask your question again.

1	Q So let me simplify this one again. So I think
2	you would say this restriction would apply even if there
3	is not nefarious collaboration or collusion going on; is
4	that correct?
5	A As I understand how the, you know, the proposal
6	is written, yes, I think you're correct.
7	Q And this would apply to two nearby projects
8	even if they were built by unrelated developers?
9	A Yes.
10	Q And even if they were built years apart?
11	A Yes.
12	Q And I believe we've touched on this a little
13	bit, but maybe you could expound on Ms Ms. Bowman's
14	answer. But what would be the effect on a QF if it
15	violated the term of of the PPA, this term that is
16	being now proposed?
17	A Well, again, I'm not intimately familiar with
18	with the proposed change, but I think Ms. Bowman
19	answered the question and said that or implied that the
20	potential for the contract to be terminated would you
21	know, the standard contract would be terminated.
22	Q Okay. Thank you. So with that result, would
23	you agree this is a pretty restrictive condition?
24	A You know, define "restrictive." You know, let

Page: 17

1	me just kind of elaborate. I mean, we we've seen
2	projects change ownership now as many as five times, and
3	trying to maintain, you know, an understanding of who
4	even owns these projects has been a tremendous challenge
5	for us. I mean, you know, five times has been the
6	extreme so far, but but we've seen projects change
7	ownership, you know, two at least two times, many,
8	many, many times three and four times. So it's just been
9	a challenge to keep up with with who owns these
10	projects.
11	Q But but you would agree this condition is
12	more restrictive than the status quo? That I think
13	that's really the question I was asking.
13 14	that's really the question I was asking. A Yes.
13 14 15	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap</pre>
13 14 15 16	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company</pre>
13 14 15 16 17	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more</pre>
13 14 15 16 17 18	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more than 1 megawatt solar QF within a half-mile radius.</pre>
13 14 15 16 17 18 19	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more than 1 megawatt solar QF within a half-mile radius. Would you agree with that statement?</pre>
13 14 15 16 17 18 19 20	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more than 1 megawatt solar QF within a half-mile radius. Would you agree with that statement? A I I'm sorry. Ask the question again.</pre>
13 14 15 16 17 18 19 20 21	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more than 1 megawatt solar QF within a half-mile radius. Would you agree with that statement? A I I'm sorry. Ask the question again. Q So the Company proposes to prohibit a developer</pre>
13 14 15 16 17 18 19 20 21 21 22	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more than 1 megawatt solar QF within a half-mile radius. Would you agree with that statement? A I I'm sorry. Ask the question again. Q So the Company proposes to prohibit a developer from ever owning more than 1 1 megawatt solar QF</pre>
13 14 15 16 17 18 19 20 21 22 23	<pre>that's really the question I was asking. A Yes. Q Okay. Thank you. And so let's just recap this, and we can we can move on. So the Company proposes to prohibit a developer from ever owning more than 1 megawatt solar QF within a half-mile radius. Would you agree with that statement? A I I'm sorry. Ask the question again. Q So the Company proposes to prohibit a developer from ever owning more than 1 1 megawatt solar QF within a half-mile radius?</pre>

1	that's the the case. I believe that it restricts them
2	to the standard offer terms and conditions. If they want
3	to build a facility larger within a half mile, they're
4	certainly welcome to do that. They would just be
5	entitled to the negotiated rate, not the standard offer
6	rate.
7	Q Okay. Understood. Thank you very much for
8	that clarification. And this would be the case even if
9	there's no indication of an attempt to evade the standard
10	offer threshold?
11	A Yes. I mean, the the purpose of this is to
12	try to avoid the gaming of the standard offer. Again,
13	all of our efforts in this proceeding are to provide just
14	and reasonable rates to our our customers, while at
15	the same time balancing PURPA's objectives of promoting
16	QFs. And so this is to avoid the gaming of that standard
17	offer, and if they want to build a facility or buy a
18	facility that's larger than that standard offer, then the
19	developers certainly have the opportunity to do a
20	negotiated contract.
21	Q Okay. Thank you. But lastly, there's just
22	just to just to wrap it up, there's no evidence that
23	this has this is happening, that this is a major
24	problem?

1	MR. BREITSCHWERDT: Mr. Chairman, objection. I
2	think this question has been answered at least twice now.
3	CHAIRMAN FINLEY: It has been answered.
4	MR. CULLEY: Thank you. I'll move on. Thank
5	you very much.
6	Q Okay. Ms. Bowman, I have a few questions for
7	you related to solar integration and ancillary services,
8	and see if I have a and do you recall in your
9	testimony indicating that it may be possible in the
10	moving forward in the future that Duke would include
11	certain solar integration or ancillary generation
12	services cost in a negotiated PPA?
13	A (Bowman) Yes.
14	Q Okay. Thank you. Would you agree generally
15	that PURPA and the related FERC regulations have a
16	principle of nondiscrimination against QFs?
17	A Yes.
18	Q Would you also agree that this is not an
19	absolute bar to distinct treatment among QFs?
20	A Yes.
21	Q Do you know the standard to be one of undue
22	discrimination?
23	A What do you mean by "undue discrimination"?
24	Q So to justify distinct treatment among QFs, you

Page: 20

1	would need to show that there's some justification,
2	there's some basis in fact for treating them differently.
3	A I think you would need to distinguish why there
4	was different treatment, but I believe that PURPA affords
5	different treatment for different types of technologies
6	and different locations, so I believe that there exists
7	the ability to differentiate.
8	Q Okay. First, do you agree with me that
9	introducing a new category of cost and negotiated PPA
10	could cause some consternation and generate a new area of
11	controversy with developers?
12	A I I don't I mean
13	MS. FENTRESS: I'm going to object. That
14	causes her to speculate on what developers might be
15	thinking.
16	CHAIRMAN FINLEY: Overruled.
17	A I'm not not necessarily aware.
18	Q Okay. Second, does the Company at this time
19	provide any evidence to justify the inclusion of cost in
20	negotiating in negotiation contracts, but not in
21	standard offer contracts?
22	A So I believe Witness Snider touches on this. I
23	think at this time we haven't proposed any specifics, but
24	I'll defer to Mr. Snider.

Page: 21

1	A (Snider) Certainly. The standard offer
2	contract, remember, is not a solar contract. It is a
3	general QF contract. The way in which it's constructed
4	in North Carolina assumes that there's an equal 100
5	megawatts of generation around the clock available in
6	every hour. That's how rates are developed. That's how
7	capacity and energy rates are developed. And that is not
8	a technology specific application, so we are not
9	including in the technology agnostic general offer rate
10	any ancillary services.
11	I think what we touch on is that when you take
12	into account the unique characteristics of a specific QF
13	that is not an equal 100 megawatts around the clock, it
14	may be appropriate in the larger QFs above the standard
15	offer rate to take the specific characteristics, as Mr.
16	Holeman pointed out in great detail yesterday, into
17	account in that process. So, no, we are not offering
18	them in the standard rate, which is technology agnostic,
19	because there is no specific ramping or ancillary needs
20	that we point out in that rate. Again, there's a big
21	difference between our standard offer rate and a
22	technology specific rate for above 1 megawatt.
23	Q Thank you for that answer, Mr. Snider. I
24	recall you testifying on potential integration cost being

24

A

1 a decrement to the standard offer of what it cost in the Sub 140, but you did not propose it at that time. Do you 2 recall that? 3

I believe in Sub 140 we did propose to have a -4 A - an ancillary service charge at the standard offer which 5 we then ultimately did not include as it was a generic 6 rate. And now we're saying that if you were to take the 7 specific characteristics outside of the standard offer 8 into account, that would be the appropriate time to look 9 at the potential for what those specific characteristics 10 drive you to spend, not within -- and we're not proposing 11 it in the 1 megawatt and under technology agnostic rate. 12 It's just a plain QF rate for co-gens, for solar, for 13 biomass, so it's not in our -- our standard offer. We're 14 saying it is appropriate to consider that outside of the 15 standard offer. 16

Okay. Thank you. And would you agree for that 17 0 decrement to apply to the standard offer, you'd be 18 looking at costs that apply to the fleet? It wouldn't 19 just be a OF specific cost, that there are -- there are 20 some costs that have been contemplated as being a 21 decrement that would be attributable to the whole fleet 22 of QFs? 23 It would be a cost that the technology specific

QF, whether the individual or a group of them, would
 impose upon the system.

Q Okay. Thank you. And to this point has Duke developed a method for calculating those types of costs for specific QFs?

A I don't believe we're proposing that within this standard offer rate. We do mention outside of this proceeding that we have done studies that look at the cost of integrating specific technologies and that those studies continue to evolve.

11 Q Okay. Thank you very much for your answers, 12 Mr. Snider. I think we're going to move on to another 13 topic here. So we're going to talk about the competitive 14 procurement process, and I will try not to duplicate 15 anything done yesterday.

Ms. Bowman, you testified yesterday regarding the competitive solicitation process so I'll try not to duplicate that. If we could look at page 10, lines 9 through 12 of your rebuttal. And I'll give you a second. If you could let me know when you're there.

21 A (Bowman) I am there.

Q Okay. Thank you. And so on that page you state that, "...the Companies' proposal to collaborate with interested parties to develop a competitive

1	solicitation process to provide for sustainable growth in
2	new solar resources" Did I get that right?
3	A You did.
4	Q Okay. Thank you. So is Duke currently engaged
5	in any form of collaboration with the solar industry to
6	develop a competitive solicitation proposal?
7	A So I I will say that we have been working
8	with a group of stakeholders since last fall on a host of
9	issues related to energy policy and renewables in the
10	state of North Carolina, and that includes solar
11	developers.
12	Q Okay. So that that was last fall. Is there
13	anything currently underway?
14	A There is currently a stakeholder group working
15	on energy policy over at the North Carolina General
16	Assembly. That's currently going on at the moment. And
17	we are continually working with stakeholders.
18	Q Okay. Thank you. And have the Companies
19	reached out to parties to begin development of specific
20	parameters of what a solicitation process would entail?
21	A I believe in those negotiations we have talked
22	some about what a competitive solicitation proposal would
23	entail, and I also listed out some parameters on the last

1	Q Okay. Thank you. And can you can you
2	describe the types of parties that the Company has been
3	engaged in this collaboration with?
4	A So there's a whole host of parties from solar
5	developers, swine and poultry, biomass. I believe some
6	wind has been involved. We have our large industrial
7	customers involved. We have electric co-ops and munis.
8	All of those interested parties and impacted parties to
9	energy policy in the state of North Carolina have been
10	involved.
11	Q Okay. And would you would you say that any
12	progress is being made at this time on advancing that
13	proposal?
14	A I have no idea what you mean by by
15	"progress." We are in discussions. I cannot prog
16	prognosticate on any outcomes from the General Assembly.
17	Q Okay. Thank you on that. I'll accept that.
18	And do you do you have any current plans to seek
19	additional input from the stakeholders?
20	A As we have said in my as I have said in my
21	direct testimony and as we mentioned in our initial
22	filing, you know, we are requesting, you know, a separate
23	proceeding to work with stakeholders and collaborate on
24	the development of a competitive solicitation process for

1	North Carolina.
2	Q All right. Thank you very much, Ms. Bowman.
3	Mr. Freeman, I'd like to turn to you and switch
4	to another another topic. Let's talk about legally
5	enforceable obligations. So you've testified that it's
6	important for QFs to make a meaningful and binding
7	commitment to sell their output to the utility before
8	establishing a LEO. Is that an accurate description of
9	your testimony?
10	A (Freeman) Yes.
11	Q Okay. And according to the Company, one reason
12	for this is to prevent small QFs from having the option
13	of locking in avoided cost rates, but also being able to
14	back out of a commitment to sell if those avoided cost
15	rates rise; is that correct?
16	A I don't think I differentiated small versus
17	large, but generally, yes, the answer is correct.
18	Q Okay. Thank you.
19	A Or your question is correct.
20	Q Thank you. And is it your position that
21	there's also no harm harm to the utility if the QF
22	that has made that commitment to sell can back out of the
23	commitment without any consequence?
24	A Ask your question again, please.

Page: 27

1	Q Okay. Is it your position that there's also no
2	harm to the utility if a QF that has made a commitment to
3	sell can back out of that commitment without any
4	consequence?
5	A I don't think I'm saying that at all. I think
6	there there is harm if you back out of that
7	commitment.
8	Q And what is the nature of that harm?
9	A Well, it goes to, you know, the whole idea of
10	establishing this commitment, you know, through
11	through the current LEO process, I mean, the retail
12	customer or our customers are committed to accept the,
13	you know, the energy from this commitment. We've got to
14	plan on, you know, these commitments as part of our
15	resource planning. You know, we're purchasing both
16	capacity and energy, and not having any idea whether a
17	commitment is is binding or not has an impact on, you
18	know, our, you know, fuel and capacity planning going
19	forward.
20	Q Okay. Thanks. So it's also the Companies'
21	position that larger QFs need to make a bonafide
22	commitment to sell before they can establish a LEO; is
23	that correct?
24	A Yes.

1	Q And in the context of negotiated PPAs, doesn't
2	the Company generally require substantial liquidated
3	damages if the contract is terminated because of the QF's
4	inability to to deliver power?
5	A Well, define what you mean by "substantial."
6	Q Okay. Well, maybe we can just say doesn't the
7	Company generally require liquidated damages
8	A Yes.
9	Q in that circumstance?
10	A Yes.
11	Q Thank you. And in these in
12	A And those I mean, those damages are designed
13	to protect the customer, like I said, from, you know, the
14	the QF being able to walk away from that that
15	project.
16	Q And so in these negotiated PPAs, a QF that
17	achieves commercial operation late must also pay these
18	penalties; is that also correct?
19	A That is correct.
20	Q And is it your understanding that liquidated
21	damages are supposed to approximate the harm suffered by
22	a party in the event of a breach of contract?
23	A Yes.
24	Q And what's the nature of the harm to the

Page: 29

1 Company that these provisions are supposed to prevent --2 represent? Well, again, the -- the LD damage calculation 3 A 4 is based on the capacity component, and it's generally being derived from a one-year value of that capacity and 5 -- and the utility needing to potentially go to the 6 7 market and replace that capacity in -- you know, from another resource. 8 9 0 And so would -- would you say that's true even if the late operation is achieved in a year when Duke 10 11 claims it has no need for additional capacity? A Yes. 12 And when is solar -- when does Duke begin to 13 0 rely on QF capacity and energy in the IRP process? Let 14 me just ask that. 15 16 I think I would need to defer that question to A Mr. Snider. 17 18 A (Snider) Again, our first capacity need, as stated earlier in my testimony, is 2022 for DEP, 2023 for 19 DEC. I believe we'll have discussions throughout this 20 21 day talking about how the QF is being compensated for capacity starting at that point in time at a level that 22 is in excess of what the IRP values that QF at, but under 23 the standard rates today and under the way we -- we do it 24

Page: 30

1	under Schedule B, we give them credit for deferring
2	capacity. Starting in that first year of capacity need
3	we credit them. Solar in particular gets about 40
4	percent of a peaker. In other words, for every 100
5	megawatts of the solar that comes on, we're crediting
6	them with 40 megawatts of capacity deferral largely based
7	on the the Schedule B hours that are in existence
8	today.

9 This gets into my testimony on the difference 10 between the QF process and the IRP process where in 11 truth, solar will not be avoiding capacity for the 12 utility in the IRP, but the way the QF rates are structured today we still compensate them for avoiding 13 capacity, so we have an avoided capacity component today 14 15 in both our small QF and large QF for solar, even though 16 as a planner, as you've heard from Dominion, as you've 17 heard from Witness Holeman, is I'm telling you as a long-18 term planner, adding additional solar will not allow us to defer or avoid additional generation going forward, 19 but we do pay for it. We're still paying for it under 20 21 the OF rates.

22 So it starts in the year 2022 for DEP and the 23 year 2023 for DEC, and that's our first year in need, and 24 that's when we start compensating QFs for capacity.

Page: 31

1	Q Mr. Snider, just one one follow-up there.
2	When do you include the QF in the actual model that's in
3	the IRP? Is that when the QF comes online or when the
4	I'm sorry the LEO is established?
5	A We don't go project by project, there's so many
6	QFs in the queue. What we do is we say here's what's
7	installed and existing today. Here's what we expect on a
8	macro basis to come in going through time based on the
9	thousands of QF in the queue and the estimates we get out
10	of our regulated renewables group, and then we include
11	the energy value that they provide immediately. So
12	they're providing energy starting, you know, the day they
13	come online or are projected to come online, and then it
14	impacts our capacity starting in that first year of
15	capacity need, as I explained in my previous response.
16	So we include them immediately and how they
17	impact our energy needs. They can't defer any capacity
18	if we don't have a capacity need, so they don't start to
19	hit our capacity plan until the first year of need.
20	Q Okay. Thank you, Mr. Snider. Mr. Freeman,
21	let's I want to switch topics. We're back in
22	negotiated contracts here. Do you recall discussing
23	yesterday that we were discussing terms and
24	conditions. I believe counsel from SACE was was

Page: 32

1	giving you some questions on that. And you stated that
2	Duke wanted to remain free to modify the commonly
3	included terms and conditions from time to time. Do you
4	recall something to that effect?
5	A (Freeman) Yes.
6	Q And wasn't it your position yesterday that you
7	did not want the Commission establishing standard terms
8	and conditions for negotiated contracts because Duke and
9	counterparties would lose some flexibility in their
10	ability to negotiate?
11	A Yes. I did say that.
12	Q And does Duke currently present its so-called
13	standardized terms and conditions on a take-it-or-leave-
14	it basis?
15	A No. You know, I think we've even worked with
16	your company on a number of projects, and we've evolved
17	to what's what I would consider kind of a, "standard
18	contract," but as time goes on, you know, we feel like
19	there will be times we need to modify some of the terms
20	and conditions of that contract.
21	Q Okay. Are there some terms that Duke will not
22	negotiate that are off off limits?
23	A Yes.
24	Q And can you give any characterization of what
	North Carolina Utilities Commission

1	what those are, what types?
2	A Well, I would say that even avoided cost. I
3	mean, we calculate what our avoided cost is and and,
4	you know, it kind of is what it is. We've got security
5	language in there. I mean, there there are a number
6	of terms and conditions that we feel like are are set.
7	And many of terms and conditions are very similar to what
8	our standard contract terms are as well.
9	Q Okay. Thank you. Will Duke incorporate
10	additional terms and conditions if a developer requests
11	that they be included?
12	A I think we as you've seen with your company,
13	I think we've been open to, you know, negotiations on
14	on, you know, contract terms to this point.
15	Q Okay. And some discussion of the PPAs
16	negotiated yesterday, so of the PPAs that were negotiated
17	in 2016, did Duke make any significant modifications to
18	terms and conditions based on negotiations with those
19	QFs?
20	A I mean, define what you mean by "significant."
21	I mean, that that contract has been in evolution over
22	the last couple years to the point where it is today, to
23	where we now have executed, as I think it was pointed out
24	yesterday, roughly 20 some odd negotiated contracts.

Page: 34

1	Q Okay. I think I would characterize maybe as
2	materially modified. Does that have significance to you?
3	A I'm not aware of what I would consider material
4	modifications to that contract.
5	Q Okay. And are you aware that some states
6	require standardization of contract terms for projects
7	that are not eligible for a standard offer?
8	A I am not aware of that.
9	Q Okay. So you have not researched that issue
10	particularly?
11	A Not particularly, no.
12	Q Thank you. And do you recall testifying
13	yesterday that the Company has negotiated about a dozen
14	nonstandard PPAs?
15	A Well, I think I just said a minute ago it was
16	20 plus, and I think, as I understand from the data
17	request that we looked at yesterday, there were actually
18	22 contracts that were negotiated under PURPA, and then
19	as I recall, there were an additional 10 or so projects
20	that were negotiated under a a separate RFP. So
21	there's been 30 plus contracts that have been negotiated
22	that are above 5 megawatts, and they're all nonstandard
23	contracts.
24	Q Right. But do you recall the conversation

Page: 35

1	yesterday where I think you singled out there were 12
2	PPAs? Is there a particular time frame that that might
3	be relevant to?
4	A I used the the 12 without looking at the
5	data request, and that was just my recollection, so that
6	was not an accurate number.
7	Q Okay. Thank you for that clarification, then.
8	And can you can you answer when was the last time a
9	nonstandard negotiated PPA for a solar project over 5
10	megawatts has been negotiated with Duke?
11	A I can't recall specifically. I know a a
12	project as of yesterday was approved, a large project,
13	that requires the signature of our CEO, and that project
14	will be executed this week.
15	Q Okay. So that's one in have there been any
16	others in 2017?
17	A I don't have the information to to answer
18	your question.
19	Q Okay. I appreciate that. I think I'm going to
20	move on to another topic here.
21	And Ms. Bowman, I'm back back to you, and
22	would like to direct you to page 31 of your rebuttal
23	testimony, and in particular lines 2 through 6, and I
24	will let me know when you're there.

A (Bowman) Okay.
Q Okay. Great. So there you refer to the
"recent deviation in market-based commodity cost
compared to prior forecast" You say that results in
more in customers paying more for electricity than the
Companies' current forecast of avoided cost; is that
correct?
A It results in customers being obligated for
significant long-term overpayments compared to the
Companies' current forecast of avoided costs.
Q Okay. And this deviation you're referring to,
the primary is that, you know, primarily due to the
lower than expected natural gas prices?
A Yes. And I believe Mr. Snider is the expert in
this domain.
Q Right. And does that deviation also mean that
the Companies' investment in, say, coal-fired generation
has resulted in customers paying more for electricity
than the Companies' current forecast on avoided cost?
A No, not necessarily. And I might defer to

21 to Mr. Snider on this.

A (Snider) No. As -- as a matter of fact, you know, when you have dispatchable assets that can be dispatched based on real-time price signals, we -- we can
Page: 37

1	then switch as needed. So if gas prices spike for a
2	short period of time, we can burn coal and dispatch it in
3	front of the gas. Conversely, if gas prices are low, we
4	can dispatch the gas and dispatch coal later in the
5	dispatch stack. It's this very abil this very exact
6	dispatchability benefit that comes with dispatchable
7	resources that are on different commodities that allow
8	them to extract whatever value they have in real-time as
9	opposed to a must-take where you're paying a fixed price
10	no matter what into the future.
11	So I would not say that it just because gas
12	prices have dropped, we don't have value or we've lost
13	value in the coal plants. We can still dispatch those
14	coal plants as needed and and so they're still
15	still valuable on our fleet.
16	Q Mr. Snider, back I'm sorry. I'm going to
17	move back to you here with this question. Do you agree
18	that the overpayments that you discuss in your testimony
19	are a result of the past projections of avoided cost
20	being inaccurate?
21	A I would you know, again, I wouldn't say the
22	past being inaccurate; I'd say the market moved. So,
23	yes, the market was higher two years ago, it was higher
24	than that four years ago, so if you go to Sub 136 and

1	then to Sub 140, what we've seen is a continued decline
2	in the market commodity prices for both gas and coal.
3	And so when you're setting long-term prices based on an
4	old market that was higher and the market comes in lower,
5	you're wishing you hadn't gone out that far, so but
6	it's it is the the plain matter of the fact is the
7	commodity prices have dropped, and we've locked ourselves
8	into substantial long-term obligations based on a time
9	when commodity prices were higher.
10	Q Okay. And do you have any reason to think that
11	the Companies' current projections of avoided cost in
12	this proceeding are inaccurate?
13	A I think, very importantly, the Companies'
13 14	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the
13 14 15	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and
13 14 15 16	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say
13 14 15 16 17	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go
13 14 15 16 17 18	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go down again, might go up, but we went through an extensive
13 14 15 16 17 18 19	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go down again, might go up, but we went through an extensive process to show why it's important to use the market
13 14 15 16 17 18 19 20	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go down again, might go up, but we went through an extensive process to show why it's important to use the market
13 14 15 16 17 18 19 20 21	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go down again, might go up, but we went through an extensive process to show why it's important to use the market price as opposed to a spot forecast, why and we'll get into that, I'm sure, throughout the day but, no, I
13 14 15 16 17 18 19 20 21 22	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go down again, might go up, but we went through an extensive process to show why it's important to use the market price as opposed to a spot forecast, why and we'll get into that, I'm sure, throughout the day but, no, I think today we've we've said here's what the current
13 14 15 16 17 18 19 20 21 22 23	A I think, very importantly, the Companies' projections in this proceeding demonstrate where the market is today. So we took great pains to go out and explain where the market is today, and that but to say that the market won't move two years from now could go down again, might go up, but we went through an extensive process to show why it's important to use the market price as opposed to a spot forecast, why and we'll get into that, I'm sure, throughout the day but, no, I think today we've we've said here's what the current view is, and that's like any other market. It's, you

1	just and reasonable rates at today's market conditions.
2	Q Okay. And standing standing where you are
3	today, you don't have any reason to think that these
4	contracts entered into under the new rates would result
5	in future overpayments?
6	A The longer term you go out, the longer the risk
7	is. So whenever you go out in time, whether it's market
8	forecast, whether it's fundamental forecast, there's a
9	cone. Uncertainty gets greater through time, so no
10	matter how we set rates today, the further we go out, the
11	more risk there will be.
12	Q Would you also agree that there's it's an
13	equal possibility that it might result in underpayments
13 14	equal possibility that it might result in underpayments in the future?
13 14 15	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal
13 14 15 16	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a
13 14 15 16 17	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are
13 14 15 16 17 18	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are not at an equal probability. You are locking in a price
13 14 15 16 17 18 19	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are not at an equal probability. You are locking in a price that has a much greater probability that you will have
13 14 15 16 17 18 19 20	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are not at an equal probability. You are locking in a price that has a much greater probability that you will have overpayment risk. If you in the face of a liquid
13 14 15 16 17 18 19 20 21	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are not at an equal probability. You are locking in a price that has a much greater probability that you will have overpayment risk. If you in the face of a liquid market where you can transact, you must transact at
13 14 15 16 17 18 19 20 21 22	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are not at an equal probability. You are locking in a price that has a much greater probability that you will have overpayment risk. If you in the face of a liquid market where you can transact, you must transact at market to have that equal probability. If you transact
13 14 15 16 17 18 19 20 21 21 22 23	equal possibility that it might result in underpayments in the future? A That's a great question. There's only an equal probability if you transact that market. If you adopt a fundamental price that's already above market, you are not at an equal probability. You are locking in a price that has a much greater probability that you will have overpayment risk. If you in the face of a liquid market where you can transact, you must transact at market to have that equal probability. If you transact at above market, you do not have equal probability.

Page: 40

1	at market, you do have an equal probability of going up
2	and down. That's the definition of a market. So if done
3	correctly, there would be an equal probability.
4	Q Okay. Thanks, Mr. Snider. And now, yeah, the
5	mic can go to Ms. Bowman. I appreciate that.
6	So Ms. Bowman, I'm going to look at page 33 of
7	your rebuttal, lines 10 through 12.
8	A (Bowman) Okay.
9	Q Okay. Thank you. And there you state that,
10	"North Carolina's implementation of PURPA has
11	significantly encouraged unprecedented QF development
12	compared to other states."
13	A That is correct
10	II IIIII ID OOLLOOD.
14	Q Okay. Thank you. Has there been any
14 15	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the
14 15 16	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast?
14 15 16 17	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of
14 15 16 17 18	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of the charts in my direct testimony. So if you refer to
14 15 16 17 18 19	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of the charts in my direct testimony. So if you refer to page 36, Figure 7, of my direct testimony, it shows
14 15 16 17 18 19 20	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of the charts in my direct testimony. So if you refer to page 36, Figure 7, of my direct testimony, it shows utility solar scale projects across the country, and you
14 15 16 17 18 19 20 21	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of the charts in my direct testimony. So if you refer to page 36, Figure 7, of my direct testimony, it shows utility solar scale projects across the country, and you can see some there in South Carolina, Georgia, Alabama,
14 15 16 17 18 19 20 21 22	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of the charts in my direct testimony. So if you refer to page 36, Figure 7, of my direct testimony, it shows utility solar scale projects across the country, and you can see some there in South Carolina, Georgia, Alabama, Mississippi, Louisiana, and Florida.
14 15 16 17 18 19 20 21 22 23	Q Okay. Thank you. Has there been any meaningful development of QFs in any other state in the Southeast? A So I think we can go back and look at some of the charts in my direct testimony. So if you refer to page 36, Figure 7, of my direct testimony, it shows utility solar scale projects across the country, and you can see some there in South Carolina, Georgia, Alabama, Mississippi, Louisiana, and Florida. Q Okay. And do you know if any of these states

1	A I
2	Q solar QFs?
3	A I do not know that off the top of my head, but
4	I would definitely say Georgia has more than that.
5	Q And are you certain that all the projects
6	listed there are are necessarily QFs?
7	A Well, it depends I think they are
8	technically considered a QF because they're a renewable
9	energy facility, and if they're solar, they're deemed a
10	QF under FERC. I think perhaps you're asking the
11	question are those PURPA.
12	Q Uh-huh.
13	A Are they done under the context of a PURPA or
14	avoided cost rate? And I believe there is another chart
15	that we discussed yesterday in my direct testimony that
16	where we talk about that in North Carolina we are 60
17	percent of all PURPA contracts in the country.
18	Q Uh-huh.
19	A And, you know, I I go on to explain the
20	reason why, and that is because we have had long-term,
21	fixed 15-year contracts for 5 megawatts at a, you know,
22	fixed fairly high avoided cost rate, and so that is very
23	attractive to solar development. And I believe that
24	other jurisdictions in the Southeast, as I point out in

Page: 42

1	my testimony, do not have the length of the long-term
2	contract, nor are they fixed for that length, and they're
3	also, some of them are variable and the rates are
4	lower.
5	Q Okay. So with that, isn't it the case in
6	that, you know, North Carolina is the only state in the
7	Southeast and one of the few in the country that has
8	implemented PURPA in a way that has actually encouraged
9	QFs?
10	A I wouldn't necessarily say that. I don't
11	necessarily say that it's not it's the only state. I
12	just said that we had, you know, unprecedented PURPA in
13	North Carolina.
14	Q All right. Okay. Thank you. I'm going to my
15	last topic here. I think we had a nice transition to
16	contract tenor.
17	So, you know, as a general matter, would you
18	agree that PPA length or tenor is an important
19	consideration for any QF project developer?
20	A I believe, and I'm going to refer to my my
21	testimony, my rebuttal testimony, that QF developers, you
22	know, have to measure all sorts of things, price,
23	contract tenor, cost of capital, risk of investment,
24	amongst other things that come into play, debt and

Page: 43

1	equity, how much capital they're putting into the
2	project, those those types of things, so it's not the
3	only thing. It's one thing that goes into consideration.
4	Q Okay. Would you agree it makes the first team
5	of those factors?
6	A I am not a developer, nor am I a finance
7	expert.
8	Q Okay. Thank you. Mr. Snider, let me ask you.
9	This is based on page 11 of your rebuttal, lines 2
10	through 11, so I'll give you a minute.
11	A (Snider) I'm sorry. Can you repeat?
12	Q Yes, sir. That is page 11 of your rebuttal,
13	lines 2 through 11.
13 14	lines 2 through 11. A Yes.
13 14 15	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the</pre>
13 14 15 16	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a</pre>
13 14 15 16 17	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be</pre>
13 14 15 16 17 18	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be clear.</pre>
13 14 15 16 17 18 19	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be clear. A I think I say the 10-year term is demonstrated</pre>
13 14 15 16 17 18 19 20	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be clear. A I think I say the 10-year term is demonstrated to be financeable, at least for larger QFs, as</pre>
13 14 15 16 17 18 19 20 21	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be clear. A I think I say the 10-year term is demonstrated to be financeable, at least for larger QFs, as demonstrated by our experience.</pre>
13 14 15 16 17 18 19 20 21 21 22	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be clear. A I think I say the 10-year term is demonstrated to be financeable, at least for larger QFs, as demonstrated by our experience. Q Okay. And what is the basis of the that</pre>
13 14 15 16 17 18 19 20 21 22 23	<pre>lines 2 through 11. A Yes. Q Okay. Thank you. You explain there that the 10-year contract term is demonstrably financeable for a larger QF. I'm not quoting. I'm paraphrasing, to be clear. A I think I say the 10-year term is demonstrated to be financeable, at least for larger QFs, as demonstrated by our experience. Q Okay. And what is the basis of the that what is the basis of your conclusion? What is that</pre>

Page: 44

A We have 10-year contracts in place here in
North Carolina.
Q Okay. And just because some QFs have been able
to finance a limited number of 10-year PPAs, does that
prove that it's financeable for the broader QF community?
A No. I think I what I said is at least for
larger QFs, it's been demonstrated that 10-year contracts
are financeable.
Q And do you have a similar basis to conclude
that 10-year contracts are financeable for small QFs?
A I did not support that in my testimony, so I'm
not saying it's it is not financeable, and I'm not
saying it is financeable.
Q Okay. Thank you. And did you hear Mr. Yates'
testimony yesterday?
A I did.
Q Okay. And are you aware of whether Duke Energy
Renewables has any projects with 10-year PPAs?
A I have no knowledge of the nonregulated side of
our business and their what contracts they do or don't
have.
Q Okay. Would you agree from the testimony
yesterday that at least Duke Energy Renewables publicizes
the terms of its projects on its website, or some of its

Page: 45

1	projects?
2	A Yes. I'll stipulate
3	MS. FENTRESS: I believe it's
4	A to whatever is in there is is correct,
5	what Mr. Yates said is is correct.
6	Q Okay. Thank you. And would you agree that PPA
7	tenor is an important element for Duke Energy when it
8	decides whether to develop or acquire a solar project
9	that will sell its output to another utility?
10	A I'm sorry. Are you talking Duke Energy
11	Renewables on the nonregulated side or are you talking
12	about the regulated?
13	Q Yes. Duke Energy Renewables in that case.
14	A I'm
15	MS. FENTRESS: I believe Mr. Snider has
16	testified that he's not familiar with the nonregulated
17	side of the house.
18	CHAIRMAN FINLEY: I think he can't
19	A That is my
20	CHAIRMAN FINLEY: I think he can't answer that
21	question.
22	THE WITNESS: Yeah.
23	A So I'm not familiar with the regulated side of
24	the house.

Page: 46

1	Q Okay. Let me ask you
2	A The nonregulated side. Sorry. Sometimes
3	Q Okay. Let me ask this in a general way, then.
4	Does the PPA tenor affect the degree of risk associated
5	with a QF developer?
6	A I think it's one factor, as Ms. Bowman said,
7	and I find it interesting, you know, just anecdotally
8	that what we're saying is we it affects their risk and
9	what we'd like to do is put that risk on the consumer so
10	that the QF can develop. Because risk has to go
11	somewhere, so what we're saying in this docket, what I
12	keep hearing is we need to transfer that risk away from
13	the QF developer, put it on the consumer so that they can
14	finance the project. And so, yes, it is a risk factor
15	that needs to go somewhere, and what I'm hearing is the
16	developer would like that risk to go to the consumer.
17	Q Well, for a developer, would you agree that not
18	having contracted cash flows beyond the life of the PPA
19	would create uncertainty about the return that would be
20	realized on the investment?
21	A Yes. Having uncontracted cash flows over the
22	life of an asset would create a degree of uncertainty. I
23	do not read PURPA to say that you're supposed to take all
24	uncertainty away from the QF developer.

1	Q Okay. One last real quick line of questioning.
2	I appreciate your answers today. So Ms. Bowman,
3	yesterday afternoon you answered some questions from
4	SACE's counsel regarding whether the Company has done any
5	studies or analysis to determine whether a 10-year PPA
6	with a two-year reset on the energy rate would be
7	financeable. Do you recall that?
8	A (Bowman) Yes, I do.
9	Q Okay. Just a very few follow-up questions
10	here. So in preparing for this case, did the Company
11	reach out to any QF developers to discuss the proposal
12	and whether it would be workable for them?
13	A I believe I answered that question yesterday.
14	Q And could you refresh our memory? Was the
15	answer no?
16	A Yes. If you look at my testimony, you know, I
17	talk about I'm not I'm not a financing expert, you
18	know, but we looked at other states, and we also looked
19	at PURPA, and within the context of PURPA, it's up to the
20	states to balance the needs of promoting QF resources and
21	also ensuring that the rates are just and reasonable to
22	the customer so the customers are not harmed. The QF
23	PURPA put to the utility should not harm the customers.
24	The intent of PURPA is to not harm the customers, and

Page: 48

1	that's why they are entitled to the avoided cost rate,
2	and there's lots of discretion left to the Commission.
3	Our desire and our goal with reducing the term and in
4	this avoided cost docket is to try to promote no harm and
5	less risk to our customers of overpayment.
6	Q Okay. And does anyone in this Panel have
7	experience developing a solar QF project and securing
8	financing or equity investment?
9	A (Freeman) No.
10	A (Snider) No.
11	Q Okay. So is it fair to say that no one on the
12	Panel
13	CHAIRMAN FINLEY: The answer was a no. Go
14	ahead.
15	MR. CULLEY: Okay. Thank you, Chairman.
16	Q So it is fair to say that none of you know
17	whether a 10-year PPA for a 1 megawatt project or a 10-
18	year PPA with a two-year reset provides a QF a reasonable
19	opportunity to attract financing under the current
20	current environment?
21	A (Freeman) No.
22	A (Bowman) No. No.
23	Q Okay.
24	MR. CULLEY: Thank you. That's all my

1	questions. I appreciate your time.
2	CHAIRMAN FINLEY: All right. Who's next?
3	MS. HARROD: Mr. Chairman, Jennifer Harrod on
4	behalf of the North Carolina Attorney General for the
5	Consuming and Using Public. Thank you, sir.
6	CROSS EXAMINATION BY MS. HARROD:
7	Q Mr. Snider, Ms. Bowman, Mr. Freeman, good
8	morning.
9	A (Bowman) Good morning.
10	Q I I have no preference as to who answers
11	these questions other than, you know, whoever whomever
12	is most knowledgeable and most appropriate, so if I
13	direct something to one of you, anybody can feel free to
14	pick up the baton.
15	So Duke Energy in this proceeding is proposing
16	to greatly increase the number of QFs that will need to
17	enter into negotiated contracts as opposed to accepting
18	the standard contract, and so I would like to have a
19	better understanding of what the differences between
20	those two things are. And I understand from Ms. Bowman's
21	testimony that and I guess from Mr. Freeman's
22	testimony, also, that at this point Duke Energy has a set
23	of standard terms that it opens those negotiations for
24	negotiated bilaterally negotiated contracts, correct?

1	A (Bowman) That is correct.
2	Q Okay. So for those those standard
3	negotiated contract terms, how what are the primary
4	differences in those terms as compared to the standard
5	contracts?
6	A I would say the primary difference is for the
7	large negotiated we do updated avoided cost rates, more
8	real-time avoided cost rates, and the the standard are
9	the avoided cost rates set in this type of proceeding.
10	A (Snider) And I'll just expand ever so briefly.
11	The standard rates stay in effect for two years, no
12	matter what happens to the market prices, and I've gone
13	over a great deal of detail in my rebuttal and in my
14	direct about how volatile prices can be. So when you go
15	through the negotiated process, the real-time market
16	conditions at least within that time period are being
17	reflected, and you're not leaving a two-year stale rate
18	available to a large number of QFs which presents a risk.
19	Q Okay. So the rate if I understand you
20	correctly, the rate is derived using the ProSim modeling
21	software; is that correct?
22	A Yes. The avoided energy rates are developed
23	using the market prices of gas and coal at a point in
24	time and how that would relate to avoided marginal cost

Page: 51

1	as determined through the ProSim process in our rates
2	department.
3	Q And it's the same inputs that would be used for
4	establishing the rates in the biennial avoided cost
5	proceedings?
6	A No. Actually, they're different inputs. So
7	the inputs are coal and gas prices that you use at one
8	point in time for the biennial avoided cost, and then
9	those those rates get froze for two years.
10	So let me give you a simple example. If gas
11	prices today were \$4 across the curve, we would use \$4
12	gas and say, okay, power is \$35. If gas prices three
13	months from now went to \$3, we would run ProSim with \$3
14	and say the then negotiated rate is only worth \$28 to the
15	utility in equivalent power, whereas if they were under
16	the standard rate, you would not get to reflect the fact
17	that gas prices have dropped, and they would still get
18	the standard rate back from the original filing. So as
19	we move through time, ProSim is using new market data to
20	give you the value of marginal energy.
21	Q Okay. So let me clarify my question. The
22	value of the inputs will change over time as the market
23	changes, but the actual inputs themselves, you know, for
24	instance, if it's the price of gas, that's being that

1	that value will change, but what you use, what Duke uses
2	as the price of gas is the is the same as it would be
3	for a standard contract and a negotiated contract?
4	A Right. So what we're saying is it's the same
5	system; it's just a new gas price getting put into that
6	system.
7	Q Okay. So just to make sure I'm clear, at the
8	present time, the negotiated contracts do not have a
9	factor in them for the cost of integration?
10	A (Freeman) No, they do not.
11	Q Okay. And the proposal is that in the future
12	they may they may have that term.
13	A We haven't made a formal proposal, but, yes,
14	that is our plan as time goes on to include integration
15	cost in in those contract prices.
16	Q Are there any other plans to deviate between
17	the pricing the way pricing is calculated for a
18	standard contract and the way pricing is calculated for a
19	negotiated contract?
20	A (Snider) You know, I think what we've talked
21	about and what you'll probably hear more about today is
22	the value of a technology specific. Again, the rates, as
23	filed in this proceeding, are technology agnostic, so
24	they assume that there is an equal amount of generation

Page: 53

from some generic QF in every hour of every day, and then 1 you average those values to come up with both energy and 2 capacity. So when you look at -- and that has a long 3 history back predominantly to baseload generators such as 4 qualifying facilities that burned some fuel and then 5 produced steam, and so you had large QFs that burned gas 6 that were largely baseload, and that's how a lot of our 7 policies came into practice today. 8

9 So when you then take and move from that 10 generic rate to a solar-specific rate, as would be 11 envisioned under PURPA, you take into account what are 12 the attributes of that specific technology. So when we 13 looked at it, said there are different ancillary service 14 costs or integration costs with that technology specific 15 as opposed to just this generic rate.

There are other things that are different as 16 well, so as we've spoken about today, capacity and how 17 much capacity can the utility actually not build from a 18 generic QF is very different than how much capacity could 19 I not build from a solar QF. So the rates, as applied 20 today, pay -- still pay a fairly handsome capacity 21 payment even though very little capacity can be avoided 22 through solar. 23

24

So I do think we need to take into account when

1	looking at a technology-specific rate how much capacity
2	value is actually being avoided by the utility so that
3	we're not paying QFs for capacity that's not being
4	avoided. And so as Ms. Bowman pointed out, what is just
5	and reasonable for the consuming public is a is a big
6	concern. So I think when you get into a technology-
7	specific rate, that's another area that will need to be
8	addressed for the large negotiated and potentially in the
9	future if we did have a standard technology-specific rate
10	in the standard offer. We do not propose one at this
11	time.
12	Q Okay. Before you give up the microphone, is
13	the Company considering you know, there's quite a bit
14	in Duke Energy's testimony about the uncontrolled nature
15	of solar development. Is the Company studying paying
16	higher rates for things like locations that are more
17	advantageous on the grid or the kinds of power quality
18	services that Ms. Harkrader testifies about? Is that
19	being studied?
20	A (Bowman) So I will comment that that's one of
21	the reasons we are talking about promoting a competitive
22	procurement process that would be outside the confines of
23	PURPA. If you look at my direct testimony on page 60, I
24	believe I've I've referenced this numerous times. In

A

24

that competitive procurement process outside the context 1 of PURPA we would be negotiating with intermittent 2 renewable resources, and DEC and DEP would have the 3 ability to site in those locations that would be good for 4 the grid on the system. We would also have the ability 5 to curtail and dispatch those. We would agree to 6 potentially longer contract length terms as an incentive 7 to get those good locations and the ability to curtail 8 and dispatch. So we are definitely looking into that, 9 and that's why we have proposed this different model for 10 solar development. 11

As we talked a little bit earlier about the 12 development in other Southeastern states, they've done 13 that outside, and other jurisdictions in the country have 14 done that outside the confines of the PURPA put. They've 15 done it in a different way, and that's what we're 16 proposing to do here in North Carolina, a smarter, more 17 sustainable managed way. 18

So Ms. Bowman, operationally, what I'm hearing 19 0 you say is that it is possible for Duke to pay more 20 higher rates or offer otherwise more favorable terms to 21 get -- to get power from the QFs that is more usable to 22 it, correct? 23 (Snider) Exactly. So I would say -- you know,

Page: 56

1	you asked earlier about ancillary service costs or, you
2	know, integration costs. There would be a different
3	integration cost for a controllable QF than a non-
4	controllable QF. So it it still may have some
5	integration costs. You still can't when we say
6	control, I want to be very clear, it's not dispatchable.
7	It's controllable. I can't call on a unit if the sun is
8	not shining or if there's a cloud overhead, but if I can
9	control it to the extent it does have output capability,
10	that reduces the the ramp and the ancillary needs that
11	Mr. Holeman spoke about yesterday.
12	So clearly in a situation where you had
13	controllability, as proposed by Ms. Bowman in a
14	competitive solicitation process, that would be part of
15	the competitive solicitation, would be to ensure
16	controllability, you would be able to offer them a rate
17	that didn't include a decrement to the extent the you
18	know, to the level of the decrement that's needed for
19	non-controllable. So there would clearly be
20	differentiation between the QF technologies depending
21	upon those characteristics.
22	Q Okay. So it's it's operationally possible
23	to do that. My question is why or is it possible to
24	do that under PURPA as opposed to through an RFP process?

Page: 57

1	A I guess all of us could have answered that.
2	PURPA, to I think all of our reading, only allows the
3	most limited control in system emergency. So PURPA, by
4	its very nature, is a you must take, you you know,
5	that is sort of one of the underlying, it's got to be a
6	just and reasonable rates, but you must take. You cannot
7	economically control. You cannot do what's in the
8	general best interest of the system operator. You have
9	to limit yourself to controllability by PURPA under, you
10	know, the most stringent definition of system emergency.
11	Having controllability allows you to do what's in the
12	best interest of the customer to reduce those ancillary
13	service costs and, therefore, that is where you could
14	offer the different rates.
15	So, no, you cannot you cannot mandate under
16	PURPA what you could ask for in a competitive
17	solicitation process. And I'll turn it over to my Panel,
18	if they
19	A (Freeman) Well, I'll just reflect a little bit
20	on some of the things that we're we're experiencing
21	today. You know, under PURPA, a QF is entitled to our
22	avoided cost rate. It's a generic avoided cost rate
23	regardless of where that project is located on the
24	system. So we've got examples where one particular QF

has no upgrade cost, you know, associated with that project, and a project elsewhere on the system may have significant upgrade cost. And depending on, you know, the -- I'll call it the staleness of the avoided cost rate, you know, that QF may or may not be able to afford a significant upgrade cost.

So we have one example that I use quite often 7 where a particular project locked into a -- a very old 8 avoided cost rate located on the system where it cost the 9 developer \$2.3 million to upgrade our system to 10 accommodate that project. Under that same rate, another 11 project located in a different location had no upgrade 12 cost on that -- you know, to accommodate that project. 13 So what we're trying to move to with this competitive 14 solicitation process is move to a process where the 15 developer provides us a price that's separate from 16 avoided cost that reflects their investment cost plus, 17 you know, a fair return on their investment, and then we 18 will look at, you know, where those projects are located 19 on the system in making determinations as to which 20 projects make the most sense to bring on the system. 21 And, again, so that's not talking about Q 22 refusing power. That's just talking about where 23 something is located on the system. Would it be your 24

1	understanding that PURPA would not allow differentiation
2	for rates for, for instance, a placement on the grid that
3	might result in in less line loss?
4	MS. FENTRESS: I'm going to object. This line
5	of questioning is asking these witnesses for technical
6	legal interpretations of PURPA's requirements, and they
7	are not testifying as attorneys.
8	CHAIRMAN FINLEY: Oh, yes, they are as to legal
9	requirements of PURPA. Overruled.
10	A (Freeman) I mean, ask your question again.
11	Q Sure. I understood what you said about
12	about the fact that you can't curtail power outside of
13	the emergency context, so my question was about whether
14	it would be whether your understanding under
15	acknowledging that you're not lawyers, whether it's your
16	understanding that PURPA would allow for differentiation
17	of rates based on whether a QF was located on the grid in
18	a more advantageous location, for instance, where it
19	would result in fewer or no line loss?
20	A (Bowman) I'm not sure about your reference to
21	specifically line line losses. You know, the way we
22	are setting QF rates for the standard contract in North
23	Carolina is not based and it's not related to the cost of
24	the PURPA project. It is related to the utility's



avoided cost. So I think that's one differentation
 (sic).

PURPA does allow for differences in rates for 3 technologies. You can take that into account. You can 4 take into account the dispatchability. Is the asset 5 dispatchable? You can take into account those things. 6 So could -- and I believe we acknowledge that you could 7 come up with a separate rate for solar, and I believe 8 we've talked about coming up with something separate for 9 the negotiated, taking into context certain things in 10 that, so I believe technically PURPA allows for -- for 11 differentation (sic), but to get to where we need to go 12 from an operational standpoint and looking at the risk of 13 cost to our customers, we want to promote something 14 outside the context of PURPA because we believe that 15 provides the greatest flexibility, and that is the best 16 way to move forward in this state for the development of 17 -- of solar and renewables. 18

19 Q Okay. Thank you. Quick question about 20 negotiated contracts. Do the -- does Duke Energy 21 negotiate on any non-price terms on a -- commonly with 22 those negotiated bilateral contracts?

23 MR. BREITSCHWERDT: Objection. This has been 24 asked and answered. We spent five minutes with Cypress

Page: 61

1	Creek's attorney talking about non-price terms that were
2	negotiated.
3	CHAIRMAN FINLEY: Well, let her ask it again.
4	Overruled.
5	A (Bowman) Yes, we do. Gary?
6	A (Freeman) I think the answer is yes. We've
7	you know, we've evolved or iterated the nonstandard
8	contract over time as part of the negotiation process
9	with with these developers.
10	Q Okay. So is the the length of the term, is
11	that a negotiated is that a term that Duke will
12	negotiate?
13	A No. No, we have not.
14	Q You're sticking to 10 years; is that correct?
15	A Well, we had been sticking to 10 years up until
16	recently, but, you know, now that negotiated rate for a
17	nonstandard contract is five years. And we we look at
18	that, you know, that term, you know, based on what we
19	feel is just and reasonable for our, you know, utility
20	customers. And I think Mr. Snider has touched on this
21	multiple times, the you know, the further out we go
22	with that term, the more uncertainty with that that
23	pricing.
24	Q Mr. Snider, I want to ask you a few questions,

Page: 62

1	and I I do recognize that you testified at some length
2	yesterday about the approximately 1 billion in
3	overpayments for energy and capacity relevant relative
4	to current market, and I'm quoting from your direct
5	testimony at page 38, line 1 through 5. I I have a
6	couple
7	A (Snider) I'm sorry. Can I just get to that
8	page
9	Q Of course.
10	A page 38?
11	Q Of course.
12	MS. HARROD: For the comfort of everybody in
13	the room, I have a couple of questions that I don't
14	believe he testified to.
14 15	believe he testified to. A Okay. I'm there.
14 15 16	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is</pre>
14 15 16 17	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you</pre>
14 15 16 17 18	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you developed that number, I want to understand, is that an</pre>
14 15 16 17 18 19	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you developed that number, I want to understand, is that an apples-to-apples comparison over the rates that were</pre>
14 15 16 17 18 19 20	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you developed that number, I want to understand, is that an apples-to-apples comparison over the rates that were established in the Sub 140 docket? I notice that in Dr.</pre>
14 15 16 17 18 19 20 21	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you developed that number, I want to understand, is that an apples-to-apples comparison over the rates that were established in the Sub 140 docket? I notice that in Dr. Johnson's filed testimony, he testified that he</pre>
14 15 16 17 18 19 20 21 22	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you developed that number, I want to understand, is that an apples-to-apples comparison over the rates that were established in the Sub 140 docket? I notice that in Dr. Johnson's filed testimony, he testified that he understood that you arrived at that figure by taking a</pre>
14 15 16 17 18 19 20 21 22 22 23	<pre>believe he testified to. A Okay. I'm there. Q Okay. Thanks. So what I wanted to know is, is when you're when you testified or when you when you developed that number, I want to understand, is that an apples-to-apples comparison over the rates that were established in the Sub 140 docket? I notice that in Dr. Johnson's filed testimony, he testified that he understood that you arrived at that figure by taking a snapshot of a single year, 2015?</pre>

.

1

2

Q Is he incorrect or correct in that?

A He was very incorrect.

3 Q Okay. So when you came up with that number of 4 that 1 billion in overpayments, what I'd like to know is when you looked at the -- the gas pricing for the Sub 140 5 and your calculation that there were a billion dollars in 6 overpayments, did you use the same -- did you use the 7 8 same term -- I understand that the value is different, 9 but did you use the same term in terms of using the five-10 year forward prices and then thereafter the fundamental forecast developed by Duke? 11

No. We -- as I explain in great detail in my 12 Α testimony, we've used in our 2015 IRP, our 2016 IRP, and 13 in this proceeding, we use 10 years of market prices for 14 gas. We've secured gas, bought gas for the utility for 15 16 10 years out. So consistent with our last two regulatory filings, consistent with this filing in this case, and 17 consistent with our experience of purchasing gas, I did 18 use the long dated. So I didn't use 2015 or 2016 gas and 19 then compared it to a long-dated obligation. I used the 20 gas price that was commensurate with that obligation, so 21 here's the market price for gas over the next 10 years, 22 here's what the utility could produce power for today at 23 today's market prices, and then here's what we're paying 24

QFs under the old rates over that equivalent term
 structure.

3 So I used the same term and matched up a market obligation with a market obligation, so we have a forward 4 obligation, we have a contractual obligation with these 5 QFs that is no longer negotiable. Those prices are set, 6 those terms are set, and we will pay that to those QFs 7 over the next 10, 11, 12, 13 years remaining in those 8 9 contracts. That was a \$2.9 billion obligation just for what was in effect at the end of last year. If I reprice 10 those today using the current 10-year plus term for gas, 11 those would be worth 1.9 billion. So I did use a very 12 apples-to-apples comparison. 13

Q Okay. And just to be clear, the price that you used for current forecasts where you said there was a \$1 billion overpayment, was that 2017 pricing?

That was pricing actually as of what we did in 17 Α -- we filed the rate. So I didn't even take into account 18 -- the 1 billion would actually be greater, it would be 19 much bigger than a billion if I included the drop in fuel 20 prices that we've seen since we filed these rates. So 21 the 1 billion was only back to where fuel prices were 22 when we filed these rates as of November 15th, and today 23 fuel prices have fallen even further, and I demonstrate 24

North Carolina Utilities Commission

Page: 64

Page: 65

1	that in my testimony, that fuel prices have dropped, you
2	know, somewhat significantly over the 10-year term since
3	we filed the rates. So back in November the rates that
4	we used to file this fuel was higher. I used those, so
5	it's consistent with
6	Q Got it.
7	A the rates filed in this proceeding.
8	Q Okay. And I don't want to quibble with you
9	about what apples to apples means, but but I just want
10	to make it clear that in coming up with the \$1 billion
11	shortfall, you did not use the methodology that was
12	approved by the Commission in the Sub 140?
13	A No. That's incorrect. The Commission in 140
14	did not mandate actually, what they mandated was use
15	what was in your most recent IRP in 140. In 140 we had
16	five and five years of gas prices and a blend or
17	actually a jump right to fundamentals in the IRP, and so
18	we were ordered to use what was in the IRP, and we did do
19	that in 140 subsequently and filed rates. We have filed
20	two IRPs since then with 10 years of market prices, and
21	consistent with that Order, we have used market prices in
22	this proceeding that were consistent with those used in
23	the IRP. So I believe I'm being very consistent with
24	what was explicitly told to do in the Order in 140.

Page: 66

1	Q Okay. Thank you for clarifying that. Mr.
2	Snider, in FERC's Order Number 69 it says, "In the long
3	run, overestimations and underestimations of avoided cost
4	will balance out." We're talking about a change in the
5	forecasting in a two-year period of time. Do you believe
6	that that constitutes in the long run for to give
7	overestimations and underestimations a chance to balance
8	out?
9	A I'm sorry. Could you rephrase that? I I
10	don't know what you're asking me to compare when you say
11	two-year time. Try rephrasing.
12	Q Okay.
13	A I'm sorry.
14	Q Sure. Absolutely. No problem. So I
15	understand that the that the tariffs that were
16	developed in the Sub 140 occurred according to what's
17	happened to gas prices since then turned out to have been
18	too high based on based on what happened with the
19	market over the last two years, correct?
20	A Yes.
21	Q I guess what I'm asking you is, the model that
22	
	FERC favors is allowing there to be a longer "a long
23	FERC favors is allowing there to be a longer "a long run" is the term used for those overestimations and

Page: 67

you think that two years is sufficiently long to allow those overestimations and underestimations to balance out?

4 A I think -- I don't believe that's the proper 5 interpretation of their Order. I think when they say over and underestimations will balance out, it means if 6 you were to consistently be able to buy power at the then 7 prevailing market prices. So if I every month could have 8 9 an avoided cost rate, if we had this proceeding every 10 month, God help me, you know, and set a new avoided price 11 rate every month, that over time, if you had an existing 12 amount of QFs, let's say 100 megawatts of QFs took 13 service in month one, month two, month three, that if you 14 looked across time, some of those would be overpaid and 15 some of those would be underpaid. And so if you had 16 updated rates very regularly and you had consistent PURPA development very regularly, it would be almost like a 17 18 hedging program.

19 It's like your stock market. You're putting 20 money in your 401(k), and some weeks you're like, boy, 21 why did I put it in there, the market has come down 20 22 percent; other weeks, boy, it went up 20 percent, I'm 23 glad I put some in there. If I do it across time, the 24 over/under balances are going to even out. That's what

Page: 68

1	they were referring to in that Order. And what we're
2	talking about here is moving to a method that does allow
3	a larger percentage to be priced on a more regular basis
4	so that you don't allow a systemic risk of having a large
5	number of QFs come in and at the cost of the consumers of
6	North Carolina, to the benefit of the QF community, come
7	in and get a rate that's known to be stale and over
8	market. And that's what's happened.
9	We saw that right before we filed our new
10	rates. The QF community noticed that, hey, commodity
11	prices are coming down. We had over 300 megawatts in
12	that last month establish LEOs, say I better get my
13	rights to these high, no-longer justified prices in place
14	so that I can take advantage of the process that's
15	currently in place in North Carolina. And and so, no,
16	I don't think you've properly interpreted PURPA at all,
17	and I think it's it's certainly meant to do exactly
18	what we're doing, which is to update these rates more
19	often so that over and under can balance out.
20	Q Thank you, Mr. Snider. So but let me let
21	me I think I understand where you're coming from. Let
22	me just you said that if a market rate if a
23	contract is made at a market rate, then both parties
24	entering into that contract at the market rate share the

Page: 69

1	risk of over and under estimations, correct?
2	A Very clearly, if done at a market rate when
3	there is a liquid available market, you must transact at
4	that market and not at something higher than that. So if
5	done at a transactable market that's liquid and
6	demonstratable, then yes, through time, you know, when
7	that market moves up and down, it can go up or down. One
8	of the systemic risks we face, though, is unlike our
9	stock example where we're going to invest every two
10	weeks, what happens in the QF world is the market moves
11	up and down, and as soon as price level is high enough,
12	I'll come in. When price levels go down, I don't have an
13	obligation to come in. So I'm not investing every two
14	weeks in my 401(k); I'm investing only when prices are
15	high and not when they're low. And that's you know,
16	that's the systemic risk that you face with QFs, is they
17	don't have an obligation to sell to you when prices are
18	low, but they have the right to sell to you when prices
19	are high.
20	Q With that being said, would you say that the

20 Q With that being said, would you say that the 21 biggest distortion in the current system that we have is 22 the staleness issue that Mr. Freeman has testified about? 23 A That is one. It is a big issue. Probably the 24 largest issue is, in my opinion, the use of anything

Page: 70

1	other than a demonstratable gas curve that's liquid to
2	set that long-term rate if you're going to go into the
3	long term. We talk a lot about the payment of a PAF,
4	which I'm sure we'll get into more, which oversubsidizes
5	capacity, and then probably the use of a technology
6	specific rate as opposed to a rate that's being generated
7	off the assumption that there's going to be 100 megawatts
8	of generation in each and every hour that is net
9	dependable capacity in every hour. That's how our
10	generic rates are set. So I do think that you need to
11	move to technology specific rates that recognize the
12	difference between a baseload QF that's providing steam
13	and burning gas is a very different QF than a solar QF or
14	a wind or a biomass, so technology specific is is
15	another one. So there's many factors that we've talked
16	about this proceeding.
17	Q Okay. But to be clear, the one that you
18	mentioned last, the technology specific rate, is not at
19	issue in this proceeding?
20	A No, it's not.
21	Q Okay.
22	A We've pointed out the differences.
23	Q Okay. Yes, you did. All right. I think I
24	just have one more short line of questioning. In Ms.

Harkrader's testimony -- Mr. Freeman, are you familiar 1 2 with that? (Freeman) Yes. 3 A 0 Okay. She mentioned that the QFs had agreed to 4 5 penalties for not abiding by time frames required by the 6 interconnected -- interconnection standard. And she also offered her opinion that the long delays between the 7 establishment of a LEO and interconnection to the grid 8 are caused by the long times that it takes for the 9 10 utility to -- to engage in the study process and not by the QFs. And I understand that the -- that you -- that 11 Duke Energy is going to propose some contracting 12 13 procedures to try to streamline that timeline. Is the --14 are the Companies willing to impose timeline requirements -- time limit requirements on themselves that have teeth 15 16 to keep the -- to keep the Companies also on track? 17 A Well, we are doing all we can within reason to comply with -- with those contracting timelines. I think 18 19 I testified yesterday that we continue to add a 20 tremendous number of resources to try and meet those 21 timelines. But you mentioned Ms. Harkrader's testimony 22 where they've got, you know, penalties. I want to kind of elaborate on that a little bit. 23 24 I mean, we do have -- I would call it a penalty

1	or an obligation, that we've got to study these projects
2	in a very nondiscriminatory way. We cannot discriminate,
3	so, you know, each project is, you know, kind of looked
4	at in that fashion.
5	But even more importantly in my mind is that we
6	have the obligation to ensure that we maintain system
7	reliability and service quality for all of our customers,
8	and to do that, you know, there's this this I'll call
9	it balancer or relationship between speed and accuracy.
10	And, you know, we've seen several times now where
11	sometimes, you know, speed is not maybe the most prudent
12	way of looking at these projects and the impact that they
13	have on the system.
14	So in my mind, you know, this reliability,
15	service quality obligation, and if we fail to maintain,
16	you know, that obligation, that could have a much, much
17	more significant financial credibility, you know, issue
18	on the Company than any kind of financial penalty that
19	you might imply that you you know, as as part of
20	that process.
21	Q Okay.
22	MS. HARROD: I thank you all, each one of you,
23	for your attention and your answers. Mr. Chairman.
24	CHAIRMAN FINLEY: Okay.
1	CROSS EXAMINATION BY MR. DODGE:
----	---
2	Q All right. Good morning, Panelists.
3	A (Bowman) Good morning.
4	Q Most of my questions are probably going to be
5	primarily directed at Mr. Snider, but I do have a few for
6	Ms. Bowman as well that I'd like to to start with.
7	Ms. Bowman, in in your testimony and in your
8	summary you listed a number of changes throughout. I can
9	give you some specific page numbers, but just the changes
10	that DEC had recommended as a result of the growing
11	concern of the volume of QF development in North
12	Carolina.
13	A Uh-huh.
14	Q Do you agree that the Public Staff's position
15	in this reflects this proceeding reflects some of
16	those same concerns?
17	A I do. They do reflect some of those very same
18	concerns.
19	Q And would you also agree the Public Staff's
20	position in this proceeding reflects a change from prior
21	from its position in prior avoided cost proceedings,
22	recognizing those concerns such as our agreement with the
23	Utilities' proposed reduction in standard contract
24	eligibility thresholds from from 5 megawatts to 1

megawatt? 1 2 Α Yes. And, similarly, the reduction of the maximum 3 0 4 standard contract from 15 years to 10 years? 5 A Correct. Okay. So these adjustments to the standard 6 0 7 offer thresholds will result in a larger percentage of facilities that have to utilize nonstandard negotiated 8 contracts with the Utilities, and that the use of those 9 10 nonstandard negotiated contracts and the updated information that flows into those discussions will --11 12 should help reduce some of the stale rate concerns that 13 are raised by the Utilities? Yes. I think I make a mention to that effect 14 Α 15 in my testimony --16 0 And --17 -- my rebuttal. A 18 Q And also reduce the risk of ratepayer risk, as 19 Mr. Snider has alluded to, the forecast risk and term risk associated with those -- those longer term 20 21 contracts. 22 In addition, the Public Staff supported the 23 Utilities' position on some steps needed to address the operational challenges faced by the growing amount of 24

1	solar generation particularly in North Carolina?
2	A Yes.
3	Q And Mr. Holeman spoke about this a little bit
4	yesterday, but you, in your testimony, did have a
5	discussion about some changes to the standard contract
6	provisions related to imminent emergencies. This is on
7	page 54 of your direct
8	A Yes.
9	Q testimony?
10	A And the curtailment, uh-huh.
11	Q Yes. And Duke is requesting that a contract
12	provision be added, stating that an imminent violation of
13	NERC BAL standard constitutes a system emergency?
14	A That's correct.
15	Q Would would you agree that Duke already has
16	the ability to curtail QFs during a system emergency
17	under PURPA?
18	A Yes. I believe it it does, and PURPA does
19	provide for the curtailment in system emergencies. But I
20	believe that, as Mr. Holeman testified yesterday, the
21	definition of emergency is is fairly loose, and thus
22	far it's been a very high hurdle. You you have to be
23	in a really dire situation before declaring that
24	emergency, so we're proposing some changes. It doesn't

9

completely resolve the operational issues, but certainly
 adding those provisions that if you're going to violate a
 BAL standard does help.

Q All right. And so if the Commission determines that an imminent violation of a NERC BAL standard would constitute a system emergency, then the -- the language in the current contract would be sufficient to allow the Utility to make curtailments during those circumstances?

A During those circumstances, correct.

Q Okay. Thank you. And switching subjects a little bit, in your rebuttal testimony you provide an alternative proposal for making fixed energy rates available to -- for standard offer QFs for 10 years? A Correct.

And you and Mr. Snider discussed this a bit 15 0 16 yesterday. I believe Mr. Snider characterized the resulting rates that would occur under that calculation 17 18 of rates as being slightly loader -- excuse me -slightly lower than a calculated 10-year rate would be. 19 Do you recall that discussion, Mr. Snider? 20 21 A (Snider) Yes, I do. And Mr. Snider, I think you indicated that the 22 Q

23 hydro rates would provide a basis for comparison since 24 they are calculated on a 10-year basis; is that correct?

1	A Yes. And I I think I qualified it with, you
2	know, they're slightly lower if you're using the market
3	curve as we proposed in the hydro rates.
4	Q Okay. Do you have your direct testimony with
5	you?
6	A I do.
7	Q If you could turn to page 8 of your direct
8	testimony. I'm going to refer to Figure 1 here in in
9	your testimony. I know it's kind of fine print on this
10	page, so I'll read out the numbers.
11	A We'll fix that next time.
12	Q So in your we'll just focus on the top with
13	Duke Energy Carolinas. I'm just trying to kind of better
14	understand what the the two proposals, the current
15	two-year rate would look like as compared to the 10-year
16	alternative proposal fixed fixed alternative proposal
17	that the Utility is offering. I'm looking at the the
18	top row, Duke Energy Carolinas, for the energy credits.
19	And under the Option B, Other PP box, you indicate the
20	on-peak rates would be for the variable rates, this is
21	for the variable rates, 3.59 cents per kWh; is that
22	correct?
23	A I see that, yes.
24	Q And the off-peak would be 3.16 cents per kWh?

1	A I see that.
2	Q Okay. And then if we go to down to the 10-year
3	fixed long-term rates in that same column for Option B,
4	the on-peak and off-peak energy credits are the same; is
5	that correct?
6	A Correct.
7	Q And that's based those would under the
8	Utilities' proposal in your direct testimony, those would
9	be reset every two years, so those rates would not
10	necessarily be the energy rates that they would get
11	following the next biennial proceeding?
12	A Right. They would be updated with each
13	biennial proceeding.
14	Q Okay. Thank you. So now let's go over to the
15	hydro column, so I'm looking at Option B Hydro - No
16	Storage, the last column.
17	A I see those.
18	Q All right. The energy credits for the variable
18 19	Q All right. The energy credits for the variable rates for the hydro are the same as they are for the
18 19 20	Q All right. The energy credits for the variable rates for the hydro are the same as they are for the Other PP; is that correct?
18 19 20 21	Q All right. The energy credits for the variable rates for the hydro are the same as they are for the Other PP; is that correct? A Correct.
18 19 20 21 22	Q All right. The energy credits for the variable rates for the hydro are the same as they are for the Other PP; is that correct? A Correct. Q For both on-peak and off-peak. All right.
18 19 20 21 22 23	Q All right. The energy credits for the variable rates for the hydro are the same as they are for the Other PP; is that correct? A Correct. Q For both on-peak and off-peak. All right. Now, if you go down to the 10-year fixed long-term rate

1	A Correct.
2	Q For the energy credit for the on-peak it's 4.06
3	cents per kWh and for the off-peak it's 3.42 cents per
4	kWh; is that correct?
5	A That is correct.
6	Q All right. And just to make sure I understand
7	the difference well, first let me let me ask a
8	point. Under the Utilities' proposal, the fixed rates
9	that would be fixed for 10 you would take the two-year
10	rates, which are the initial rates we talked about, the
11	3.59 cents and the 3.16, and fix those for 10 years and
12	carry those forward for the term?
13	A I think just one distinction is it would be at
14	the QF's discretion, so they could choose to take the
15	two-year rate and fix it for 10 years, or they could
16	choose to take the two-year rate and if they had a view
17	that the market was going to be more favorable in the
18	future, they could elect to have that rate then get
19	reset. So with that stipulation, yes.
20	Q Okay. And the Public Staff didn't agree with
21	the two-year reset, if you recall that from our
22	testimony?
23	A I do recall.
24	Q And so under the Public Staff's calculation,
	North Carolina Utilities Commission

1 those 10-year rates would have to be based on a 10-year
2 ProSim model run more similar to those rates for the
3 hydroelectric facilities?

Well, I quess that's one of my -- my larger 4 Α concerns in this proceeding, is that they may not be 5 consistent with that because Public Staff also took the 6 position that rather than using the actual market price 7 of gas, that we should use a fundamental forecast which 8 would then raise both the hydro rate for the 10-year 9 fixed and raise the non-hydro rate fixed price to levels 10 above market. That's one of my larger concerns. 11

And so by going to the two-year and just 12 extending it as a alternate compromise, you eliminate 13 that debate of which fundamental forecast do you use and 14 market and liquidity and a lot of things we'll speak more 15 about today, but it -- it says QF you can choose between 16 the two at your discretion, and then -- so that's -- that 17 is one of my big concerns is, no, it wouldn't necessary 18 lock in those hydro rates. 19

Q Okay. And I agree with your -- your statement there that there is a difference in these rates. But these rates for the hydro credits, energy credits that we talked about, are based on the use of the 10-year forwards that you --

That is correct. 1 A 2 0 All right. And --3 A At the time when the rates were developed, not the ones that currently exist. 4 So if the -- if the Commission were to find in 5 0 6 favor of the Public Staff regarding the use of 10-year forwards or using the fundamental forecast for an 7 8 extended period of time as compared to the 10-year forwards, these rates would likely be higher? 9 10 A Higher. 11 Thank you. The other changes that are 0 12 reflected in the 10-year hydro rates, are those things such as just inflationary changes, other -- what other 13 factors would change in a 10-year model run other than 14 15 the energy rates? 16 A I think the energy rates are largely driven by the commodity prices. The capacity, I think, is the 17 18 same. We've offered the -- there wouldn't be a different 19 capacity payment that's under the current Company proposal, and that -- that is what we're really talking 20 about because we said we'd fix the capacity rate for 10 21 22 years either way --23 Q Uh-huh. 24 -- so those wouldn't change, so the only thing A

Page: 82

1	that we've proposed would be the energy rates.
2	Q Okay. Thank you. So I'd like to ask a few
3	questions about the fuel forecasting methodologies.
4	First, I'd I'd
5	CHAIRMAN FINLEY: If you're going to change
6	topics there, Mr. Dodge, let's take our morning recess,
7	if that's okay with you.
8	MR. DODGE: Okay. Thank you.
9	THE WITNESS: Thank you.
10	CHAIRMAN FINLEY: So 25 after 11:00 we'll come
11	back.
12	(Recess taken from 11:10 a.m. to 11:25 a.m.)
13	CHAIRMAN FINLEY: All right. Let's come back
14	on the record. Mr. Dodge, I believe you have questions.
15	CONTINUED CROSS EXAMINATION BY MR. DODGE:
16	Q All right. Thank you. So I was just getting
17	ready to switch subjects to the fuel forecasting
18	methodologies discussion, and I wanted to note, Mr.
19	Snider, as you've already noted today, that this issue
20	spilled over several dockets, including the last avoided
21	cost proceeding and the 2016 IRP that's currently pending
22	before the Commission?
23	A (Snider) I think it was 2015 and 2016 IRP, so
24	back in the '14 avoided cost we used or full market

Page: 83

1	'15 IRP, '16 IRP and this docket, so this is the fourth
2	docket that we've submitted full market for 10 years.
3	Q All right. And I don't want to get down in the
4	weeds too much with some of the the differences here
5	for but for the sake of those of us in the room that
6	aren't natural gas traders or haven't done that
7	previously, can you provide just a general explanation on
8	the difference between a forward price and a fundamental
9	forecast?
10	A Yeah. Just real quickly, a forward price is
11	not something you're paying for today. It's just an
12	agreement between willing buyers and sellers at the price
13	you will transact at that point in the future. So I'm
14	not buying something and saying here's money out the
15	door. I'm saying I agree to pay this price for this
16	forward contract at this point in time, and you agree to
17	sell it to me at that point time.
18	And if you have a liquid market, that's what
19	you're able to lock into going forward through time.
20	Where you don't have a liquid market, you rely on spot
21	price estimates. So if you're 30 years out and there's
22	not a a gas price that trades 30 years out, there's a
23	host of different economic forecasts that are available
24	that give a wide range of view on that what that spot

Page: 84

price might be beyond the liquid market, and so that's economists, not market practitioners, but economists that come together and say here's what we think, based on supply and demand and our current understanding of the marketplace, prices might be when you get out in the future.

So one of biggest differences I'd like to point 7 out is there's only one market price. You can trade at 8 one -- at any point in time in a forward market you can 9 only buy and sell at one price. There is a host of spot 10 price estimates. As just a quick example, you know, I 11 12 looked at Apple stock today. It's \$142, one market price. Analysts say 12 months from now Apple stock --13 some say 85, some say 185, and everything in the middle. 14 So that's the same with -- with the gas market. There's 15 16 a wide range of fundamental forecasts, but there is one market price that is transactable. So those are two of 17 the big differences. 18

19 Q All right. Thank you. That's helpful 20 information. Do -- does that -- with regard to the 21 forward price, that one price that you indicated, does 22 that price change on a regular -- is it on a daily basis? 23 A Yes. The forward price moves on a daily basis 24 as the reflection of what the market believes, so Apple

1 could be 144 today. But the fundamental prices typically are, 2 0 again, looking further out and are less volatile? 3 4 A Oh, no, I wouldn't say they're less volatile at 5 all. They only change a couple times a year, but fundamental prices, they're -- they are not near as real 6 7 time, but when you look at -- and if I can direct you to Figure 4 of my -- of my -- is this in my direct -- in my 8 9 rebuttal, page 20, we show fundamental prices across time, and the fundamental prices have been extremely 10 volatile so they move drastically. They keep dropping 11 across this. And all I've shown is as we move through 12 13 dockets, what have the fundamentals done across time. And they continue to drop as the market prices have 14 15 dropped, but they continue to overstate the market. 16 So back in, you know, pre-fracking, the

17 fundamentals said the price of gas would be \$10 today.
18 And so the fundamentals have changed drastically just
19 like the market, so they're both very -- I mean, they
20 both can be volatile, but I wouldn't say just because
21 they only get updated once or twice a year they're not
22 volatile.

Q So do you -- do you think that DEC and DEP's
current fundamental forecast is accurate then?

1	A I think it is one of many fundamental
2	forecasts, so do I think it's going to be the price gas
3	will be when I get to that point in time? Absolutely
4	not. I think there is a wide range. Neither is the
5	market. There's a wide range of prices, and that's why
6	in most of our analysis we do price sensitivities around
7	that input.
8	Q So maybe putting it another way, instead of
9	saying will be accurate, do you think that that
10	fundamental forecast is reasonable?
11	A I do not think it's reasonable to use to set a
12	forward price. That's one of the I guess one of the
13	key differences in understandings here is I want to be
14	very clear, there's there's two basic arguments when
15	it comes to this that seem to be inextricably linked, but
16	they shouldn't be. One is which one is more accurate.
17	Is a fundamental or is a market price more accurate? And
18	there is I've seen countless papers and debates on
19	this, and it's it would go into ad nauseam as which
20	one is more accurate and what the differences are.
21	And then there's a separate question of is it
22	appropriate. Those are distinct and separate. And what
23	I'm arguing is that in my testimony, if I could turn to
24	Figure 2 of my let me go here to my rebuttal testimony

1	on page 7. So let's talk about the appropriateness and
2	the accuracy as two separate items. In Figure 2, what
3	I'm showing is what are the recommended gas prices that
4	Public Staff is recommending in this proceeding based on
5	fundamentals, and that's the top line. That's that top
6	red line. And it's saying because we have one of many
7	fundamental forecasts that exist, and ours is very
8	different than Dominion's, which is probably very
9	different than three other people that you would bring in
10	here, we're saying we should use that one spot forecast
11	to set prices that we're going to be obligated to pay for
12	the next 10 years. And as you can see, that red line is
13	significantly above the actual tradable transactable
14	market. That tradable gas market back when we set rates
15	was that black middle line. And so that line is
16	significantly lower 10 years out where you buy gas 10
17	years.

And then what I represent in the bottom blue line is there's been significant debate over the liquidity in the marketplace, the transactability, the ability of a participant to readily go buy gas this far out in the curve. And we have demonstrated in 140 that we went out and got quotes, but that didn't necessarily solve concerns other than there was liquidity, so in this

docket we actually went out and we purchased natural gas. 1 2 We bought gas 10 years out the curve at that bottom blue line. 3 4 So the Company now purchased gas going 10 years 5 out the curve at that bottom blue line, so the -- the 6 market that we can actually transact at is even lower 7 than what we filed in November, and yet the fundamentals that we're using from 18 months ago, which probably took 8 9 that firm a few months to develop, could be as -- as 10 stale as two years are the red line. 11 So I think, you know, it's an extremely 12 important issue. One of the things that -- that I think 13 really has led to a systematic overpayment is the use of 14 a fundamental spot forecast that, as I've demonstrated, has lagged and has not come down as fast as the market. 15 So when there is a market, it -- you know, I used to do 16 this in the non-reg side for a good chunk of my career, 17 18 and you would always look for a dislocation in the 19 market. Where can I buy at one price, but someone is 20 willing to sell for me at a higher price? 21 So if I took a QF that comes in and let's say 22 it was a natural gas burning QF, and they demonstrate I 23 can buy natural gas out the curve for \$3, the utility has 24 priced their power as though gas was \$5. Wow! What a

1

24

based on \$5 gas, which equates to a very high avoided 2 cost rate, I lock in my QF power as a steam host provider 3 at \$3 gas, and I arbitrage that difference, and that's at 4 the cost of our consumers. And so I think it's just 5 absolutely critical that when you have a demonstrated 6 liquid market, that you don't give a free arbitrage to 7 the community. 8 I can tell you that is exactly what -- why a 9 lot of people would flock to a region, is if they see a 10 dislocation. If they see I can buy one commodity here 11 and sell it here and automatically lock in, that will 12 attract a large amount, but it's only done because you're 13 creating subsidy. 14 And so, you know, I just can't, you know, 15 reiterate anymore. I think this graph shows it. If you 16 17 look at --Mr. Snider, before you leave that Figure 2, I 18 0 do have a couple questions about it, actually --19 Sure. 20 A -- so I may be --21 Q MS. FENTRESS: Can Mr. Snider complete his 22 answer, though? 23

great win for me. I come in. I take the utility's rates

MR. DODGE: Yes. I'm sorry.

21

Page: 90

Thank you. MS. FENTRESS: 1 So I just wanted to say, you know, I -- as I A 2 also pointed on Figure 4, that's how -- look at where on 3 Figure 4, rebuttal page 20, the fundamental prices over 4 time have systematically for the last several years been 5 incorrect. So we talked about the appropriateness. The 6 other point I was trying to make is about if you believe 7 -- and it's not an accuracy argument, but if you wanted 8 to look at accuracy, I have -- I found it hard over the 9 last five years to find a fundamental that has actually 10 caught up to how fast technology is happening in the 11 marketplace. It's not just hydraulic fracking. It's how 12 great, you know, those improvements have been so that 13 their lifting costs continue to drop, and so the 14 marketplace is continually willing to trade at lower and 15 lower prices, and the fundamentals that get updated once 16 or twice a year just can't keep up. 17 And all you have to do is trace where the 18 fundamentals have been for the last five years and where 19 the market has been, and I challenge anyone to show me 20 where you have a bunch of fundamentals that are below

market. They have systematically been above market for 22 the last five years, and so if we're going to establish 23 rates on a fundamental curve in the presence of an actual 24

Г

1	liquid market, you're you're locking in those
2	systematic higher rates.
3	Q Thank you, Mr. Snider. Could we go back to
4	Figure 2 for a moment?
5	A Certainly.
6	Q So I appreciate you you highlighting this
7	this figure. I agree there's a lot of useful information
8	in here. And you pointed out that the top line with
9	I'm looking at a black line, but you labeled as a red
10	line, reflects the Public Staff's position in this
11	proceeding?
12	A I said that, yes, that that is the Public
13	Staff recommended the use of fundamentals. I simply took
14	even though we didn't use those fundamentals in our
15	IRP, I took the fundamentals that would have been used
16	and extrapolated backwards to say here's what the
17	fundamentals were. So if you know, to the extent
18	Public Staff had a different fundamental curve or was
19	amenable to a different curve, then it would a different
20	line.
21	Q So to be clear, the Public Staff's position was
22	to for the Utility to use the same approach that it
23	had utilized in the 2014 IRP, which does this does the
24	Public Staff's chart here reflect the Utilities' use of a

Page: 92

1	five-year reliance on forward markets, then switching to
2	the five-year the fundamental forecast from Years 5
3	and forward?
4	A It does represent what was done in 2014, but
5	with the fundamentals from the 2016.
6	Q Thank you. So and I think it is helpful to
7	to talk about you know, we're not talking about
8	necessarily with forward prices or fundamental forecasts
9	as accuracy, but appropriateness and the reasonableness
10	of those values. Do you how often is the Utilities'
11	fundamental forecast updated?
12	A About twice a year.
13	Q Twice a year. If it's if the market is
14	changing so quickly right now with what you're seeing in
15	the markets versus what's indicated in those fundamental
16	forecasts, does it make sense to update that more
17	frequently?
18	A If you look at most fundamental forecasts, it's
19	sort of like the IRP process, right, except it's the IRP
20	process for gas prices. And so they don't update their
21	curves on a daily, weekly, monthly basis. Someone like
22	an energy information association, a Cambridge Energy
23	Research, a Wood Mac Energy, EVA, all these firms that do
24	these long-term econometric forecasts that give you a

1	host of different fundamental prices take months to
2	develop these, and they generally publish them once a
3	year, and occasionally will do a midyear update that
4	doesn't involve all the analytics that went into their
5	annual filing, but then just produce it on a update.
6	And this is part of the reason I speak about in
7	my testimony why it's it's not appropriate to use
8	those as a transaction transactable. They're a guide
9	as to where things might be. They're never intended to
10	be used in the presence of a transactable market as a
11	transactable price. They're simply where spot prices
12	might be based on the analytics I did months and months
13	ago.
13 14	ago. Q Are you involved in the process of DEC and
13 14 15	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast?
13 14 15 16	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We
13 14 15 16 17	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in
13 14 15 16 17 18	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in terms of my needs as a consumer of those fundamental
13 14 15 16 17 18 19	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in terms of my needs as a consumer of those fundamental prices and how we need them to support the IRP.
13 14 15 16 17 18 19 20	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in terms of my needs as a consumer of those fundamental prices and how we need them to support the IRP. Q And with regard to the IRP and this present
13 14 15 16 17 18 19 20 21	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in terms of my needs as a consumer of those fundamental prices and how we need them to support the IRP. Q And with regard to the IRP and this present avoided cost proceeding, what other matters does the
13 14 15 16 17 18 19 20 21 21	<pre>ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in terms of my needs as a consumer of those fundamental prices and how we need them to support the IRP. Q And with regard to the IRP and this present avoided cost proceeding, what other matters does the Utility rely on the fundamental forecast to support?</pre>
13 14 15 16 17 18 19 20 21 22 23	ago. Q Are you involved in the process of DEC and DEP's development of a fundamental forecast? A That is not under my direct responsibility. We are one of the primary users, so I do give them input in terms of my needs as a consumer of those fundamental prices and how we need them to support the IRP. Q And with regard to the IRP and this present avoided cost proceeding, what other matters does the Utility rely on the fundamental forecast to support? A The Utility relies on the fundamentals to

1	beyond the liquid transactable curve for the IRP process
2	that looks out 30 years and beyond. When it does the
3	analytics, it gives a 15-year plan, but to give that 15-
4	year plan, we say how do these resources perform over 30
5	years, and we generally look at a range of fuel prices
6	when we do that. So it's the IRP, which doesn't involve
7	a direct transaction, but then we also would use a range
8	of those when considering a technology one technology
9	versus another for recommendation to to be built.
10	Q Does the fundamental forecast, is it utilized
11	for fuel procurement practices to guide fuel procurement?
12	A Not to my knowledge.
13	Q Do you have your rebuttal testimony with you?
14	A I do.
15	Q Could you turn to page 23 of the rebuttal
16	testimony?
17	A I'm there.
18	Q All right. And I'm looking specifically at the
19	question starting on line 15 and your response starting
20	on line 19. On that page you comment that Public Staff
21	went Witness Hinton's excuse me view is that
22	long-term forward contracts are illiquid. And then you
23	
	state on page 24, line 8, that and I'm just going to

1	long-dated forward contracts are liquid and transactable
2	and may be purchased over-the-counter directly with large
3	financial institutions and other firm rather than traded
4	on the New York Mercantile Exchange." Did I read that
5	correctly?
6	A You did.
7	Q All right. Are gas transactions so you're
8	you're kind of pointing to two markets. There's the
9	bilateral transactions that may occur between large
10	financial institutions and what might happen on
11	publically traded platforms like the NYMEX.
12	A That's correct.
13	Q And are there other major areas where natural
14	gas is transacted other than those two?
15	A I mean, you could go to ICE, which is the
16	Intercontinental Exchange, which is another brokerage
17	firm or clearinghouse similar to NYMEX where it's
18	
	exchange traded versus bilateral traded through large
19	exchange traded versus bilateral traded through large financials, yes.
19 20	exchange traded versus bilateral traded through large financials, yes. Q Okay. Great. And actually that leads to my
19 20 21	exchange traded versus bilateral traded through large financials, yes. Q Okay. Great. And actually that leads to my next question in a in a cross examination exhibit.
19 20 21 22	exchange traded versus bilateral traded through large financials, yes. Q Okay. Great. And actually that leads to my next question in a in a cross examination exhibit. MR. DODGE: And Chairman Finley, I apologize.
19 20 21 22 23	<pre>exchange traded versus bilateral traded through large financials, yes. Q Okay. Great. And actually that leads to my next question in a in a cross examination exhibit. MR. DODGE: And Chairman Finley, I apologize. I dated these for yesterday and was overly optimistic</pre>

1	the date being April 18th, but I'd ask that these be
2	identified as Public Staff Snider Cross Examination
3	Exhibit Number 1.
4	CHAIRMAN FINLEY: Let me get a look at it.
5	We'll mark it for you. The exhibit to which Mr. Dodge
6	has referred shall be marked for identification as Public
7	Staff Snider Cross Examination Exhibit Number 1. We'll
8	change the date to April the 19th.
9	MR. DODGE: Thank you.
10	(Whereupon, Public Staff Snider
11	Cross Examination Exhibit Number 1
12	was marked for identification.)
13	Q Mr. Snider, when you've had a chance to look
14	through the document, let me know.
14 15	through the document, let me know. A (Snider) Okay. I see it.
14 15 16	through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before
14 15 16 17	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit,</pre>
14 15 16 17 18	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit, one last point on page 24 of your testimony.</pre>
14 15 16 17 18 19	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit, one last point on page 24 of your testimony. A I'm sorry. Direct testimony or rebuttal?</pre>
14 15 16 17 18 19 20	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit, one last point on page 24 of your testimony. A I'm sorry. Direct testimony or rebuttal? Q Rebuttal. I'm sorry. Rebuttal testimony. You</pre>
14 15 16 17 18 19 20 21	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit, one last point on page 24 of your testimony. A I'm sorry. Direct testimony or rebuttal? Q Rebuttal. I'm sorry. Rebuttal testimony. You you state, and this is on line 11 starting where I had</pre>
14 15 16 17 18 19 20 21 22	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit, one last point on page 24 of your testimony. A I'm sorry. Direct testimony or rebuttal? Q Rebuttal. I'm sorry. Rebuttal testimony. You you state, and this is on line 11 starting where I had stopped reading. On line 11 it reads, "If one is simply</pre>
14 15 16 17 18 19 20 21 22 22 23	<pre>through the document, let me know. A (Snider) Okay. I see it. Q All right. And so this is actually, before we go into this document, this cross examination exhibit, one last point on page 24 of your testimony. A I'm sorry. Direct testimony or rebuttal? Q Rebuttal. I'm sorry. Rebuttal testimony. You you state, and this is on line 11 starting where I had stopped reading. On line 11 it reads, "If one is simply viewing contracts to trade on the NYMEX, that could lead</pre>

1 illiquid." And so as you were --2 Α Yes. Did I read that correctly? 3 0 A Yeah. 4 5 Thank you. And so you were just alluding to 0 6 NYMEX and the Intercontinental Exchange being one of these trading platforms --7 8 Α Right. 9 0 -- for commodities. And the cross examination 10 exhibit I submit to you that we just provided is a 11 printout of the -- of an end-of-day report from the 12 Intercontinental Exchange. I see that. 13 A 14 0 Thank you. And subject to check, would you 15 agree that the NYMEX Exchange and the Intercontinental 16 Exchange are two of the largest energy exchanges where natural gas futures are traded? 17 18 A Yes. They are for the short-term market. Yes, 19 they are. 20 All right. And this document is publically 0 available on the website listed at the -- at the bottom 21 22 of the first page. Could you turn to the page labeled as page 3, the handwritten page 3. 23 24 A Oh, I see. Yes.

North Carolina Utilities Commission

1	Q All right. Now, specifically I wanted to point
2	to two columns. One is the Contract Month, which I've
3	added an asterisk above, and then also the Total Volume
4	column. Do you see those two columns?
5	A I do.
6	Q All right. And on that first row in the
7	that I've indicated with an arrow, it indicates a
8	contract month of May 2017, and the total volume for that
9	contract month on the Total Volume column indicates
10	228,991. Do you did I read those numbers correctly?
11	A Yes.
12	Q Okay. Now, so can you describe what that
13	column or that row represents? What is that
14	A The number of contracts that traded for the May
15	future.
16	Q Okay. Thank you. And so moving down to the
17	next arrow where I've highlighted May 2018, for the May
18	2018 contract month or contract ending that month, the
19	the total volume is 9,693; is that correct?
20	A Correct.
21	Q All right. And I'll just repeat this a couple
22	of times. To the bottom of that column from May of 2019,
23	the volume was 1,368?
24	A Correct.

1	Q Okay. And I won't belabor this, but just
2	flipping to page 7 of this chart.
3	A Yes.
4	Q This is going out 10 years.
5	A Right.
6	Q The line that's indicated with an arrow from
7	May of 2027, the total volume at that point was zero?
8	A Yes.
9	Q Okay.
10	A So that's because this is ICE, and I stated in
11	my testimony this is what you would expect. And if this
12	was your only view of market liquidity, you would draw a
13	conclusion that long-dated markets aren't liquid. This
14	is not where you trade long-dated. This is not how the
15	market has evolved.
16	The market evolves to long-dated trades
17	happening with financial many financial brokers. You
18	can call up J.P. Morgan, Morgan Stanley, Citigroup, Bank
19	of America, Macquarie, BNP Paribas, Bank of Montreal, I
20	could go on and on, and there are several individual
21	counterparties that will make very transactable, very
22	simple when my when our group bought this, it took
23	their trader one minute to make that transaction. It is
24	not a big, complex deal. It's a very simple thing to

pick up the phone and buy 10 years of natural gas. 1 2 And if you would go to my exhibit that I was pointing out earlier, we -- we demonstrated that you 3 could buy that gas for the next 10 years very simply at a 4 price significantly lower than the fundamentals are 5 currently projecting. 6 7 And so the -- the point here is, is when you have that liquidity, not only is it inappropriate, it 8 really sets. When you have liquidity, it makes it a free 9 arbitrage. So that's what I was talking about earlier, 10 is I -- just because something is not trading on ICE does 11 not mean it's not liquid. It means it's a different 12 13 format in which they trade. And I can tell you as we've gotten these quotes, we got them from multiple 14 counterparties. Those quotes were within a penny of each 15 other or a couple pennies -- I don't want to say one 16 penny -- a couple of pennies of each other, and it was 17

18 very easy to transact.

19 So this is a very liquid, long-dated market if 20 you want it to be. The point is the market can move 10 21 years from now, so can fundamentals. But as I point out, 22 to say that we're not liquid because we're looking at an 23 ICE exhibit is to say that this is where natural gas 24 trades. Natural gas does not trade on ICE alone.

1	Natural gas trades in multiple market formats and
2	platforms, and there is a liquid market out deeper in the
3	curve that unless you deal with those participants or
4	talk to them on a regular basis, you may not have
5	knowledge of, and so I understand that. If you're not in
6	the market, you might not just be able to pull up a
7	screen the way you can with ICE, but it is very liquid.
8	It's very much demonstrated, and the Company
9	went out and actually purchased to demonstrate that
10	liquidity, and that was not just one and we could have
11	done multiple purchases, we could have done much bigger
12	volume, but we wanted to demonstrate this very issue of
13	liquidity. And just to highlight, again, on in my
14	rebuttal testimony, the extreme overpayment risk if you
15	lock into the red curve on page 7, line 1 of my rebuttal
16	testimony, if you lock into any version of that red
17	curve, whether it's that red curve, whether it's a curve
18	that's halfway below that, whether it's a curve above
19	that, you are making a forward transaction with the QF
20	market that you are obligated to. It's not an estimate
21	of spot price at that point. You are obligating
22	customers to pay that point that price point into the
23	future for the next 10 years, the next 15 years. However
24	whatever term that you've agreed to, you're obligated

Page: 102

1

to.

2	When you have a transactable liquid market, you
3	create this immediate overpayment risk that is part of
4	what, you know, we're seeing today, is that that
5	difference between fundamental and market and just how
6	the fundamentals have systemically overestimated market
7	for five years. And so to continue to rely on that
8	practice going forward in the face of a demonstrated
9	liquid market is simply to say I I'd prefer to
10	subsidize.
11	Remember, the QF has the if the QF believes
12	this, if the QF believes the red line PURPA envisions, it
13	gives the QF the option take the demonstrated forward
14	market or, at your discretion, wait and take the market
15	as it evolves over time. So QFs have the right to pick
16	either one. What we don't want to do is say, geez, we
17	think the forward market might be wrong and then their
18	spot market is even higher. Let's allow the QF to lock
19	that in today. That has never been the intent of PURPA.
20	PURPA says let the QF make the choice a transactable
21	forward or, at their discretion, at the time of delivery.
22	It doesn't say assume that at the time of delivery it's
23	going to be a lot higher and just let them lock into that
24	today. So that's that's, in essence, what we've been

Page: 103

1	doing.
2	Q Thank you, Mr. Snider. And I do want to come
3	back to the the fundamental forecast a bit later and
4	how the Utility constructed its fundamental forecast that
5	is the basis for the line and the Public Staff's
6	recommended position there. That some of that is
7	confidential, so I'll reserve those questions for a bit
8	later.
9	You mentioned just a few moments ago, though,
10	the recent 10-year purchase that the Utility has made.
11	On
12	A Yes.
13	Q On page 21, if you could flip to page 21 of
14	your testimony.
15	A Is that rebuttal or direct?
16	Q Rebuttal testimony.
17	A Thank you.
18	Q Most of my questions at this point
19	A Okay.
20	Q is going to be on rebuttal testimony. And
21	so on page 21 of your rebuttal testimony, you indicate
22	that DEP recently purchased a 10-year forward. In fact,
23	it was about two weeks ago. It was two weeks ago you
24	made that purchase?

Page: 104

1	A Yes, it was.
2	Q Okay. And what kind of transaction was that
3	10-year forward?
4	A A forward swap.
5	Q Forward swap. All right.
6	A A NYMEX settle similar to the ones you just saw
7	in ICE except instead of being a future, it's a a
8	swap.
9	Q Has the Utility at any time prior to that made
10	a similar 10-year forward purchase or 10-year swap?
11	A Not to my knowledge.
12	Q Okay. Would you characterize that 10-year
13	forward purchase as a substantial long-term obligation on
14	the part of the Utility?
15	A I would characterize it to put it in
16	perspective, so, you know, how much did we buy, the
17	equivalent gas, it's about it would produce about the
18	same megawatts as 50 megawatts of solar, so we bought
19	you can think about this. Again, the Utility can either
20	buy the commodity or it can by the power. It should be
21	indifferent between the two. That's sort of the
22	indifference principle in PURPA, is I can I can go out
23	and buy the commodity or I can buy the power. They
24	should be the same price. So we bought about 50

1	megawatts of solar going forward for 10 years.
2	Q Thank you. That is helpful. I didn't realize
3	the basis for the the volume that was transacted.
4	A It wasn't the basis, but it is the what it
5	translated into the equivalency of. It's a quarter a day
6	or 2,500 MMBTUs a day, which equates to about 50
7	megawatts of solar in terms of megawatt hours.
8	Q And thank you. And in discovery to the
9	Public Staff, you noted that the Companies first began
10	evaluating this issue in late 2014; is that correct?
11	A Yes.
12	Q Okay. Late 2014 or early 2015.
13	A Yes.
14	Q Turning to page 27 to 29 of your rebuttal, or
15	turn to page 27 I'll give you a moment to get there.
16	A I'm there.
17	Q All right. So you in this section you talk
18	about the divergence between and I'm actually looking
19	at the very last line of page 27 and kind of spilling
20	through Figure 6 over to 29. You talk about the
21	divergence between DNCP and Duke's fundamental forecast;
22	is that correct?
23	A Correct.
24	Q Do you agree that DNCP's approach relies on the

1	shorter term use of forward prices before blending the
2	values to transition to their fundamental forecast?
3	A Yes. I see that that's how they do it.
4	Q And do you think that approach is reasonable?
5	A Reasonable for maybe IRP planning. Again, I
6	think as I've stated, it's wholly unreasonable to set
7	rates based on a spot estimate when there's multiple ones
8	out there. I think what you'll find yourself, then, is
9	the future proceedings will now be which fundamental are
10	we going to argue over as opposed to this is the market,
11	it's demonstrated liquid, it is the appropriate. So, no,
12	I don't think it's appropriate to set long-term rates
13	based on one particular estimate of many of spot prices
14	when you have a transactable forward market.
15	Q Thank you. Would you agree that DNCP's
16	approach, however, is similar to the approach that DEC
17	and DEP took prior to well, in the 2014 IRP?
18	A No, I don't believe it is. I think they blend
19	much earlier.
20	Q But they it does reflect a shorter term use
21	of forward prices before blending to the blending
22	point is different, but the the blend to the
23	fundamental forecast?
24	A Yeah. We both go to a fundamental forecast at

Page: 107

1	a point in time.
2	Q Thank you. And in the 2014 avoided cost
3	proceeding, the Commission directed the Company to revise
4	its fuel forecast to be consistent with what it had used
5	in its last approved IRP; is that correct?
6	A I think, yes, that it said to revise not the
7	to revise the inputs to the calculation of avoided cost
8	to go back and use what was in the IRP.
9	Q All right. Actually, could you turn to page 16
10	of your rebuttal testimony just to make sure we're there?
11	I know the Sub 140 proceeding has been stipulated in the
12	Order on this point, but you quoted in your testimony, so
13	I just want to
14	A Uh-huh.
15	Q refer to that. On let's see. I'd like
16	for you to read, if you don't mind, Mr. Snider, starting
17	on line 11, the the quote the Commission directed
18	that. Could you read that line?
19	A "The Commission directed that, to the extent
20	the Utilities wish to adjust the way in which they
21	utilize forward prices and long-term forecasts in future
22	avoided cost proceedings, those changes shall first be
23	proposed and approved as part of the biennial IRP
24	proceeding before being incorporated in the avoided cost

1	calculations."
2	Q Thank you. And so just to repeat the key
3	phrase here, I think, the those changes, the
4	Commission directed the Utility to propose those changes,
5	first is in the biennial IRP proceeding and for those to
6	be approved in the IRP proceeding?
7	A Yes.
8	Q Thank you. Now, on page could you turn to
9	page 30 of your rebuttal testimony?
10	A I'm there.
11	Q On page or excuse me line 7, I'll read
12	from the line starting "The Public Staff" "The Public
13	Staff and other intervenors have failed to sufficiently
14	explain why at this time the Company should depart from
15	the Commission's directive in its Phase 2 Sub 140 Order
16	and not remain consistent with their previous IRP filings
17	with respect to their fuel forecasts." Did I read that
18	correctly?
19	A Yes.
20	Q All right. Thank you. And which previous IRP
21	filings there on line 10 were you referring to?
22	A So I've made the I think I made this point.
23	I'll make it again. We've filed this now four times. We
24	filed fundamental starting in year '11 starting with Sub
We have used market prices for 10 years in the 2015 140. 1 IRP, the 2016 IRP, and in this proceeding. And, yes, 2 although those -- the '15 IRP was approved, the '16 IRP 3 is pending approval, there were no comments in the '15 4 IRP about 10-years' worth of market. Those arose in the 5 '16 IRP, which is the biennial, which is yet to be 6 approved. So, you know, I think that, you know, what's 7 before this Commission is what was the intent of that 8 Order. 9

1

Was the intent of that Order, to say two years 10 down the road after you've filed this four times, that 11 the administrative lag in terms of the difference of when 12 we approve an IRP and when we file an avoided cost case 13 should be precedential, and that we should go all the way 14 back to '14 simply because we filed it four times? But 15 if you were to say has it been -- the '16 biennial been 16 approved, you know, I think that faces this Commission is 17 what was your intent at that point in time? I would say 18 your intent was let us see this in the IRP prior to 19 coming to forward in the -- that was my read of your 20 intent. 21

And, of course, I don't want speak for the Commission, but we've filed this now four times, saying that this is appropriate specifically in one of the --

1	you know, A, it's more it's liquid, we've demonstrated
2	it, we've transacted at it, and that to set rates in any
3	other method is to simply invite an overpayment that
4	we'll be sitting here two years from now and will no
5	longer be 1 billion, but will be multiple billions.
6	Q Thank you, Mr. Snider.
7	MR. DODGE: Chairman Finley, at this time I
8	have a second cross examination exhibit I'd like to
9	distribute.
10	CHAIRMAN FINLEY: We will mark this exhibit
11	that appears to be a section of the Order in E-100, Sub
12	141, as Public Staff Snider Cross Examination Exhibit
13	Number 2, and we'll change the date to April 19th.
14	MR. DODGE: I apologize. All of my exhibits
15	I'll use today have the April 18th date. They should all
16	be revised. Thank you.
17	CHAIRMAN FINLEY: Let's just not change them to
18	the 20th.
19	MR. DODGE: Do my best.
20	(Whereupon, Public Staff Snider Cross
21	Examination Exhibit Number 2 was
22	marked for identification.)
23	Q Mr. Snider, have you had a chance to look at
24	this document?

1	A (Snider) Yes.
2	Q You know, would you agree that this is an
3	excerpt from the Commission's June 26, 2015 Order
4	approving the Utilities' 2014 IRP?
5	A Yes. The June of 2015 Order reaching back to
6	the September IRP, right.
7	Q Correct. Yes.
8	A Yeah.
9	Q Thank you. Could you read the first two
10	ordering paragraphs that I've highlighted on page 54?
11	A In number 1 ordering paragraph, "That this
12	Order shall be, and is hereby, adopted as part of the
13	Commission's current analysis and plan for the expansion
14	of facilities to meet future requirements for electricity
15	for North Carolina pursuant to G.S. 62-110.1."
16	Q All right.
17	A And then 2, the IOUs "That the IOUs' 15-year
18	forecast of native load requirements and other system
19	capacity or firm energy obligations, supply-side and
20	demand-side resources expected to satisfy those loads and
21	reserve margins are reasonable for planning purposes and
22	are hereby approved."
23	Q Thank you.
24	MR. DODGE: And so I have a second cross

examination exhibit. Chairman Finley, I'd ask that this 1 exhibit be identified as Public Staff Snider Cross 2 Examination Exhibit Number 3. 3 CHAIRMAN FINLEY: It shall be so marked. 4 (Whereupon, Public Staff Snider Cross 5 Examination Exhibit Number 3 was 6 marked for identification.) 7 Mr. Snider, have you had a chance to look at 8 0 this document? 9 (Snider) I have. A 10 Now, would you agree that this is the 11 0 Commission's -- I may have read the wrong date earlier --12 the Commission's March 22nd, 2016 Order accepting the 13 filing of the 2015 IRP update reports? 14 Sorry. Let me look at this again. Yes, I see Α 15 16 that. And on the last page, page 8, I highlighted the 17 0 conclusion paragraph, and I'll -- I'll read it here. 18 "Based upon the record in this proceeding, and the 19 comments of the Public Staff regarding the IRP Update 20 Reports and REPS compliance plans submitted by DEC, DEP, 21 and DNCP, the Commission hereby accepts the Update 22 Reports filed by the Utilities as complete and fulfilling 23 the requirements set out in Commission Rule R8-60." I'll 24

1	just stop at that point. The last sentence is
2	A Yeah.
3	Q dealing with REPS. So Mr. Snider, you're
4	very involved in the IRP process. I know we spent a lot
5	of time talking about that for much of the year.
6	A Yes.
7	Q And you you were involved some of the
8	revisions to the rules in 2014 and 2015 to change or
9	excuse me 2014 to change the update reports, the odd
10	year IRP filings?
11	A Yes.
12	Q And those are viewed as, again, as an update,
13	and parties don't file comments on the updates. The
14	Public Staff did file a as is noted here, comments
15	regarding the completeness of that update report, but not
16	comments on the inputs or other assumptions that went
17	into that report?
18	A I know that the Public Staff is the only one
19	that comments on an update year, but we did respond to
20	numerous data requests from Public Staff, including all
21	of our inputs in 2015, so I'm assuming that the Public
22	Staff did review those extensively because we had
23	extensive data requests that we provided in 2015. So,
24	yes, I'm I think Public Staff did was the only

1	party, but I wouldn't say that they did not get a chance
2	and a very adequate chance to look at our inputs.
3	Q Thank you. And the last point on this issue I
4	was I'd like to make is that the 2016 IRP that's
5	currently pending before the Commission in Docket No.
6	E-100, Sub 147, as you indicated, DEC and DEP proposed
7	similar adjustments to their 10-year forward price for
8	natural gas in that filing?
9	A I would say we've been consistent, as I said,
10	in '16 with the two previous dockets and this docket that
11	followed, so I don't know that it was a big adjustment.
12	It was a continuation of what we've done since the Sub
13	140 filing.
14	Q Have you reviewed the Public Staff's comments
15	filed in Docket No. E-100, Sub 147?
16	A Yes, I have.
17	Q And did we take exception to the natural gas
18	forecast?
19	A Yeah. That that is true. I think there
20	were that's part of the reason in which we, you know,
21	we went to great lengths to address those concerns. The
22	concern stated in the IRP was that the market is not
23	liquid, so I think we've definitively shown that it is
24	liquid. We can we can readily transact very readily

3

at a -- at a known price for 10 years out. So that was 1 one of the concerns raised. 2

The other was that it was overly conservative, and that that's been a constant theme, is that the market 4 has been too low. The market is wrong, the fundamentals 5 are right, and we've got to go with fundamentals. Well, 6 the overly conservative comment had we made back in 2014, 7 we would have -- we would have said the market is overly 8 conservative. And if you go to my graph where I look at 9 our -- our last several filings, we actually show here's 10 what the market has done and here's what the fundamentals 11 have done over the last several filings. 12

In my rebuttal testimony, on Figure 3, page 18 13 of my rebuttal testimony, we show over the last several 14 regulatory filings where fundamentals have been versus 15 the market or what's been used in those filings. And so 16 if you look at the top line, and mine is getting small, 17 it's actually what's been used in the filings, is in Sub 18 136. So the rates that are still now in effect, you 19 know, we -- we set those rates back in 2012, but we still 20 have 10 years of payments to make to a significant number 21 of QFs who have established LEOs under Sub 136. We 22 relied on that top blue line in Sub 136 which had a large 23 dependence on fundamental prices. 24

2 3 4	was originally filed in Sub 140. That's what the market was trading back when we did Sub 140. But the red line is the fundamentals that were in the 2014 IRP. So, you know, after the Commission's Order came out, we went back
3 4	was trading back when we did Sub 140. But the red line is the fundamentals that were in the 2014 IRP. So, you know, after the Commission's Order came out, we went back
4	is the fundamentals that were in the 2014 IRP. So, you know, after the Commission's Order came out, we went back
	know, after the Commission's Order came out, we went back
5	
6	and redid avoided cost rates not using the green line,
7	but using the green line and then going to the red line.
8	So that's what was ultimately used in 140.
9	Then as you walk on to the next three IRPs, you
10	have the purple line, the blue line, and the orange line
11	that shows that the market has which have all been 10
12	years of market, and each time we've said that's too
13	conservative, only to come back a year later and find it
14	lower, and then only to come back a year later and find
15	it lower, and yet we continually want to set avoided cost
16	rates not on the market, but on the fundamentals that I
17	showed on another graph have continually lagged over the
18	last five years the market.
19	Finally, the orange line represents what's been
20	filed in this docket, and says, you know, here back in
21	November is what we've transacted a 10-year or what we
22	got quotes for the 10-year market. And then upon our

23 purchase, after seeing that still we needed to

24 demonstrate liquidity and we actually -- to show it was

very liquid, we actually bought at that bottom line. So
the bottom line is where the market existed as of, I
think, the 7th or whenever we made that purchase, you
know, 10 days, two weeks ago.

And so very specifically Public Staff's 5 concerns have been, one, liquidity, and I can see where 6 if Public Staff was just looking at ICE, they would draw 7 that conclusion. So I'm not faulting them for that. The 8 fact of the matter is they do not transact in the 9 marketplace. They would not know to call one of a, you 10 know, a dozen financial institutions and -- and get a 11 12 quote for those prices. So I can -- I can see where they'd have liquidity concerns. We have -- we have more 13 than demonstrably demonstrated there is a liquid market. 14 So the liquidity concern was brought up in the 2016 IRP. 15 You know, the -- the ability to transact, we've 16 demonstrated an ability to transact. 17

And then also the overly conservative, and I think in the 2016 IRP the specific comment was made this will have an adverse effect on avoided cost. Well, I'm not trying to have an adverse effect on avoided cost. I'm trying to say here's what avoided cost is worth. It's not good. It's not bad. It is what it is, and here's what the market is, and not to say I shouldn't use

this because it might lower avoided cost rates. So I think when you look at the IRP comments that came out in 2016, it was liquidity, transactability, and whether it would have an adverse impact. I'm -- I can't address adverse impact because it is what it is, but we've demonstrated liquidity, transactability, and we've shown that it is appropriate.

Again, there's accuracy and appropriate, and 8 we've demonstrated when you have a liquid market, that is 9 the only way to set a forward -- because, remember, we're 10 not setting a spot price. We're setting a forward price. 11 We're obligating ourselves, just like we did all the way 12 back in that blue line to these prices that we're going 13 to be paying for the next decade. So in the face of this 14 market being liquid, being transactable, and 15 demonstrating what the Utility can buy at, it's 16 imperative that if you're going to set longer term rates, 17 that those are the prices that are used in the derivation 18 of those rates, unless the intent is simply as concerned, 19 is it's going to lower avoided cost and we'd rather have 20 higher avoided cost rate, then we can go to spot. 21 Thank you, Mr. Snider. And I appreciate some Q 22 of the key words you're using about, I agree, are the 23 heart of this issue; transactability and liquidity. And 24

Г

1	you mention on that figure the quotes that the Utility
2	obtained back in the fall when it was preparing these
3	rates. Were those quotes that you obtained transactions?
4	A No. They were transactable.
5	Q Transactable. Thank you. And but now there
6	is a transaction that has transpired?
7	A The yes. The transactable quotes were at
8	the orange line, and we've actually bought the gas at 6
9	what I testify in my testimony is 6 percent lower on a
10	10-year levelized basis than the numbers that went into
11	the rates that are before this Commission in this
12	proceeding. So we've actually purchased gas at a 6
13	percent lower 10-year level than what went into the rates
14	when we filed in November. And the argument before this
15	Commission this is why I said in my rebuttal
16	testimony, you know, it's so important to take a macro
17	view and not get lost in three-days' worth of academic
18	you know, in the real world the gas market has declined,
19	it is liquid, it is transactable. And when we get into
20	these academic arguments and say, oh, well, we should
21	still pay something above that transactable, that's where
22	we find ourselves creating a significant overpayment
23	risk.
24	Q Thank you, Mr. Snider. And just one last point

24

1	on that issue. And I recognize you you have made the
2	one transaction. Is does one transaction indicate a
3	liquid market? Is one transaction liquid?
4	A It certainly does, and it's this matter. It's
5	not is it liquid for Duke. It's is it transactable in
6	the marketplace for anybody? For us? For QFs? For
7	you know, we're not saying Duke creates the entire
8	natural gas market liquidity. What I've demonstrated
9	here and with our quotes is it's not from one person that
10	was very difficult and it took months for them to get
11	approval to do this. You can call and they can transact
12	with you like this (snapping fingers), and there are
13	literally multiple, multiple counterparties willing to do
14	that with you at very similar prices with a very small
15	bid versus ask spread. That's a demonstration.
16	Someone who used to do this, again, for a long
17	part of my career, liquidity comes in, can I get the same
18	price from multiple counterparties and can I transact
19	pretty readily and check all those boxes when it comes to
20	10-year gas transactions. I can readily do it. So can a
21	QF. And, again, my example is if we had a co-gen come in
22	here who could burn gas and produce steam and sell its

23 power to the citizens of North Carolina and they could

North Carolina Utilities Commission

come in and secure their gas for \$3, but we developed

1	avoided cost rates based on \$4, then they lock in that
2	differential. They say, great, the Commission and the
3	Utilities came together and decided that \$4 gas is how
4	they want to set avoided cost rates. That provides, even
5	though the Utility also is a natural gas burner, I'm
6	going to be able to come in and buy my gas at 3 and then
7	sell it to North Carolina consumers at 4, at the
8	equivalent of \$4 gas, and lock in that artificial spread.
9	And that's why I said, you know,
10	appropriateness versus accuracy aside, it is never
11	appropriate to set a forward market that you're willing
12	to transact on today that is in conflict with a
13	transactable liquid market. You'll create arbitrage and
14	the marketplace will swoop in to take advantage of that
15	arbitrage.
16	Q Thank you, Mr. Snider.
17	MR. DODGE: And the additional questions I have
18	on the fuel forecasting methodology are confidential in
19	nature. I'll save those reserve those, if that's
20	acceptable, Chairman Finley. I do have some questions on
21	the Performance Adjustment Factor. I think most of these
22	are also for Mr. Snider.
23	Q So Mr. Snider, on page 50 of your rebuttal
24	testimony turn to that page.

1	A (Snider) I'm there.
2	Q I'm at I'm sorry. Actually, I think my
3	questions are on page 49 dealing with the Public Staff's
4	or baseload availability factor that Witness Metz
5	provides in his testimony. This is starting on page 49,
6	line 4, continuing down through page 50.
7	A Yeah. Okay.
8	Q And Mr. Metz indicated that this was calculated
9	on an average availability factor for the baseload fleets
10	of the three Utilities. In the past, the Public Staff
11	has made a similar calculation based on baseload
12	performance. Mr. Metz did modify the the units that
13	are included in that calculation of a baseload
14	performance to recognize some of the changes in how the
15	fleets were operating. As you've indicated, the
16	A Right.
17	Q natural gas and coal fleets are operating
18	differently now than they may have, you know, five, 10
19	years ago.
20	A That's correct.
21	Q And do you agree that it's appropriate to make
22	adjustments to kind of what's considered a baseload unit
23	for performance data?
24	A Do I believe it's appropriate to look at the

1 baseload units and say what's their availability? If 2 done correctly, yes.

Q Thank you. And you agree that the Public Staff took an appropriate position when it looked at availability factor as opposed to the capacity factor of those units over the -- over the year? Your issue was more with the -- looking at the annual availability as compared to the on-peak availability; is that correct?

Yes. To be clear, a QF does not have to be 9 Α available. Let's make it clear. They can get their 10 entire annual capacity payment without being available 11 less than -- they can be available less than 25 percent 12 of the time and receive an entire year's capacity 13 payment, and that's because capacity is paid to the QF 14 over a very finite number of on-peak hours. In Schedule 15 B less than 25 percent of the hours in the entire year 16 are on peak, so the QF technically, if I'm a co-gen 17 burning QF, I can be off 75 percent of the hours and 18 19 still get an entire capacity payment.

20 Clearly, the Utility already would not be able 21 to do that and receive their -- if they were unavailable 22 75 percent of the time, they would not be entitled. So 23 what -- what's so critical here is that we recognize that 24 the QF is being paid its capacity during these very

Page: 124

finite period of hours that allows them ample hours for maintenance, for -- if it's refueling, if it's -- if they need to upgrade their equipment, they have 75 percent of the hours in a year that they don't have to provide availability and can still receive their full capacity payment.

7 So when you look at, you know, how do we put them on par then with the Utility, it's unfair to say 8 let's look at the annual availability of the Utility's 9 generation fleet when we're paying for capacity for the 10 QF only during these very finite on-peak hours. So on 11 the on-peak hours what I've recommended in my testimony 12 is that if you hold the QF and the Utility on an apples-13 to-apples basis, that you would look at how available are 14 those same generators that Public Staff looked at. And I 15 16 have no problem with their selection of those generators, but if you said what's their availability on peak. So 17 let's not take a nuclear plant that is available to meet 18 all of our peak demand needs and penalize it for being 19 off during the off-peak period in a way in which we don't 20 do with the OF. 21

22 So if you looked at an apples-to-apples 23 comparison of the on-peak availability of a Utility 24 fleet, the baseload fleet that Public Staff looked at, or

Ms. Bowen pointed to all those plants where she pointed, 1 2 look at their equivalent forced outage rate, which says when needed, when needed for peak, when needed for that 3 polar vortex morning or that hundred degree summer 4 afternoon, or just a hot day or a cold day in the winter, 5 what's your availability metric at that point in time, 6 then compare the QF to that, that's how we came up with a 7 1.05, which says we have an equivalent forced outage when 8 needed. It's actually less than 5 percent of the time, 9 but to make for ease and rounding, we said at a 5 10 percent, would say okay, QF, you are now on an equivalent 11 apples-to-apples basis in the real world with the Utility 12 generator. When you look at the whole year, that does 13 not have a -- a apples-to-apples. That's apples-to-14 oranges, because the QF doesn't have to be available the 15 16 whole year.

Like I said, less than 25 percent of the hours 17 is when they can earn an entire annual capacity payment. 18 That alone would suggest that they're already getting a 19 pretty good deal, because I don't believe, as other 20 witnesses have contended, that we're not held to high 21 standards. I think our operational standards are --22 we're held to very high standards, both by ourselves and 23 by this Commission, such that if, you know, we were not 24

Page: 126

1	available, you know, as Public Staff shows, you know, if
2	we were not available 14 percent of the time, which is
3	the PAF that they're recommending, across the peak, that
4	would be like saying that during all peak hours we had
5	5,000 megawatts offline and that this Commission would be
6	find that prudent, acceptable utility practices, is to
7	be 5,000 megawatts offline across the peak. That's the
8	equivalency. And I don't think that that's a fair
9	apples-to-apples comparison.
10	So, yes, I think on peak is absolutely critical
11	when you're looking at availability when you compare it
12	to how the QF is being compensated for capacity.
13	Q Thank you, Mr. Snider. And I'll try to keep my
14	questions on this fairly brief, but if you could try to
15	also keep your answers to the questions I'm asking brief,
16	I would appreciate that as well.
17	A We're going towards lunch.
18	Q Yes.
19	A You got me.
20	Q So briefly, you talked about the 25 percent of
21	on-peak hours. There are different options that QFs can
22	choose from that may represent a larger number of hours
23	than the Option B, I think, is what you're referring to,
24	the 25 percent of those hours?

Page: 127

1	A To my knowledge. I don't know of any solar QFs
2	that have taken anything other than Option B. So there
3	was an Option A. I think we originally said we should go
4	to an Option B, and it was Public Staff that said, no, we
5	don't want you to eliminate Option A. So if it was the
6	Utilities' choice, we would just have Option B, but there
7	is an Option A that, to my knowledge, very little QFs are
8	taking.
9	Q And that Option A has a larger number of hours
10	that may be more applicable to, say, a landfill gas
11	generator or biomass generator?
12	A Right, who, if they were producing it, a
13	baseload would still receive their full capacity payment.
14	Q All right. Do you agree that in past
15	proceedings, including the Sub 140 Order that's been
16	stipulated in, that the Commission found that if the QF
17	operated during 83 percent of the on-peak hours, that it
18	was considered reasonable and that the QF should be
19	entitled to earn a full capacity payment?
20	A I think many factors have changed since those
21	Orders, and that's why we brought it up. I think we've
22	said that if you actually look at the apples-to-apples
23	comparison, that if you do compensate them for 100
24	percent of capacity again, from a macro perspective

we're already paying for capacity that when applied to a 1 solar specific rate is not avoiding capacity. We're 2 giving it 40 percent capacity value as we sit here today 3 with the filed rates, and we're proposing to make that 4 rate higher. Let's take that multiplier, apply it to a 5 rate that is already overcompensating and make it higher. 6 So from a macro perspective and from the specifics of the 7 issue itself, that is not justified. 8

Right. And do you agree that the Utilities 9 0 have capacity needs outside of their peak hours and that 10 QFs can provide capacity during those hours, too? 11 In the extreme, capacity would be in every A 12 hour. We have -- you know, the hours are energy. The 13 true need for peaking or for capacity -- not just 14 peaking, but capacity -- does come across your peak, but 15 I think it would be -- if you wanted to go down that, 16 then you would have to pay capacity over all hours and 17 not just over the peak. So -- but right now if we paid 18 QF capacity over all hours, they would not be earning 19 anything at night, and so the capacity payment they would 20 receive would be far less than it is today. 21

And then if you -- if you then said, yes, I'll pay it over all hours, all capacity hours, then the equivalency factor that you brought up would be more

Page: 129

1	appropriate, but we would have to then say you have to
2	earn your capacity payment by being there in all 8,760,
3	and if whatever percent you're there is how much capacity
4	payment you get, and then the performance factor that you
5	recommended would be more appropriate. But the fact of
6	the matter is, is we don't pay them over all 8,760 hours,
7	so we've got this mismatch where we're not apples to
8	apples.
9	Q Thank you. Now, are all the Utilities'
10	resources expected to operate at a 95 percent
11	availability factor during those on-peak hours to fully
12	recover their costs?
13	A I think, as I've stated before, there's
14	different, you know they were held to prudent
14 15	different, you know they were held to prudent standards. I will point out the Utilities are the ones
14 15 16	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an
14 15 16 17	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's
14 15 16 17 18	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's prudent operating practices. I think I spoke yesterday
14 15 16 17 18 19	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's prudent operating practices. I think I spoke yesterday to the you know, if you looked at a nuclear generator,
14 15 16 17 18 19 20	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's prudent operating practices. I think I spoke yesterday to the you know, if you looked at a nuclear generator, they have to deem themselves as a baseload generation as
14 15 16 17 18 19 20 21	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's prudent operating practices. I think I spoke yesterday to the you know, if you looked at a nuclear generator, they have to deem themselves as a baseload generation as prudent, which includes a very high availability, much
14 15 16 17 18 19 20 21 22	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's prudent operating practices. I think I spoke yesterday to the you know, if you looked at a nuclear generator, they have to deem themselves as a baseload generation as prudent, which includes a very high availability, much higher than what's recommended by Public Staff, or be
14 15 16 17 18 19 20 21 22 23	different, you know they were held to prudent standards. I will point out the Utilities are the ones with an obligation to serve. The QFs do not have an obligation to serve. And this Commission deems what's prudent operating practices. I think I spoke yesterday to the you know, if you looked at a nuclear generator, they have to deem themselves as a baseload generation as prudent, which includes a very high availability, much higher than what's recommended by Public Staff, or be subject to a prudence review and disallowance of

1	think we're held to very high standards both internally
2	and as we come before this Commission.
3	Q All right. Thank you. And I think we part
4	of that point we you wouldn't look at just a single
5	unit or a single facility. When you're looking at this
6	question, you would be looking at the Utilities' overall
7	ability to meet the system peak from a systemwide on a
8	systemwide basis?
9	A Yes. In my rebuttal testimony, that's exactly
10	what we did. We looked at what is the fleet's, not one
11	unit, what's the fleet's on-peak availability, and that's
12	how we came up with the 1.05. So I want to make sure
13	we're not saying we looked at just a nuclear unit or a
14	set of units. We looked at the fleet's availability when
15	needed to meet peak, consistent with the way the QF is
16	being compensated for peak, and an apples to apples would
17	justify a 1.05.
18	Q And would you agree that the reserve margin
19	that's utilized by the Utility accounts for some portion
20	of that that fleet not being available to meet the
21	system peak, that there is a not a cushion, but that
22	there is a portion of that that is viewed as operating in
23	reserve?
24	A The reserve margin has multiple influences. It

is certainly not just for peak availability of your 1 resources. It does -- does recognize generators can be 2 offline. That's why you have -- part of why you have a 3 reserve margin, but part of it is for load uncertainty, 4 like spikes during a polar vortex, so you need a reserve 5 margin for that. Long-term forecast error. If you have 6 generation needs quicker than expected, you need to be 7 able to serve that. So there are multiple inputs. And, 8 again, it points out to if we adopted Public Staff's 9 availability metric, our reserve margins would need to be 10 significantly higher than what we filed. 11

So if we are only available 86 percent of the 12 time during peak, we could not come to this Commission in 13 the IRP process and say we need a 17 percent winter 14 reserve. If we were to adopt that on-peak availability, 15 we need high 20s, 30, to accommodate having that lack of 16 availability during peak. So that's part of the 17 disconnect, is we have a reserve margin that's built upon 18 being largely available at peak, you know, with only a 19 very small, you know 3, 4 percent of our units out during 20 peak, and that's what goes into the reserve margin 21 calculation. 22

23 So if we were to assume 16 percent of the units 24 or 14 percent of the units weren't available, we'd come

Page: 132

1	to this Commission and say we need a much higher reserve
2	margin. So I would say to be consistent with our reserve
3	margin calculation that's presented to this Commission,
4	we would need to go to the 1.05 PAF.
5	Q Right. And just a couple last questions on
6	this point. Would you you just noted, Mr. Snider,
7	that the Utilities are currently using a 17 percent
8	reserve margin; is that correct?
9	A Seventeen percent winter reserve margin, yes.
10	Q Thank you. And so under the analysis that you
11	did reflecting the Public Staff's position that an 86
12	percent baseload availability factor is is
13	inappropriate and that that would result in the Company
14	having 5,000 megawatts of generation unavailable during
15	the the Utilities' peak, using the reserve margin of
16	17 percent doesn't that indicate, though, that the
17	Utilities could have 6,100 megawatts above the system
18	peak?
19	A See, and that's a very important point. It
20	does not. And see, what what's done there is the
21	availability factor that the Public Staff used. And,
22	again, I think it is appropriate to look at availability,
23	and and I went into a great deal of debate yesterday
24	with Ms. Bowen about on peak versus annual without sort

Page: 133

of backing up first and saying Utilities need to take generation offline during times of -- of not peak, so nuclear generators need to refuel, but we never do that across the peak. Those times during off peak where the generator is brought offline, whether it's for maintenance or for refueling, went into Public Staff's calculation.

That is -- you know, in the reserve margin, we 8 recognize we're taking those offline when we don't need 9 It's only how much of that Utility generation is 10 them. not going to be available during critical peak hours that 11 causes you to need a reserve margin. So the cause for 12 reserve margin, we certainly didn't assume 17 percent or 13 16 percent of our resources are going to be offline in 14 any given hour; we recognize in the creation of that 15 reserve margin that we're going to be highly available 16 during on-peak periods, similar to the on-peak periods 17 that we pay capacity to the QFs. And so to use an annual 18 that pulls in these off-peak outages and then comparing 19 it to your on-peak availability is this apples and 20 oranges and that we keep getting here, which, I think, 21 using availability is -- is a step in the right 22 direction. You just have to apply it to the on-peak 23 period because that's what drives our reserve margin, 24

Page: 134

1	that's what drives our need for capacity, not the annual
2	availability.
3	Q Thank you, Mr. Snider. And you just talked
4	about kind of maintenance cycles for facilities and
5	planning outages. Would you agree that a generation
6	plant, regardless of the fuel that it uses, has a
7	specific maintenance cycle that's planned or engineered
8	in the life cycle of the plant that accounts for wear and
9	tear and
10	A Yeah. They're very, very specifically planned
11	away from our peak periods, and that's one of the
12	operational disciplines that the Utility has.
13	Q And, again, part of the
14	CHAIRMAN FINLEY: This is three this is
15	three questions, Mr. Dodge.
16	MR. DODGE: Okay.
17	CHAIRMAN FINLEY: We're going to break for
18	lunch.
19	MR. DODGE: Two. All right.
20	CHAIRMAN FINLEY: Come back at 2:00.
21	MR. DODGE: We're breaking?
22	CHAIRMAN FINLEY: Yes.
23	MR. DODGE: Okay. Thank you.
24	(The hearing was recessed at 12:35 p.m.)

STATE OF NORTH CAROLINA

COUNTY OF WAKE

CERTIFICATE

I, Linda S. Garrett, Notary Public/Court Reporter, do hereby certify that the foregoing hearing before the North Carolina Utilities Commission in Docket No. E-100, Sub 148, was taken and transcribed under my supervision; and that the foregoing pages constitute a true and accurate transcript of said Hearing.

I do further certify that I am not of counsel for, or in the employment of either of the parties to this action, nor am I interested in the results of this action.

IN WITNESS WHEREOF, I have hereunto subscribed my name this 2nd day of May, 2017.

Linda S. Garrett Notary Public No. 19971700150