

1 PLACE: Dobbs Building, Raleigh, North Carolina
2 DATE: March 5, 2020
3 DOCKET NO.: E-2, Sub 1185
4 TIME IN SESSION: 1:59 p.m. to 3:22 p.m.
5 BEFORE: Commissioner Daniel G. Clodfelter, Presiding
6 Chair Charlotte A. Mitchell
7 Commissioner Kimberly W. Duffley
8
9

10 IN THE MATTER OF:

11 Application of Duke Energy Progress, LLC, for a
12 Certificate of Public Convenience and Necessity
13 to Construct a Microgrid Solar and Battery
14 Storage Facility in Madison County, North Carolina
15

16 Volume 1
17
18
19
20
21
22
23
24

1 A P P E A R A N C E S:

2 FOR DUKE ENERGY CAROLINAS:

3 Lawrence B. Somers, Esq.

4 Deputy General Counsel

5 Duke Energy Corporation

6 P.O. Box 1551/NCR 20

7 Raleigh, North Carolina 27602

8

9 FOR NORTH CAROLINA SUSTAINABLE

10 ENERGY ASSOCIATION:

11 Peter Ledford, Esq.

12 North Carolina Sustainable

13 Energy Association

14 4800 Six Forks Road

15 Suite 300

16 Raleigh, North Carolina 27609

17

18 FOR THE USING AND CONSUMING PUBLIC:

19 Dianna Downey, Esq.

20 Public Staff

21 North Carolina Utilities Commission

22 4326 Mail Service Center

23 Raleigh, North Carolina 27699-4300

24

1 P R O C E E D I N G S

2 COMMISSIONER CLODFELTER: Good afternoon,
3 everyone. Let's come to order, and at this point we'll
4 call Docket E-2, Sub 1185.

5 I am Commissioner Dan Clodfelter, and I have
6 been assigned to preside over this panel proceeding.
7 With me this afternoon on the panel are Commission Chair
8 Charlotte Mitchell and Commissioner Kim Duffley.

9 The docket before us is E-2, Sub 1185, which is
10 the Application of Duke Energy Progress for Approval of a
11 Certificate of Public Convenience and Necessity to
12 Construct a Hot Springs Microgrid Solar and Battery
13 Storage Facility pursuant to General Statute 62-110.1 and
14 Commission Rule R8-61.

15 At this point, in compliance with the
16 requirements of Chapter 163 of the State Government
17 Ethics Act, I remind the Commission members of our duty
18 to avoid conflicts of interest, and inquire whether any
19 member of this Panel has a known conflict of interest
20 with regard to this docket?

21 (No response.)

22 COMMISSIONER CLODFELTER: Madam Court Reporter,
23 let the record show that no conflicts were identified.

24 We're going to skip preliminary recitations of

1 the history because this is the continuation of an open
2 docket already in existence. And let me have the parties
3 first announce their appearances, starting with the
4 Company.

5 MR. SOMERS: Good afternoon, Commissioner
6 Clodfelter, members of the Commission. I am Bo Somers,
7 Deputy General Counsel, on behalf of Duke Energy
8 Progress.

9 COMMISSIONER CLODFELTER: Thank you. Ms.
10 Downey?

11 MS. DOWNEY: Good afternoon, Commissioners.
12 Dianna Downey on behalf of the Public Staff.

13 MR. LEDFORD: Good afternoon. Peter Ledford on
14 behalf of the North Carolina Sustainable Energy
15 Association.

16 COMMISSIONER CLODFELTER: Great. We're going
17 to, as I say, skip a lot of the preliminaries because
18 we're in an open docket. There is nothing before the
19 Commission this afternoon for decision or for action.
20 This is simply an information presentation and an
21 information briefing by the Company. We may have some
22 Commission questions, and I think that's the reason for
23 the hearing, is we have received the written progress
24 reports from the Company about the implementation of the

1 project and where it stands to date, and there were a
2 couple of topics that we wanted to hear a little more
3 detail in depth about how the project was coming along
4 and developing.

5 One of those, I think, has been communicated to
6 the Company previously. In fact, both of them. One of
7 them is -- relates to a little more understanding about
8 how the solar component of the project is developing and
9 in relation to the battery storage piece of the project.
10 Your written report was very thorough on the battery
11 storage development, and we wanted to hear a little bit
12 more about how the two were coming together.

13 The second topic, and Mr. Somers, I think you
14 have been communicated this, it's a little bit outside
15 the docket, but we understood that you might have some
16 education to share with us this afternoon. Last week or,
17 actually, two weeks ago we had an information briefing on
18 the issue of safety codes, safety standards, and safety
19 protocols to deal with the hazards associated with
20 battery storage systems, and we thought this -- since the
21 Company was going to be in here today, this might be an
22 opportunity to hear the Company's perspective on those
23 issues, and we may have a couple of general questions on
24 that.

1 Again, if you're not prepared to talk about
2 that this afternoon, it's not part of the docket, but
3 since this docket does involve a battery storage
4 installation, we thought it would be a convenient
5 opportunity to kill two birds with one stone.

6 So if I've got it set out right, that's really
7 where we are. We may have a couple of detail questions
8 for you, but let's start with whatever presentation Mr.
9 Somers, the Company, wants to make, and then we'll see
10 what questions develop out of that. Is that fair?

11 MR. SOMERS: Yes, sir.

12 COMMISSIONER CLODFELTER: Ms. Downey, Mr.
13 Ledford, that okay with you?

14 MS. DOWNEY: Yes.

15 COMMISSIONER CLODFELTER: Great. Okay. You're
16 on.

17 MR. SOMERS: Thank you, Commissioner
18 Clodfelter. If I may, we have seven Duke employees who
19 are here today sort of as a panel. You'll note four of
20 them are sitting to my right because we don't have enough
21 room up at the top. We wanted to make sure we had folks
22 here who could address a status update, as well as any
23 Commission questions, so we've got folks from various
24 areas, and I'll call them forward and introduce them. Do

1 you want to swear them or do you want me to just
2 introduce them?

3 COMMISSIONER CLODFELTER: Well, as I say, this
4 -- we don't have anything to decide or, actually, Orders
5 to issue coming out of this proceeding, but I think for
6 good order sake, since we have the court reporter with
7 us, let's put the information on the record, so let's do
8 get them sworn.

9 MR. SOMERS: If the Duke folks would come
10 forward to the stand, please. I'm going to introduce you
11 one at a time. We also have some slides that are being
12 projected on the screen. I've also handed out copies of
13 those. If anybody didn't get a copy and wants one, just
14 let me know. Gentlemen, please have a seat.

15 Also, in our progress report that was filed
16 with the Commission, there were certain portions of it
17 that were redacted as confidential, primarily relating to
18 cost information as well as some simulations that are
19 proprietary to the Company. To the extent -- we don't
20 have any of the confidential information in the slides.
21 To the extent, certainly, if the Commission wants to ask
22 about that, we'll just need to address that in a closed
23 session if we get to that point.

24 COMMISSIONER CLODFELTER: Great. I think we

1 can take that up if we get to it. We do have, as I say,
2 a few questions, but I'm not sure they go to the
3 confidential material. I don't know whether the Public
4 Staff or the Intervenor may have questions on the
5 confidential material. We'll take that up at the
6 appropriate time.

7 MR. SOMERS: All right.

8 COMMISSIONER CLODFELTER: Okay.

9 MR. SOMERS: If I could, I'll just start with
10 Mr. Kuznar. If you would, just please state your name
11 and your position with Duke Energy.

12 MR. KUZNAR: Right. My name is Zak Kuznar.
13 I'm a Managing Director in our Renewable Generation
14 Business Development.

15 MR. SOMERS: All right. And Mr. Abdelrazek.
16 And would you spell your name, please?

17 MR. ABDELRAZEK: Sure. Sherif Abdelrazek.
18 Abdelrazek, A-B-D-E-L-R-A-Z-E-K. I work with Distributed
19 Energy Technologies Engineering, focusing on energy
20 storage and microgrid projects.

21 MR. SOMERS: Mr. Hoffman.

22 MR. HOFFMAN: Bryan Hoffman, the Operations and
23 Maintenance Manager in Customer Delivery.

24 COMMISSIONER CLODFELTER: Great. Okay. If you

1 three gentlemen, now let's get you all -- get you
2 introduced; now let's get you all sworn, and if you can
3 do it at the same time, that'll save us some time.

4 You've got four more?

5 MR. SOMERS: I do.

6 COMMISSIONER CLODFELTER: Let's do these three
7 because we're going to have to move the Bible over to
8 that table. So I want to do them in groups; that way
9 it's a little more efficient. So there's a Bible there
10 in front of you. If the three of you will put your left
11 hands on the Bible and raise your right hand, please, all
12 three of you.

13 MR. SOMERS: Or affirm.

14 COMMISSIONER CLODFELTER: You prefer to affirm?

15 MR. ABDELRAZEK: I just want to state I'm a
16 proud Muslim, but I can swear on the Bible.

17 COMMISSIONER CLODFELTER: That's fine. Let's
18 just have all three of you affirm. How about that? That
19 works just as well.

20 (BRYAN HOFFMAN, ZACHARY KUZNAR AND
21 SHERIF ABDELRAZEK WERE DULY AFFIRMED.)

22 COMMISSIONER CLODFELTER: Now you want to
23 introduce your other four, and we'll get the Bible over
24 there.

1 MR. SOMERS: Sure. Thank you. We'll start out
2 with Mr. Bhagat. And if you would spell your name,
3 please.

4 MR. BHAGAT: Sure. My name is Neil Bhagat,
5 B, as in boy, H-A-G-A-T. I'm the Manager for our
6 Distributed Generation engineering team.

7 MR. SOMERS: Mr. McNeill.

8 MR. McNEILL: Jack McNeill, Director of Asset
9 Management.

10 MR. SOMERS: Mr. Lowder.

11 MR. LOWDER: I'm Will Lowder. I'm the Director
12 of Distributed Energy delivery team.

13 MR. SOMERS: And Ms. Farver.

14 MR. FARVER: I'm Maura Farver, Distributed
15 Energy Technology Strategy and Policy Director.

16 COMMISSIONER CLODFELTER: Well, let's just all
17 do them the same way; that way we don't have to do
18 multiple, so just we'll have you all four affirm, if
19 that's all right.

20 (NEIL BHAGAT, JACK McNEILL, WILL LOWDER,
21 AND MAURA FARVER WERE DULY AFFIRMED.)

22 COMMISSIONER CLODFELTER: Mr. Somers, you may
23 proceed.

24 MR. SOMERS: Any other -- okay. Any other

1 preliminary matters?

2 COMMISSIONER CLODFELTER: I don't know unless
3 you have some.

4 MR. SOMERS: I don't -- I do. I would like to
5 -- as I noted, we do have some slides. I thought it
6 would be helpful. We were trying to repetitive. As you
7 noted, the background in this case, the Commission is
8 aware of that, but we thought we would go through some
9 slides to give a general overview of the project and then
10 get into detail with some more topics. So I believe Mr.
11 Kuznar is going to start with the first slide.

12 MR. KUZNAR: Great. Thanks so much for having
13 us here today. We're excited to talk about -- give you
14 an update on our microgrid in Hot Springs. So as you
15 see, we've got a number of folks here who will touch on
16 the different points we have, you know, touches a lot
17 parts of the Company from, you know, our engineering
18 group to operation and maintenance and, you know, our
19 construction PMC or grid modernization group that's going
20 to build the asset.

21 But it's kind of a natural progression in some
22 of the microgrids we've been working on over the years.
23 So some of you are familiar with the Mount Sterling
24 microgrid. It's very similar. It's an inverter-based

1 microgrid battery and energy storage, where in that
2 particular instance we're really just islanding one radio
3 tower. And then we also have one in Charlotte, our
4 McAlpine microgrid which Commissioner Clodfelter is
5 familiar with, where in that particular instance we're
6 using an inverter-based microgrid to provide backup power
7 to one customer. It's just a fire station.

8 And so with this project it's, you know, again,
9 scaling and becoming larger, where now we're pairing a
10 much larger solar farm with a battery storage facility,
11 and in this case we're going to island an entire town to
12 provide backup power.

13 So with that, I just want to kind of jump in.
14 You know, if you look at slide two, you know, this is
15 really the Agenda we have. You know, project overview,
16 talk a little bit about our involvement with the
17 community, schedule -- the schedule update, talk a little
18 bit about the operations, and then we are going to go
19 into some detail on the safety. I know that was -- that
20 was a question that came up just on the precautions we're
21 taking from a fire -- fire protection standpoint.

22 And then we'll talk a little bit about the
23 interconnection which Neil talked about. You know, it's
24 different in the fact that this is an inverter-based

1 microgrid. It's not, you know, a traditional kind of gas
2 turbine or coal plant, so talk a little bit about some of
3 the evaluation that has to go in when studying that.

4 So if you jump to slide three, again, I'll go
5 through this pretty quickly. You know, this is just some
6 background to kind of level set everyone on the project.
7 So we've got a 3 MW battery and 2 MW of solar which will
8 be located at Peerless Blowers, which is located and
9 found at Hot Springs. Or 3 MW DC/2 MW AC solar. The
10 battery is about 4 MW. We've got a microgrid controller,
11 so when you have these systems, you're putting your
12 intelligence out really at the edge of the grid where
13 decisions are going to be made and then kind of fed back
14 into our local distribution control center which Brian
15 will talk about in more detail. And then a number of
16 other pieces of equipment, you know, your circuit
17 breakers, different conductors, inverters, and the
18 disconnect switches.

19 So if you look at the overall life of the
20 asset, it's about -- the life of the asset is 25 years.
21 Now, as part of that, with batteries, batteries will
22 degrade over time, so after 10 years we build in the cost
23 to replace those lithium ion batteries. And, again,
24 you'll have a degradation over time similar to, you know,

1 with a cell phone or a computer, the longer you have it,
2 the shorter the battery life is.

3 And, again, this is located --

4 COMMISSIONER CLODFELTER: Mr. Kuznar?

5 MR. KUZNAR: Yes.

6 COMMISSIONER CLODFELTER: I think we can hear
7 you up here fine, but I have a hunch --

8 MR. KUZNAR: They can't hear me.

9 COMMISSIONER CLODFELTER: We can hear you okay,
10 but I have a hunch that folks at the very back of the
11 room might need you to have a little more volume.

12 MR. KUZNAR: Okay.

13 COMMISSIONER CLODFELTER: Okay.

14 MR. KUZNAR: I can talk --

15 COMMISSIONER CLODFELTER: That's great.

16 MR. KUZNAR: -- talk louder here.

17 COMMISSIONER CLODFELTER: Very good. That's
18 better.

19 MR. KUZNAR: Great. And so it's located at a
20 15-acre site in Madison County. It's going to be located
21 -- we engaged the customer Peerless Blowers. It's a
22 company that's located in Hot Springs, and they're very
23 excited to participate with us, and gave us a land lease
24 for this project which covers the life of the asset. Any

1 questions on the overview?

2 COMMISSIONER CLODFELTER: Just one question.

3 If you don't mind, Mr. Somers, if it's okay with you,
4 again, this is an informational briefing.

5 MR. KUZNAR: Yeah.

6 COMMISSIONER CLODFELTER: It's not a formal
7 adjudication. So if the parties are okay with it, we'll
8 take questions as we go. Now, maybe Commission questions
9 as we go, but I'll give you guys a chance to ask your own
10 questions in your own time, if that's all right, if
11 that's acceptable.

12 MR. KUZNAR: Sure.

13 COMMISSIONER CLODFELTER: I do have one
14 question for you.

15 MR. KUZNAR: Yeah.

16 COMMISSIONER CLODFELTER: On the -- just it's
17 triggered by the fact that your replacement cycle for the
18 cells, how far are you into the other microgrid projects
19 that you've got going? How far -- how many years into
20 those are you?

21 MR. KUZNAR: Right. It's a good question. So
22 we've got most of our large grid-scale projects like this
23 in other jurisdictions are basically just getting built
24 right now. However, we've got like our McAlpine

1 microgrid is a -- that's been in operation for five or
2 six years.

3 COMMISSIONER CLODFELTER: Right.

4 MR. KUZNAR: So the way these are designed,
5 though, is we basically have a -- if you don't mind if I
6 go into just a little bit of detail on this.

7 COMMISSIONER CLODFELTER: That's fine. What I
8 was interested in was just sort of how -- what your
9 experience is --

10 MR. KUZNAR: Yeah.

11 COMMISSIONER CLODFELTER: -- about where the
12 cell life is holding up the way you're --

13 MR. KUZNAR: Right.

14 COMMISSIONER CLODFELTER: -- projecting it to
15 hold up in your existing projects.

16 MR. KUZNAR: Right. I would say with our
17 pilots it is. With these projects here, we work very
18 closely with the battery vendor on the design on kind of
19 the usage profile. So the one thing with the project --
20 with the technology we're using, you know, we work with
21 very reputable companies, Samsungs of the world who, you
22 know, design these systems to meet the cycle life that we
23 show, because each one is unique, in a way, where, you
24 know, you might operate this project differently than

1 we're going to operate another project based on the use
2 case. So we're very -- on the design we work very
3 closely with our manufacturers on that to ensure that
4 we've got that. And we build in these available energy
5 and availability guarantees when we're procuring the
6 assets as well.

7 If you go to the next slide, again, really the
8 next two slides, all this is showing, this is almost size
9 wise an identical project to what we're going to be
10 building in Hot Springs. So this is a very -- this is
11 kind of a similar use case. It's located in Indiana and
12 it's, again, in partnership with a -- with Camp
13 Atterbury, which is a military base located in Indiana
14 that we serve. And so it's very similar. We have land
15 from them. The solar farm which you see on the first
16 slide is almost exactly the same size, roughly, 3 MW DC
17 and then 2 MW AC, similar to the size of this one.

18 And then the batteries as well, which are on
19 the next slide, are 4 MW of lithium ion batteries, so you
20 can see basically each of these containers contains 2 MW,
21 so they each fit in about a 40-foot shipping container,
22 so very small footprint for the battery.

23 And, again, similar use case, and this
24 particular project is in a market so it participates in

1 the MISO frequency regulation market, but then during a
2 grid outage, what this will be able to do is provide
3 backup power to the military base, so it will provide
4 them critical infrastructure with backup power. But from
5 a size standpoint and the fact that it's going to island,
6 it's almost identical to the Hot Springs project.

7 COMMISSIONER CLODFELTER: In the second slide
8 there, is that what I -- is the battery -- what you have
9 on the third slide, is that all I'm seeing in the upper
10 right-hand sort portion of that second slide? Is that
11 the battery installation I'm seeing there?

12 MR. KUZNAR: Yeah. Are you on slide five? Oh,
13 yeah. Sorry. Sorry. That's the installation there.

14 COMMISSIONER CLODFELTER: That -- what I'm
15 seeing on the slide, is that what I'm seeing, is the
16 white area in the upper --

17 MR. KUZNAR: Right.

18 COMMISSIONER CLODFELTER: Is that --

19 MR. HOFFMAN: Yes.

20 COMMISSIONER CLODFELTER: Okay. That's what
21 the battery -- the battery storage --

22 MR. KUZNAR: Yes. The upper right-hand corner
23 there. That's right.

24 COMMISSIONER CLODFELTER: Okay.

1 MR. KUZNAR: And then the next slide is just
2 kind of a zoom in of that. And, again, each of these
3 containers, to put it in perspective, it's a -- it's like
4 what you'd call a 40-foot container that you'd almost see
5 like on a back of a truck.

6 COMMISSIONER CLODFELTER: Great. Continue.

7 MR. KUZNAR: And then really the last slide
8 that I'm going to go through and then pass it off to Will
9 to kind of go through some of the schedule is really, you
10 know, we're -- as part of our -- you know, we've been
11 very involved kind of up in the Asheville region as part
12 of this Western Carolina modernization initiative, and
13 so, you know, we've been up to the site a number of
14 times. We're very engaged with that community.

15 And, you know, one of steps which Bryan will
16 touch on is kind of the fire, kind of first responder
17 training that will occur. These are different, but they
18 can be dealt with safely, and so we'll be working very
19 closely with the fire departments, as we do whenever we
20 develop these systems. Very similar to how we approached
21 it with McAlpine in Charlotte, which in that case it was
22 right next to a fire station.

23 COMMISSIOER CLODFELTER: Right.

24 MR. KUZNAR: Okay. So what we want to do next

1 is really just kind of go through as the next step and go
2 through kind of the schedule where things stand, kind of
3 where they started from, and Will Lowder is going to walk
4 through that for us.

5 COMMISSIONER CLODFELTER: Okay.

6 MR. LOWDER: Thank you, Zak. Good afternoon.

7 COMMISSIONER CLODFELTER: Good afternoon.

8 MR. LOWDER: I assume everybody can hear me.
9 With my name, Lowder, I get accused of speaking loud all
10 the time.

11 I just want to introduce myself. I am the
12 Director of the distribution side of Duke Energy Project
13 Management and Engineering team for construction and
14 operations of our battery sites that will be connected to
15 the distribution grid. And in -- I've been working with
16 Zak's design team for energy storage since 2015. And in
17 2016 we did some studies in several of our jurisdictions,
18 one being the Asheville region, to determine, first,
19 opportunities for business cases that would bring
20 benefits to our customers for battery storage or
21 microgrids, battery plus solar. And Hot Springs
22 microgrid was one of the very top ones for benefits to
23 our customers, so we began to design that project as
24 early as late 2016.

1 By 2017, March of 2017, as you see on the slide
2 we submitted a design into our interconnection -- Duke's
3 interconnection pipeline request into the pipeline.

4 There is a long lead time, as you might know, for
5 distributed energy, and we had to get them to the back of
6 the line. And so --

7 COMMISSIONER CLODFELTER: We didn't know that.

8 MR. LOWDER: Yes. So we put our project into
9 the back of the line early to hopefully have it ready
10 with interconnect agreement by time we got to
11 construction time.

12 Then we proceeded on with further developments
13 of the project, finding an EPC vendor for engineering,
14 procurement, and construction, because those skillsets
15 are not readily available within the Duke Energy
16 organization. These are specific skillsets that are
17 within consulting firms at this time. We are fast
18 growing those capabilities in our organization. But back
19 in 2017, 2018 we were just starting.

20 COMMISSIONER CLODFELTER: Who is the EPC
21 contractor for this project?

22 MR. LOWDER: For Asheville -- excuse me -- for
23 Hot Springs it is Wärtsilä, which is a --

24 MR. HOFFMAN: Parent company of Greensmith.

1 MR. LOWDER: I'm sorry.

2 MR. HOFFMAN: Parent company of Greensmith.

3 MR. LOWDER: Yes. It is the parent company of
4 Greensmith, but I was trying to remember what country
5 they're from.

6 MR. ABDELRAZEK: Finland.

7 MR. LOWDER: Finland. Thank you. I knew it
8 was Scandinavian. Thank you.

9 Eventually, we finished enough of the design
10 and estimating, cost estimating and schedule -- and
11 schedule estimating to submit our CPCN in October of 2018
12 to the Commission and then, again, continued to work on
13 contracts and things of that nature, awaiting the CPCN to
14 come forward -- approval to come forward.

15 In the meantime, in April of 2019, many of you
16 know that there was a significant battery failure event
17 at Arizona Public Service, at which a battery caught on
18 fire, a lithium ion battery, which our sites are all
19 lithium ion. A battery caught on fire. The fire was
20 extinguished, but the batteries are still superheated and
21 continue to create gas, which at a later point when the
22 fire marshals and teams showed up and opened the door to
23 the unit, there was an explosion.

24 We had built a lot of safety into our battery

1 designs at the time, and Sherif Abdelrazek, who is one of
2 our key Ph.D. designers in the Duke group and DET, can
3 share any information about that. But gas explosions
4 really kind of caught us off guard, quite frankly, and so
5 we immediately stopped what we were doing and said we
6 have to go learn everything we can about what happened at
7 APS and make sure that our designs can stop that from
8 occurring.

9 And so we started that immediately. We hired
10 American Fire Technologies to come in as a consulting --
11 utility fire consulting engineering group, and we built
12 some or defined some new standards that Bryan will talk
13 about in detail in just a few minutes.

14 Just after we started that process in May, the
15 Commission provided Duke Energy with the CPCN Order to
16 proceed with the project. And we, at that point, could
17 have started construction; however, we chose to push off
18 the start of construction or submitting the notice to
19 proceed to our EPC Wärtsilä. We decided to push it off
20 from March, which was what we had -- what we had supplied
21 in our CPCN documentation as the start date for
22 construction; we decided to push that off to July for a
23 couple reasons. A, we could not -- we could not have
24 done it any sooner than May when we got the CPCN Order --

1 excuse me -- but we were still investigating the APS
2 issues, and we had come up with some designs that needed
3 to be built into these projects, some additional safety
4 designs that needed to be built into these projects, and
5 with that we needed to negotiate -- renegotiate with
6 Wärtsilä those items into the contract. So we decided to
7 hold the project up, and before we started construction
8 to go ahead and do that. We felt like that was prudent.

9 We had two projects in Indiana that were caught
10 midway in construction, and we already found out we were
11 going to have more cost to redo things that were already
12 built, and we did not want to redo that in the Asheville
13 -- excuse me -- in the Hot Springs project. So that was
14 one of the, I guess, first delays that we had on the
15 project, but for good reason, in our mind.

16 In July -- we chose to push the March date out
17 to July for start of construction, and we did push -- and
18 we did submit the notice to proceed in July to Wärtsilä,
19 at which time they finished -- they began finishing the
20 final engineering design, including all of the new safety
21 recommendations that were in the contract.

22 The project continued on into construction
23 after the engineering and -- excuse me -- I'm getting
24 Asheville, Rock Hill, and Hot Springs mixed up. The

1 project got completed -- excuse me -- with a 90 percent
2 engineering design. This is the design that is approved,
3 and at that point you can begin construction. The EPC
4 does a final design on the site, on the battery system
5 itself. It goes through our engineering departments and
6 is approved for construction as the final quality step.

7 At that point we were learning, along with Neil
8 Bhagat and Jack here to my right, about -- more about
9 what needed to be done to develop the -- to complete the
10 system impact studies and the protection studies to
11 connect this microgrid to our distribution grid. We had
12 been going through a lot of learnings at Duke with
13 inverter-based systems, and it is not something we have
14 readily attached to our grid. You heard Zak speak about
15 Mount Sterling, and we implemented that one in 2017, but
16 that one is not connected to the grid, it's an island, so
17 we didn't have these issues back in 2017 to deal with.

18 But Neil and his team had been working for
19 quite a while, and it just -- it became obvious to us,
20 because we were having engineering differences of opinion
21 within our own organization, which were good -- good --
22 good give and take, push and pull, to make sure we do the
23 right things for our customers and for the safety of our
24 employees, and we learned that we needed to -- we decided

1 that we needed to redo our studies and pull in some
2 additional expertise, consulting expertise, at which time
3 we hired Pike Engineering to come in and help us relook
4 at our system impact studies.

5 In doing this, we pushed our date for our
6 interconnection agreement from August 2019 out to March
7 of 2020. And I know that sounds like a long time, but
8 what we were learning is that these studies took a long
9 time, and because resources were very scarce with the
10 right skillsets to do these studies, they had to be done
11 linearly, and there were two projects at the time in
12 front of the Hot Springs project that had to be -- that
13 had to be completed with their studies first, so this
14 pushed -- this pushed the Hot Springs project for
15 interconnection agreement, final system impact
16 interconnection agreement, out to March of 2020.

17 This all occurred in the November time frame.
18 With this push in our interconnection agreement, the Hot
19 Springs project construction which was ready to begin --
20 remember, I said a few minutes ago the 90 percent
21 engineering had been approved -- was paused. We put it
22 on hold. And we did this for a reason, a good reason,
23 because we knew if we began to construct the site as
24 engineered, as 90 percent approved, and the system impact

1 study found different protection and system impact
2 designs that had to be incorporated, we could face a lot
3 rework, a lot of removing what we had already done and
4 rebuilding it, and that would have cost our customers
5 more money to do that. So we decided to take a break and
6 get our system impact studies done appropriately and then
7 pick back up on construction when we were a hundred
8 percent sure that what we were going to construct was the
9 right -- was the right thing.

10 Our commercial completion date, which had
11 originally been January 2020 submitted to the Commission,
12 was at that time pushed out to September of 2020. And in
13 our January filing, that's the information we had, and we
14 shared a September 2020 completion date of --
15 construction completion date with the Commission.

16 In the last month, month and a half, mainly
17 late January into February, we have continued with our
18 learnings. We've pushed Hot Springs up in the schedule
19 to try and move it along faster, but we've also found
20 that our system impact studies, because of our -- because
21 of the newness to us, are taking longer than we expected,
22 and so our commercial operations date that we believe
23 will be achievable, as we speak today, is December of
24 2020. So we have -- we have shifted it from September of

1 2020 to December of 2020, which is on the map there -- on
2 the chart here on -- there on the screen.

3 We do believe this date is very achievable. We
4 have all of our executive leadership behind us to make
5 this date and other dates that are critical to other
6 sites, like the ones in Indiana that are being
7 constructed generally at the same time, but we do run
8 some risk for that date. The system impact study for Hot
9 Springs is underway, is in the middle, and if they find
10 something, those engineering studies find something that
11 requires us a more lengthy construction than we expect,
12 i.e., a long lead time piece of equipment that takes four
13 months to get once you've ordered it, that happens
14 sometimes, then that December date could be in jeopardy.
15 We don't expect that to occur, but it's a possibility.

16 The other thing that we may face is this pushes
17 our construction end into the bad weather in the
18 mountains in the Asheville area, and weather could become
19 a smaller delay, though it could push our December date
20 into the first of the year.

21 That's the information I have to share with you
22 on how the project has progressed from a schedule
23 perspective. I'll be glad to answer any questions.

24 COMMISSIONER CLODFELTER: Another member of

1 your team is going to talk about -- specifically about
2 interconnection issues?

3 MR. LOWDER: Absolutely, in detail, yeah. I
4 meant to say that, sir.

5 COMMISSIONER CLODFELTER: Yeah. We've got --
6 may have a couple questions on that that we want to
7 pursue. We'll leave them for whoever --

8 MR. LOWDER: Absolutely.

9 COMMISSIONER CLODFELTER: -- is going to
10 address that. Commissioners? Yeah. Okay. You guys
11 roll on. As I say, I'm going to give Ms. Downey and Mr.
12 Ledford a chance to ask you questions, too, but we'll let
13 you go on through.

14 MR. LOWDER: Thank you.

15 MR. ABDELRAZEK: All right. So I believe this
16 is my portion of the presentation. So I'll be going over
17 the design aspects of the Hot Springs microgrid. So
18 first what I'm going to do is I'm going to just give an
19 overview of the figure you see in front of you on the
20 screens, and then I'm going to talk about how the
21 microgrid is intended to operate in grid parallel mode.
22 And grid parallel means that our asset is connected to
23 the grid, both the battery and the solar, and injecting
24 power directly into the Duke Energy grid where it's

1 interconnected.

2 Then I'm going to talk about operation in
3 island mode, so how does the system operate when we
4 isolate the Town of Hot Springs from the rest of the
5 utility grid and feed them power directly from the
6 battery energy storage system and the solar system.

7 So to begin, if you look at the figure where it
8 says Hot Springs substation there, that is the substation
9 located near the Marshall hydroelectric plant. The line
10 between that plant and the Town of Hot Springs is
11 approximately 11 miles. The line is an overhead line.
12 It traverses very heavily vegetated land, mountainous
13 terrain, and thus will exhibit a more than usual, more
14 than normal number of outage events or faults that result
15 in the Town of Hot Springs losing power.

16 The microgrid itself is located very close to
17 the Town of Hot Springs. Both the battery and the solar
18 facility are co-located, connected at the same point of
19 common coupling, the point of interconnect. The solar --

20 COMMISSIONER CLODFELTER: There's a single
21 point of interconnection? They're not separately --

22 MR. ABDELRAZEK: Correct.

23 COMMISSIONER CLODFELTER: -- interconnected?

24 MR. ABDELRAZEK: It's just one point of

1 interconnect, but they are both connected through
2 separate inverters. So this is what's called AC-coupled
3 solar-plus storage system, so each system has its own
4 inverter.

5 As many of you may know, the solar inverters
6 are only unidirectional; power goes one way from solar
7 panels into the grid. The battery inverters are
8 bidirectional. That means power can go from the grid to
9 the battery, thus charging it. And the power can go the
10 other way around from the battery to the grid, thus
11 discharging it.

12 Any questions about the figure itself,
13 understanding the infrastructure that we're building?
14 Okay.

15 So in grid parallel mode, the thought is and
16 the strategy is to have the solar facility inject all the
17 solar power that it is collecting based on the radiant
18 temperature in real-time unless there is a system
19 constraint, be it a cable thermal constraint, a
20 transformer thermal constraint at the substation, for
21 example. In that scenario the battery system will charge
22 excess solar. Okay. So in that scenario the energy
23 wouldn't be lost; it would be, rather, stored in the
24 battery system for either the town to use it later on or

1 the general Duke Energy grid to benefit from it.

2 Now, to kind of explain more on when the
3 battery is charging from the solar and when it's charging
4 from the grid, it really depends on the real-time power
5 dispatch, both from the solar and from the battery. So
6 at any point the battery system is charging, and the
7 solar production is greater than what the battery is
8 discharging. So let's say the battery is charging at 1
9 MW and the solar facility is producing its maximum
10 capacity of 2 MW, or 1.85 to be exact, then all of that
11 power will be coming from the solar into the battery
12 system. The full 1 MW that the battery is charging is
13 going to be coming directly from the solar.

14 Now, in the event where there is -- the battery
15 is charging -- is charging less than what the solar is
16 producing, the rest of that solar production will be
17 injected into the grid. Does that make sense? Any
18 questions on that point?

19 COMMISSIONER CLODFELTER: So the solar
20 production generation charges first to the battery if the
21 battery is charging, and any excess then goes to the grid
22 secondarily?

23 MR. ABDELRAZEK: Yes.

24 COMMISSIONER CLODFELTER: Right.

1 MR. ABDELRAZEK: If the battery system is
2 charging, yes. And there could be a scenario where the
3 battery is not charging at all, so it's at zero, so all
4 the solar production is going into the grid.

5 COMMISSIONER CLODFELTER: Right. Commissioner
6 Duffley?

7 COMMISSIONER DUFFLEY: So who determines when
8 the battery is charging and when it's not charging?

9 MR. ABDELRAZEK: We have partnered with a top
10 tier controller manufacturer, Greensmith, after a very
11 thorough RFP event I think back in 2016. Right, Will?

12 MR. LOWDER: (Nods affirmatively.)

13 MR. ABDELRAZEK: And they have designed a local
14 controller for us that will be used in all of our sites,
15 Camp Atterbury, Nabb, and Rock Hill and Hot Springs, and
16 that is the controller that will be controlling
17 automatically how the power is getting dispatched. So
18 the controller basically has a set of applications that
19 the operator will choose from, and based on that
20 selection, it would operate autonomously. If there are
21 no further --

22 COMMISSIONER CLODFELTER: But let me pursue
23 that a minute just, again, to understand, because these
24 are more technical concepts than this lawyer is

1 accustomed to dealing with on a regular basis. So let's
2 suppose that we're in a situation where you're not
3 islanded, you're not in an island situation, and so
4 you're able to transmit to the grid from solar and you're
5 at a period of peak load where the grid says I can take
6 all the solar you want, and it's a sunny day and you're
7 in peak hour, and the grid wants all the solar you can
8 get, who's got priority if the battery needs to be in a
9 charge state?

10 MR. ABDELRAZEK: So if the battery -- they are
11 independent.

12 COMMISSIONER CLODFELTER: They're running
13 independently?

14 MR. ABDELRAZEK: Independent.

15 COMMISSIONER CLODFELTER: So if the grid
16 controller says I want that solar, but the battery says I
17 want the solar, who is making the decision?

18 MR. ABDELRAZEK: So, again, they're
19 independent, so the battery system will basically operate
20 based on the use case. It is intended to. So one of the
21 primary use cases that we're intending for this battery
22 system is to provide frequency regulation for the bulk
23 system, right? So in that scenario it will be operating,
24 both charging and discharging based on the ramp rate

1 needed by the system based on the frequency, BAAL, CPS1
2 score, these grid control parameters. If it just so
3 happens that while the battery is charging, the solar was
4 producing, that charge will be collected from the solar,
5 not from the grid.

6 COMMISSIONER CLODFELTER: Okay.

7 MR. ABDELRAZEK: So you're getting the energy
8 that you needed from the solar because it's an
9 uncontrollable resource. You just -- as a grid operator
10 you want to benefit the ratepayer from that energy
11 because you're not going to burn fossil fuels if you get
12 that energy from this asset, and you're getting also the
13 benefit from the battery system by it providing its
14 ancillary service of frequency regulation.

15 COMMISSIONER CLODFELTER: Okay.

16 MR. ABDELRAZEK: So moving -- and then, I'm
17 sorry, it's a bit complicated, and I wish I had more time
18 to dig in -- more into details, but it, you know --

19 COMMISSIONER CLODFELTER: Take as much time as
20 you think would be helpful. Don't worry about time.
21 Commissioner Duffley?

22 COMMISSIONER DUFFLEY: But I just want to
23 confirm that this is all automated based on settings that
24 Greensmith --

1 MR. ABDELRAZEK: Correct.

2 COMMISSIONER DUFFLEY: -- has indicated for the
3 system.

4 MR. ABDELRAZEK: Correct.

5 MR. LOWDER: Sherif, can I add something?

6 MR. ABDELRAZEK: Oh, please.

7 MR. LOWDER: I'm very sorry. Yes. The answer
8 to your question is yes. Generally, the majority of the
9 time is that way. However, Bryan is going to cover the
10 distribution generation operations center shortly, and
11 from his op center, if we see a major storm coming toward
12 Hot Springs and we know we need that battery for
13 reliability, his team can reach out to it remotely from
14 downtown Charlotte where the center is and tell that
15 battery to charge and be ready for this storm by 7:00
16 p.m. or whatever.

17 So we do have the ability to prioritize
18 reliability, and we will do that. And eventually we will
19 use weather information to automate that process to say
20 -- the weather information will say there's going to be a
21 big storm here, higher likelihood for outages, and it
22 will trigger that automated site to make that change in
23 its schedule on the fly.

24 So I just wanted to -- I wanted to point out we

1 can control it manually.

2 MR. KUZNAR: Yeah. And Commissioner
3 Clodfelter, your point about the peak, like one of the
4 applications we could use it for, and that's the nice
5 thing about the flexibility is we could push all the
6 solar and then everything in that battery to the grid at
7 the same time. So you could -- you know, depending on
8 what use case you need, it's what application you're
9 going to use.

10 MR. ABDELRAZEK: So one of the reasons we're
11 working with one controller manufacturer is because as we
12 develop more sites, we're adding more use cases or
13 applications, application logic into that controller, so
14 we want to be able, as we build more sites, to implement
15 any application we already implemented in past sites.

16 So we talked about the primary use case being
17 frequency regulation, but if needed, let's say four years
18 from now after it's been operating for four years, the
19 load of the Town of Hot Springs become peaky, and as a
20 utility we would normally just upgrade the substation
21 transformer. They would need a bigger one. We could use
22 the battery to provide a peak load shaving application to
23 defer that upgrade to the future, thus benefiting the
24 ratepayer at the end by reducing the cost of operation of

1 the distribution system.

2 And to the point that Will mentioned, that,
3 yes, the -- that was one of the points in the islanded
4 operation piece, and I'll touch on that in more detail.

5 But before I talk about that, one of also the
6 other secondary kind of functions that the -- our
7 controller will be doing is trying to reach a 75 percent
8 ratio of charge of the energy storage system from the
9 solar to try and get the 30 percent ITC for the battery
10 system, thus reducing the cost of the system for our
11 ratepayers. So we have a very flexible tool. We're
12 trying to use it to the best of its functionality.

13 COMMISSIONER CLODFELTER: Seventy-five percent
14 is the number you've got to ring in order to qualify for
15 the ITC?

16 MR. ABDELRAZEK: In our -- yearly, yes, in
17 order to qualify. So as the system is operating, our
18 controller is constantly calculating how much energy was
19 charged from the grid versus from the solar. And as time
20 progresses, the state of charge is being steered so as to
21 try to maximize that percentage to reach by the end of
22 the year that 75 percent mark. All right.

23 COMMISSIONER DUFFLEY: I had a quick question
24 about the state of charge. So I take it, it's

1 fluctuating based on the parameters set or is there a
2 certain amount, you know, 50 percent, that you're trying
3 to keep the battery, because I know you mentioned when a
4 storm is coming in, you want it to be 100 percent fully
5 charged.

6 MR. ABDELRAZEK: Uh-huh. So we have been
7 working with Greensmith to implement an algorithm that
8 will work in conjunction with our meteorological team's
9 automatic service and detection of inclement weather for
10 each region our battery systems are. So as Zak
11 explained, we have a system just like this in Camp
12 Atterbury, so if there's a hurricane or a snowstorm in
13 Indiana, we want our batteries to be prepared for the
14 benefit of Camp Atterbury.

15 Similarly, here, when inclement weather is
16 detected, the intention is to have the system
17 automatically perform its function, but at a higher state
18 of charge, which means while you may not use the entire
19 system for its fullest potential for frequency
20 regulation, but you're performing that function while
21 ensuring that if that unplanned outage occurs, you have
22 enough energy to prolong the time of backup for the Town
23 of Hot Springs to the fullest extent.

24 So, of course, in island mode how will the

1 solar be operating? So in island mode, basically if you
2 look at the figure -- if you look at the figure, that --
3 where it says Islanding SW, that means islanding switch.
4 So that switch will basically be open, thus isolating the
5 Hot Springs town with the microgrid, and the battery
6 system will start up, thus providing power to the town.
7 And shortly after, in the order of a couple minutes, the
8 solar inverters will come on if the sun is up to maximize
9 the amount of energy that can be delivered to our
10 customers.

11 So if the power from the solar is greater than
12 the load of the Town of Hot Springs, that will mean the
13 batteries will start charging while the Town of Hot
14 Springs is being fed. So really, it's a combination of
15 how big is the town load and how much is the solar
16 producing at the time of the outage that will dictate how
17 long of a backup time we will be able to provide to the
18 Town of Hot Springs.

19 And just to put things into perspective, the
20 average power of the Town of Hot Springs over the period
21 of 2015 to 2018 was 1 MVA, all right, for that specific
22 period. The maximum power for that period as well was
23 2.8 MVA. Our battery system is 4.4 MW at -- that is 4.4
24 MWh. And we are sure, or we have performance guarantees

1 from our manufacturer, that guaranteed us that it's not
2 like your cell phone, you're going to start with 4.4 and
3 by Year 12 you're going to have less. We actually have
4 actual cell count 7 MWh in the cells, so that we're
5 starting off with 4.4 MWh, Year 12 we will have 4.4 MWh.
6 The only difference is that 7 MWh will degrade over time,
7 but we will always be guaranteed 4.4 MWh at the point of
8 interconnect that the town can benefit from. Any
9 questions?

10 COMMISSIONER CLODFELTER: So while you've
11 anticipated, I think maybe anticipated something I was
12 sitting here wondering about, is when you don't really
13 know how the battery is going to run an operation, how
14 you're really going to be able to predict life cycle and
15 cell degradation, but you've really done that by
16 oversizing, right?

17 MR. ABDELRAZEK: Correct.

18 COMMISSIONER CLODFELTER: Essentially
19 oversizing.

20 MR. ABDELRAZEK: Correct. And we've spent a
21 significant amount of time with our -- that's a very good
22 question because we've run into this issue where most of
23 the systems that are being installed out there, you have
24 one specific function that you're performing, and you

1 guarantee to your manufacturer that you will perform this
2 every day, you will not do anything different.

3 COMMISSIONER CLODFELTER: Right.

4 MR. ABDELRAZEK: In our case, we're trying to
5 use these systems to the fullest of their capability, so
6 we had to work very hard with Samsung to get what we call
7 flexible performance guarantees. So if we deviate from a
8 most likely profile that we shared with them, we would
9 not lose our performance guarantee. We'd only -- we
10 would rather be -- we would just get less usage as we go
11 on. And we built our base case profile on a very, very
12 conservative case, where we are using the battery very
13 hard so that we're absolutely sure that we will be able
14 to use this system for any ancillary service we
15 anticipate in that specific site for the entirety of the
16 12 years we have an energy guarantee over.

17 COMMISSIONER CLODFELTER: Is this the way you
18 designed the other facilities in Indiana or is this --

19 MR. ABDELRAZEK: Yes, sir.

20 COMMISSIONER CLODFELTER: -- is this something
21 you're experimenting with on this one?

22 MR. ABDELRAZEK: No. This is the exact same
23 thing we did for --

24 COMMISSIONER CLODFELTER: The same --

1 MR. ABDELRAZEK: -- for Camp Atterbury.

2 COMMISSIONER CLODFELTER: Yeah.

3 MR. ABDELRAZEK: It took us nine months to
4 finish that contract. It was hard.

5 COMMISSIONER CLODFELTER: Keep going.

6 MR. ABDELRAZEK: All right. Thank you. So at
7 this point I'll turn it over to Bryan Hoffman.

8 MR. HOFFMAN: Thank you very much. All right.
9 So I'll continue the discussion on the operations. Once
10 the site is built, we'll have the batteries. The red
11 circle there on the left kind of refers to where they're
12 located at Hot Springs. That will also hold the power
13 plant controller, so we mentioned that previously with
14 Sherif, the PPC. That will speak to the fleet director.
15 So when we say the GEMS Fleet Director, that refers to
16 the Greensmith Energy Management System Fleet Director.

17 There will be one of these in each
18 jurisdiction, and they are located on servers on Duke
19 Energy's network so that is how we will speak to those
20 sites. And each jurisdiction will have a production
21 server and then a QA or development server, so it's kind
22 of like a backup for each fleet director. That system
23 will speak to the Distributed Generation Operations
24 Center, so this will be located in Charlotte at 400 South

1 Tryon, and we will be able to speak to really all sites
2 across all of our jurisdictions, but in this example
3 we'll speak directly back to Hot Springs.

4 We will monitor that site 24/7. We have a
5 1-800 number that's been dedicated to our operations
6 center. If there are any issues from the public, they
7 can call us. We -- you know, we refer to the use cases
8 or the rule engines. That's where we will have
9 visibility into the site. It will be autonomous, but we
10 can change it into manual mode if we deem fit.

11 And we are in constant contact with our
12 Distribution Control Center. So they're the grid
13 operator. They would be in concert with us on if we were
14 to take it out of autonomous mode into manual mode, when
15 should we do it, why should we do it. So we will have
16 control of the facility, but most of the time it will run
17 autonomously through the fleet director back to the PPC
18 which holds the logic for the site.

19 So I said a mouthful there. I'll just pause
20 for a second. A relatively simplistic view of how we
21 will run the operation side of this program.

22 COMMISSIONER CLODFELTER: Well, help me
23 again --

24 MR. HOFFMAN: Yes, sir.

1 COMMISSIONER CLODFELTER: -- because this is
2 the area that's probably the least familiar to us here on
3 the panel. So when the facility is operating in islanded
4 mode --

5 MR. HOFFMAN: Uh-huh.

6 COMMISSIONER CLODFELTER: -- would that be
7 predominantly -- would you be running it manually then or
8 would that be predominantly automated?

9 MR. HOFFMAN: No. So --

10 COMMISSIONER CLODFELTER: That would be almost
11 all automated.

12 MR. HOFFMAN: Yes, sir. Uh-huh.

13 COMMISSIONER CLODFELTER: When it's islanded,
14 you would -- would there be any ability or any reason why
15 you would want to manually override?

16 MR. HOFFMAN: No.

17 COMMISSIONER CLODFELTER: If it's islanded, you
18 wouldn't want to touch it?

19 MR. HOFFMAN: It's doing its thing. So I'll
20 make another -- the DCC always has --

21 COMMISSIONER CLODFELTER: Yeah.

22 MR. HOFFMAN: -- control authority --

23 COMMISSIONER CLODFELTER: Right.

24 MR. HOFFMAN: -- of the DER recloser, so --

1 COMMISSIONER CLODFELTER: Right.

2 MR. HOFFMAN: -- distributed energy resource
3 recloser.

4 COMMISSIONER CLODFELTER: Of course.

5 MR. HOFFMAN: So they will open and close, as
6 preprogrammed, to island.

7 COMMISSIONER CLODFELTER: But there really
8 wouldn't be any reason for as long as it needs to be
9 islanded for you to mess with it at all.

10 MR. HOFFMAN: No, sir.

11 COMMISSIONER CLODFELTER: It's going to operate
12 a hundred percent automated.

13 MR. HOFFMAN: Correct.

14 COMMISSIONER CLODFELTER: Yeah. Okay.

15 MR. HOFFMAN: That's what it's meant to do.
16 Yeah.

17 So, again, the DCC being the grid operator will
18 function more as the generator operators most of the time
19 running autonomous mode, but we have the ability to
20 change the rule engine, if necessary, out of our
21 operations center in Charlotte.

22 And then as future sites are built, of course,
23 they would all speak back to the fleet director, back to
24 our op center, and the program will just continue to

1 grow.

2 COMMISSIONER CLODFELTER: What's the capacity
3 -- how many additional sites can the fleet director
4 you're going to have here, how many additional sites?

5 MR. HOFFMAN: The servers are very powerful.

6 COMMISSIONER CLODFELTER: So you don't really
7 foresee any bumping up against any limits in the number
8 of sites you have?

9 MR. HOFFMAN: No, sir. There's, again, one in
10 each jurisdiction, so Carolina being two jurisdictions,
11 and there's a production and a backup for each
12 jurisdiction, so --

13 COMMISSIONER CLODFELTER: Yeah. Commissioner
14 Duffley. Sure.

15 COMMISSIONER DUFFLEY: So when -- how do you
16 course correct, because as I understand it, the logic is
17 maybe the most difficult part --

18 MR. HOFFMAN: -- of the integration of the
19 system.

20 COMMISSIONER DUFFLEY: And so are you working
21 with Greensmith, and if you feel like you don't have the
22 logic quite right, I mean, you course correct? Could you
23 just describe that process a little?

24 MR. HOFFMAN: Sure. We are all learning as we

1 go. Greensmith is very mature with their platform, which
2 is one of the reasons we picked them, but we will most
3 likely adjust the rule engines as we get into operational
4 mode activities, have some run time. In addition, Sherif
5 mentioned some algorithm development that we're using to
6 supplement what Greensmith can do for us. So, yes, we
7 will learn and adjust as we go. I like to say we're
8 going to crawl, walk, run, on purpose because we do not
9 want to, you know, make a mistake, and we want to learn
10 as we go. We know we're going to stub our toe a few
11 times, but that's okay, so --

12 Okay? So -- okay. We'll step into some of the
13 safety enhancements that we've made at the site. So we
14 learned a lot from the event at APS, Arizona Public
15 Service. We've proactively taken a lot of multiple
16 design steps to incorporate that into our design.

17 So the first bullet here, when we talk about
18 early detection of abnormal voltage, temperature, or
19 system defect, that really refers to the BMS, so the
20 battery management system at the site is monitoring
21 really the site and the batteries to make sure they stay
22 in a safe condition. We call them guardrails. They will
23 operate the batteries within a certain set of guardrails
24 or constraints.

1 In addition to that, we have added a Li-ion
2 Tamer system. So it's a combination of lithium ion, we
3 call it Li-ion Tamer. That's the brand name of the
4 system. This is an off-gas detection system, so it will
5 really detect dangerous conditions inside the container
6 that may be the BMS mist, but if the BMS misted, the
7 Li-ion tamer is there in concert with the BMS to shut
8 down the system. So that's one additional safety design
9 that we've put in.

10 The HVAC units normally used to cool the
11 containers will be used to expel a buildup of gas, so
12 they'll vent to atmosphere in the event that they're told
13 to do so by either the BMS or the Li-ion Tamer. So
14 that's another safety enhancement we've made.

15 We do have a fire suppression system. It's the
16 3M Novec 1230 fire suppression system, so that is there
17 to prevent exactly what -- to smother any electrical
18 fires.

19 We've also installed dry standpiping. So this
20 is piping that will daylight inside the container and it
21 will start out at the fence line of the facility, so in
22 the worst case scenario, a first responder is able to
23 flood the container with water to really remove heat
24 during the thermal runaway of the batteries. So that's

1 another enhancement we've made there.

2 And we've also installed --

3 COMMISSIONER CLODFELTER: And if I understand,
4 they're able to do that without entering an enclosed
5 area?

6 MR. HOFFMAN: Yes, sir.

7 COMMISSIONER CLODFELTER: Yeah.

8 MR. HOFFMAN: That's to purposely --

9 COMMISSIONER CLODFELTER: Right.

10 MR. HOFFMAN: -- keep them at the fence line --

11 COMMISSIONER CLODFELTER: Right.

12 MR. HOFFMAN: -- to keep them safe. Yes, sir.

13 We also have deflagration panels. So these are panels
14 located in the ceiling of the container that if pressure
15 were to build up, that is where a gas or a pressure event
16 would expel first, so really up towards the sky. That is
17 the safest location for that pressurized energy to go.
18 So we're installing those as well.

19 Another -- I'll mention this. The physical
20 layout of the container, we access the batteries from the
21 exterior of the container. Previous designs in other
22 applications you would enter the container to access
23 batteries from the inside. We access them from the
24 outside, so another physical barrier that we have there.

1 So we meet with first responders and
2 firefighters proactively well before the site goes into
3 operation. We've met with first responders at our other
4 facilities multiple times. I'll mention Asheville, Rock
5 Hill. That's a site located up near Asheville. We've
6 already met with first responders twice. That site is
7 not operational yet, but they've already been to the site
8 twice, walked it down. We have educated them. And I'll
9 highlight, we've actually created a brochure that we hand
10 out really to anyone, but meant for first responders. In
11 the event they were called to the site, they would know
12 what to do. We stay in constant contact with them, so
13 every year we'll brush them up on what we've learned,
14 what they've learned, and if we need to change anything.

15 We have established emergency response plans,
16 so ERPs, which is a programmatic approach to how we deal
17 with catastrophic events. There's an EAP at each site,
18 so an emergency action plan, that if someone were to be
19 located onsite, which normally there is no one onsite,
20 but if there were, it's posted very clearly on the
21 exterior of the building of what they should do in the
22 event of an emergency. And we also, again, have the
23 brochure that we hand out to folks, so a number of
24 documentation that we're developing to make these sites

1 as safe as possible.

2 And so the way we got here, we've partnered
3 with lots of different folks across the industry to try
4 to learn what we could. So AFT, I'll highlight them,
5 American Fire Technologies. They are one of our
6 consultants we use that we -- we've used to increase our
7 fire safety spec. So they've helped us increase the spec
8 that we go out for RFP, and it's really been borne out in
9 all the items I discussed on the top of the slide, all
10 the additional enhancements that we've made.

11 We also partner with industry, so we brought
12 Li-ion Tamer, or Nexceris is their company, to our
13 research development facility in Charlotte on the first
14 generation of Li-ion Tamer. And so we learned -- they
15 learned, we learned from that, and we actually have
16 Generation 2 now installed in our containers, so another
17 way we're learning together as an industry going forward.

18 We're very involved with the standards and
19 codes development organizations across the whole country.
20 We attend conferences quite often. And not just one of
21 us, but many of us go on a routine basis. And we also
22 work with Samsung. They're our main manufacturer, but
23 we're in constant communication with them on what safety
24 testing are they doing and how can we help them enhance

1 those features, so --

2 So, again, I ran through that quick, but I'll
3 just pause if there's more safety questions you'd like
4 to --

5 COMMISSIONER CLODFELTER: Who provides fire
6 coverage in the area? Is that the town or is it a
7 volunteer department, or what?

8 MR. HOFFMAN: Well, there are combinations.

9 COMMISSIONER CLODFELTER: Combinations.

10 MR. HOFFMAN: We always seek -- usually,
11 there's both, and we always seek out the volunteer folks
12 as well as the paid professionals.

13 COMMISSIONER CLODFELTER: And so you provided
14 the training to all of the organizations in the region
15 there that would respond, the first responders?

16 MR. HOFFMAN: Yes. We ensure --

17 MR. ABDELRAZEK: We will.

18 MR. HOFFMAN: Right. Not at Hot Springs yet
19 because we haven't started, but our other facilities we
20 canvas the area to ensure to the best of our ability
21 we've covered any first responder that could go to site.

22 COMMISSIONER CLODFELTER: Are there any special
23 equipment needs that the first responders would need to
24 have in order to respond to an emergency at the site?

1 MR. HOFFMAN: No. We actually tell them to
2 stay back.

3 COMMISSIONER CLODFELTER: Okay.

4 MR. HOFFMAN: Batteries are unique in many ways,
5 as we already know, so normally we tell them to -- and
6 there are signs, large signs, posted right on the gate do
7 not enter the site without really contacting our
8 operations center. And we have that 1-800 number placard
9 right on the gate. So we do not ask them to go in unless
10 they are told by a Duke Energy representative, is what we
11 instruct.

12 COMMISSIONER CLODFELTER: So there would not --

13 MR. HOFFMAN: And that's what's said in here
14 (indicating brochure).

15 COMMISSIONER CLODFELTER: It would not be a
16 situation in which the fire department would be the one
17 who actually executed the suppression unless Duke had
18 said you guys go do it?

19 MR. HOFFMAN: Correct.

20 COMMISSIONER CLODFELTER: Okay.

21 MR. HOFFMAN: Unless instructed, we pretty much
22 tell them to stay away. Yes, sir.

23 COMMISSIONER CLODFELTER: With respect to the
24 -- sort of the safety standards that you've followed and

1 the design considerations, how -- at a very high level
2 because, again, we're not really expert in the details of
3 this, but how --

4 MR. HOFFMAN: Sure.

5 COMMISSIONER CLODFELTER: -- would you compare
6 those to the standards that are in NFPA 855?

7 MR. HOFFMAN: Interesting question.

8 COMMISSIONER CLODFELTER: At a high level.

9 MR. HOFFMAN: We follow that very closely. We
10 have tried -- again, AFT is one of our main consultants.
11 We've tried to incorporate all of their learnings, all of
12 -- you know, I know the gentleman at APS. I've had many
13 conversations with him. We are trying to incorporate
14 every piece that we feel is prudent into the design of
15 these systems. NFPA 855 is a little political, I won't
16 really go into that, but we are incorporating everything
17 that we feel is prudent in that document.

18 COMMISSIONER CLODFELTER: Well, I've got to
19 tempt you to go into it a little bit because the question
20 I really want to explore with you is -- and if you're not
21 prepared to or don't want to answer today --

22 MR. HOFFMAN: No. Well, what I can -- yeah --

23 COMMISSIONER CLODFELTER: -- the question --
24 let me get the question out, just is -- if this is not

1 the appropriate time, that's fine, but I think we have
2 some interest in knowing whether -- what the Company's
3 view is about whether we are not -- we ought to take a
4 look at NFPA 855 as a standard in North Carolina and
5 whether there is a need for such a thing or not. And we
6 don't know if the Company is prepared to take a position
7 on that this afternoon, but it is a topic -- let's just
8 leave it out there for this afternoon -- that's a topic
9 of interest to the Commission, is do we need to actually
10 have an adopted standard and, if so, what does the
11 Company think that ought to be, so maybe you don't want
12 to talk about that today, but it's something that's
13 occurred to us.

14 MR. HOFFMAN: Right.

15 MR. LOWDER: So there's many more than -- at
16 Duke other than us that are involved in that, so we
17 can --

18 COMMISSIONER CLODFELTER: I understand that.

19 MR. LOWDER: -- circle our wagons and bring our
20 opinions.

21 COMMISSIONER CLODFELTER: Let's leave it at
22 that this afternoon, then. I think that's sufficient.
23 You know the question that's out there, so we'll leave it
24 at that.

1 MR. KUZNAR: I would say, though, to what we
2 talked about so far, is we've adopted a lot from NFPA 855
3 that we thought was prudent for these systems, but like
4 we said, we could take it up, get our experts and -- on
5 the fire safety and really explore this. I think that
6 would be good.

7 COMMISSIONER CLODFELTER: Great. Okay. Keep
8 going.

9 MR. HOFFMAN: Okay. I believe that is the end
10 of mine, and I will turn it over to Neil, please.

11 MR. BHAGAT: All right. Good afternoon.

12 COMMISSIONER CLODFELTER: Good afternoon.

13 MR. BHAGAT: So we're going to talk a little
14 bit about today the interconnection piece, specifically
15 around the engineering and the system impact study.

16 So you're heard a lot of folks talk today. You
17 know, microgrids, they're pretty new. We are learning
18 tons as we're going through the engineering studies and
19 the simulations. You add to that the fact that Hot
20 Springs is an inverter-based microgrid, so that means
21 that there's no spinning machine or rotating mass that's
22 there to provide inertia. And the other piece to that
23 adding to the complexity is that this is actually
24 powering a town, so the electrical characteristics of the

1 network are a little bit more demanding in terms of doing
2 the simulations and the studies. So all of this with
3 microgrids is in contrast to traditional generation and
4 traditional grid operations that we've seen.

5 Sherif mentioned that there's two operating
6 modes of the microgrid. One is grid connected and one is
7 an island. So we start getting into the more complex
8 studies when we go into islanded mode. And so what we
9 are trying to do when we go into the islanded mode is
10 look for various fault scenarios that can cause the
11 equipment to either perform incorrectly, or potentially
12 even look at when you do have an outage, does that fault
13 potentially impact any of the workers that are in the
14 network working on the equipment. A fault, in general,
15 is an electrical imbalance, so the traditional protection
16 relaying schemes that are there to detect these
17 electrical imbalances don't always work the same way when
18 you have inverter-based microgrids.

19 So the studies that are listed here in power
20 flow, protection, stability, power quality, we have to do
21 to make sure that these faults are detected, they're
22 isolated, and that the grid can run properly when it's in
23 islanded mode. And islanded mode is really grid
24 resiliency. It's driving grid resiliency. When you're

1 in islanded mode, that piece of the grid has to work
2 correctly. So these studies here ensure that the grid is
3 working -- that the asset is working correctly and it
4 reduces the risk of injury to anybody that's working with
5 the actual equipment.

6 So I'll pause there to see if there's any
7 questions on that.

8 COMMISSIONER CLODFELTER: Chair Mitchell.

9 CHAIR MITCHELL: Help me understand just -- the
10 typical interconnection study wouldn't look at an asset
11 being in islanded mode, would it?

12 MR. BHAGAT: It would.

13 CHAIR MITCHELL: It would? Okay.

14 MR. BHAGAT: Yeah. So for these microgrid
15 projects we have to assess both parallel operation as
16 well as --

17 MR. ABDELRAZEK: I believe she's referring to
18 historically.

19 CHAIR MITCHELL: Right. Any type of -- so any
20 type of distribution tied resource wouldn't be looked at
21 -- I mean, I understand you have to look at a microgrid
22 in an islanded scenario, but it's unique to microgrids,
23 right?

24 MR. BHAGAT: This is unique to microgrids --

1 CHAIR MITCHELL: Yeah.

2 MR. BHAGAT: -- so other assets wouldn't really
3 island.

4 CHAIR MITCHELL: And is that the reason why you
5 guys have had to work on the study process, you've
6 seen --

7 MR. BHAGAT: Yes.

8 CHAIR MITCHELL: Okay.

9 MR. ABDELRAZEK: At a high level, if I may add,
10 there's two main new things here. I mean, we're Duke
11 Energy. We have, I think, close to 2 GW of solar on our
12 grid, so we know distributed generation. But there -- at
13 a very, very high level there's two new things. One,
14 that you actually can now operate as a load, right?
15 Solar can just produce, inject power into the grid,
16 right? Two, that now you're isolating from the grid,
17 disconnecting yourself, and feeding actual customers,
18 energizing overhead lines from an inverter-based resource
19 which is, of course, very, very different from being
20 connected to a firm -- you know, in electrical
21 engineering education we call it an infinite bus, because
22 you're connected to hundreds, even thousands of
23 generators that are all working at the same frequency.

24 So you can imagine the difference between that

1 state where it's just all one system connected
2 electrically, and now you disconnected a very, very small
3 portion of it and you're feeding it locally. So all the
4 relays that are, I mean, downstream of that point of
5 interconnect within the Town of Hot Springs, we have, I
6 think, four or five relays that are all based on seeing
7 the fault current from the grid, the infinite bus. Now
8 they're seeing fault current in the event of a fault from
9 two inverters, two very sophisticated, very cutting-edge
10 inverters, but still, it's different.

11 So that's, you know, at a high level two of the
12 things that are contributing to the novelty of these
13 studies and why it's been challenging. And sorry.

14 MR. BHAGAT: No. That's great.

15 MR. LOWDER: I want to make a point to add on
16 to what Neil and Sherif have said. And Neil mentioned
17 that the -- you know, protecting the assets from fault
18 conditions where you can get imbalance of voltage and
19 current and burn up a transformer or burn up a piece of
20 switch gear, and that costs money. But at the same time,
21 our traditional system today that we've all lived with
22 our entire lives, when something goes wrong, we have
23 protections that turns the system off so that our folks
24 don't get hurt or the general public can't get hurt, and

1 that's the way it's designed.

2 We have to make sure when we're feeding that
3 neighborhood with inverter-based energy that when
4 something happens to the grid out there while it's being
5 fed from that microgrid, that the same protections are in
6 place, and it's harder to do. And that's what's taking
7 us a long time, to learn how to make sure that our
8 equipment is safe and that our customers are safe and
9 that our employees are safe because they could well be
10 out there working on those lines when we're in islanding
11 mode.

12 COMMISSIONER CLODFELTER: Okay. Commissioner
13 Duffley. Sure.

14 COMMISSIONER DUFFLEY: So could you try to
15 explain it as best to a nonscientific person, why is it
16 harder? You know, I hear the importance of we need the
17 protections to work for safety reasons, but why is it
18 harder in islanding mode?

19 MR. BHAGAT: So you're -- when you're in an
20 island, your traditional fault current, your electrical
21 imbalance when you don't have a spinning machine is much
22 lower to detect. So you could -- and, you know, the
23 relays, the set points, aren't sensitive enough to always
24 pick up that there's an imbalance in that -- in your

1 island. So then that could continue feeding and feeding
2 and feeding until the asset has an issue or if somebody
3 else gets hurt.

4 COMMISSIONER DUFFLEY: Thank you.

5 COMMISSIONER CLODFELTER: Continue.

6 MR. LOWDER: Again, it's not that we can't do
7 it. We are doing it. But I would say it's the first
8 time we're doing it, so we have lots of questions to
9 validate to ourselves that what we have done is accurate
10 and correct and that we're ready to go forward. That's
11 what's, in my mind, driving our timelines. We're not
12 rushing through this on purpose.

13 MR. BHAGAT: So -- yeah. So we're putting in
14 the correct parameters to detect that low-fault current.

15 COMMISSIONER CLODFELTER: You guys can
16 continue.

17 MR. SOMERS: So I think on this last slide,
18 before we go to any further Commission questions, just
19 wanted to highlight for the Commission sort of from our
20 perspective the next steps in reporting. Obviously, the
21 timeline has shifted. You've heard that today. You
22 heard that -- read that in our report. And, you know,
23 I'd be remiss if I didn't express our -- you know, the
24 fact that we -- you know, we certainly wish that the

1 original report we had filed met the Commission's
2 expectations, and so we hope by filing the revised report
3 and certainly appearing before you today, we have
4 addressed those questions and you have a better
5 understanding of how the project is progressing and how
6 we plan to operate it.

7 Part of the Commission's CPCN Order included
8 these two progress reports that I want to take just a
9 minute to discuss. One of them is that -- and this was
10 part of the Stipulation among the parties that we
11 submitted to the Commission and was incorporated in the
12 CPCN Order, is part of this obviously as a pilot project
13 is to gain learnings and to present those in a report so
14 that the Commission and the Public Staff have that
15 operational knowledge, but because the operational --
16 commercial operation date has now shifted to estimated
17 December of 2020, we just wanted to confirm that our plan
18 would be to submit that report 12 months after the
19 microgrid goes into commercial operation.

20 If we submitted a report on the annual timing
21 of the CPCN Order, which was May, we would have roughly
22 five months of operational information, and our -- in
23 talking with our experts on our team, they believe that
24 having a full year's worth of data and information would

1 be more beneficial, and so we just wanted to put that in
2 front of the Commission and get any feedback from the
3 Commission on that timing.

4 COMMISSIONER CLODFELTER: Well, on that point I
5 don't have the actual CPCN Order in front of me, so my
6 question back to you is are you suggesting to us we need
7 to do -- if we were to agree with your position on that,
8 would we need to modify the Order or is it going to self-
9 execute the extension?

10 MR. SOMERS: I'll represent to you, and I'm
11 reading from the CPCN Order now --

12 COMMISSIONER CLODFELTER: Okay.

13 MR. SOMERS: -- that on this condition it said
14 to annually report, update, and file with the Commission
15 -- I believe it's on the screen, too -- to the Public
16 Staff the results of its operational knowledge to
17 demonstrate operational benefits, and it details what
18 those are. It was not specific to the commercial
19 operation date, which this 15-month study that we'll talk
20 about next was specific to commercial operation date, so
21 we -- out of an abundance of caution, we just wanted to
22 make sure we were meeting the Commission's expectations,
23 and we would interpret that to mean 12 months from when
24 it goes into commercial operation, but that phrase was

1 not used there, and that's why we just wanted to raise it
2 today.

3 COMMISSIONER CLODFELTER: All right. I think
4 we probably will want to talk about that as a panel, but
5 we hear the request. If we need to make that
6 clarification in any respect, we'll get that to you very,
7 very quickly.

8 Do any members of the panel have a question
9 about what Mr. Somers is suggesting here? Okay.

10 MR. SOMERS: And the just lastly, the second
11 one, the ancillary services study, that language in the
12 CPCN Order and the Stipulation was clear that it was 15
13 months from the commercial operation date.

14 COMMISSIONER CLODFELTER: Okay. Sure. Chair
15 Mitchell.

16 CHAIR MITCHELL: I'm not sure who is best
17 suited to answer this, so I'll just throw it out to all
18 of you all. So, you know, my understanding is that this
19 installation was selected as an alternative to doing work
20 on the transmission system, but what are the studies that
21 you all have done so far telling you about what work, if
22 any, needs to occur on the transmission system to
23 accommodate the installation? Does that make -- does
24 that question make sense? I mean, we think of them sort

1 of in the interconnection context as network upgrades.

2 Is any of that going to have to -- are any network
3 upgrades going to have to be completed to facilitate this
4 installation?

5 MR. ABDELRAZEK: That is part of the system
6 impact study that Neil's group is leading currently.

7 MR. McNEILL: We expect any upgrades to be
8 primarily distribution based.

9 CHAIR MITCHELL: Got it.

10 MR. McNEILL: When we think of transmission,
11 it's the higher voltage, 100 KV and up, and we don't
12 anticipate impacts there.

13 COMMISSIONER CLODFELTER: All right. At this
14 point, I'm not closing the door, but any other questions?
15 If not, we'll let the Intervenor and Public Staff, see if
16 they have any questions. Okay. Mr. Ledford, you want to
17 first? Anything from you?

18 MR. LEDFORD: No questions.

19 COMMISSIONER CLODFELTER: All right. Ms.
20 Downey?

21 MS. DOWNEY: One thing that you all have not
22 addressed today is the escalating cost of this project.
23 And I'm not going to use numbers so we won't get into
24 confidential --

1 COMMISSIONER CLODFELTER: All right.

2 MS. DOWNEY: -- but obviously the Public Staff
3 is concerned, and that's why we asked for a -- I don't
4 know what you want to call it -- cap, rebuttal
5 presumption, or so forth -- and, you know, it started out
6 one place which included a contingency. You're bumping
7 up close to that. What are the major drivers of the
8 increases in cost that you can tell us about?

9 MR. LOWDER: So with all the challenges that
10 we've discussed today in our learnings with these first-
11 of-a-kind projects, we're actually not very far off of
12 our original estimate for completing. We are a little
13 bit higher, but in that is -- I can't do the percentages
14 in my head real quickly anymore -- but in that we do have
15 a good bit of contingency that is being held in case the
16 system impact study provides a need to do some
17 alterations to the project.

18 So we expect -- we expect to this point that --
19 and I'll be glad to share this number with you before I
20 leave -- that we will come in fairly close to what we're
21 projecting right now, unless the system impact study
22 provides us something significant.

23 MR. KUZNAR: Right. But we don't -- we don't
24 -- I mean, there's nothing that would suggest that that

1 would happen.

2 MR. LOWDER: Nothing now suggest that.

3 MR. KUZNAR: And some of it is also the fire --
4 the additional fire protection that we added which added
5 to some of that cost.

6 MR. LOWDER: The fire did add some dollars to
7 that. The extension of the project --

8 COMMISSIONER CLODFELTER: Those were changes
9 made after the original cost estimates were --

10 MR. LOWDER: That is correct.

11 COMMISSIONER CLODFELTER: Okay.

12 MR. LOWDER: That is correct. The extension of
13 the project, you know, our project team is paid, you
14 know, labor and those kinds of -- AFUDC in the
15 construction is carried out longer, so we have some
16 internal costs, labor and AFUDC funds used during
17 construction that we -- that would increase our cost.

18 But if we don't use that contingency, our
19 project will come in very close to our original estimate
20 that was submitted at the CPCN, according to the numbers
21 I have right now.

22 MS. DOWNEY: Okay. That's all I have.

23 COMMISSIONER CLODFELTER: Anything else up
24 here? We've got -- gentlemen, we've got one technical

1 question. I think I want to ask it to just be sure we
2 don't miss it, and I think I understand now from what
3 you've already told us. There is -- in the written
4 report there's a figure on page 13 that seems to indicate
5 that the projections are that the battery is going to be
6 discharging instead of charging at the time when the
7 solar output is going to be at its peak, solar output is
8 going to be greatest, but it appears to show that the
9 battery is in a state of discharging at that point. I
10 think I understand now from your earlier testimony why
11 that's happening, but is that what I'm seeing in that
12 chart? Is that actually what I'm seeing, and is there
13 any additional explanation?

14 MR. SOMERS: May I approach?

15 COMMISSIONER CLODFELTER: I'm sorry. You may
16 not have a -- yes, you may approach if you've got -- I'm
17 sorry. I lost you in the question without you having a
18 copy of it in front of you. It's on page 13. And I
19 don't know what I'm seeing there. I just want you to
20 explain to me what I'm looking at there because it looks
21 like you're at maximum solar output while -- but the
22 battery is discharging at that point, so what's going on
23 there?

24 MR. ABDELRAZEK: Okay. So the solar output in

1 this figure is not really shown unless you're looking at
2 something I'm not seeing. Are you --

3 COMMISSIONER CLODFELTER: I may be misreading
4 the chart, then. I'm looking at the energy storage
5 dispatch, but that's storage dispatch, right?

6 MR. ABDELRAZEK: Yes. That's the energy
7 storage system.

8 COMMISSIONER CLODFELTER: Okay. So this is not
9 actually showing me what's happening with the solar
10 array?

11 MR. ABDELRAZEK: This is -- yes, exactly.

12 COMMISSIONER CLODFELTER: Not at all.

13 MR. ABDELRAZEK: Exactly.

14 COMMISSIONER CLODFELTER: They don't -- that
15 cleans up any confusion. That's it. Thank you.

16 MR. ABDELRAZEK: Okay.

17 COMMISSIONER CLODFELTER: Just needed to be
18 sure we knew what was happening there.

19 MR. ABDELRAZEK: And just to elaborate on this
20 figure, that you have a combination of three parameters
21 here. The first one is system frequency.

22 COMMISSIONER CLODFELTER: Right.

23 MR. ABDELRAZEK: The second one is system ACE.
24 And third one is system CPS1 score.

1 COMMISSIONER CLODFELTER: CPS1 score.

2 MR. ABDELRAZEK: So what those basically help
3 our algorithm deduce is what is the most beneficial rate
4 of discharge or charge that our battery needs to do to
5 help out our bulk system. So in other words, if we have
6 a condition where our ACE is too low and we're --

7 COMMISSIONER CLODFELTER: You're showing how
8 you'll operate the battery relative to system parameters.

9 MR. ABDELRAZEK: Correct.

10 COMMISSIONER CLODFELTER: I understand it now.

11 MR. ABDELRAZEK: Okay.

12 COMMISSIONER CLODFELTER: Great. Mr. Somers,
13 do you have anything you want to ask your folks to follow
14 up on the questions that they've been presented by the
15 Commission?

16 MR. SOMERS: I don't have a specific question
17 other than to ask if there was anything else Mr. Kuznar
18 or others wanted to say in summary.

19 MR. KUZNAR: I don't have anything else.

20 MR. SOMERS: Just to note that we are -- we
21 appreciate the opportunity to come, and at any time would
22 be willing to come back with this group or additional
23 folks. We are very excited about this project. We
24 believe that the combination of solar and battery has

1 great promise and is the future for North Carolina, and
2 we are anxious to get this thing up out of the ground and
3 serving our customers in Hot Springs and the entire Duke
4 Energy Progress system.

5 COMMISSIONER CLODFELTER: Well, as I think you
6 know, we are also -- the Commission is very interested in
7 this project and this technology as well, which is why we
8 were sort of wanting to get a little more in-depth
9 briefing on exactly where things stand.

10 MR. KUZNAR: Thank you very much for your time.

11 COMMISSIONER CLODFELTER: We thank you all for
12 coming on that. And we will get you a clarification on
13 the issue about the timing of the report.

14 MR. SOMERS: And I would also ask, at the
15 appropriate time and forum, we would be happy to answer
16 the Commission's questions about the NFP 855, and if you
17 give us some further instruction on that.

18 COMMISSIONER CLODFELTER: Well, again, let's
19 just leave that there because this is a topic that first
20 surfaced in one of our storage presentations about two
21 weeks ago, and we as a Commission haven't really yet
22 crystalized any thinking about our own views, so we'll be
23 developing our views as you develop yours.

24 MR. SOMERS: Thank you very much.

1 COMMISSIONER CLODFELTER: Great. Thank you.

2 If the parties have nothing else further, then we will
3 recess for the afternoon. Thank you all for coming. We
4 appreciate it greatly.

5 (Proceedings adjourned.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

STATE OF NORTH CAROLINA

COUNTY OF WAKE

C E R T I F I C A T E

I, Linda S. Garrett, Notary Public/Court Reporter,
do hereby certify that the foregoing hearing before the
North Carolina Utilities Commission in Docket No. E-2,
Sub 1185, was taken and transcribed under my
supervision; and that the foregoing pages constitute a
true and accurate transcript of said Hearing.

I do further certify that I am not of counsel for,
or in the employment of either of the parties to this
action, nor am I interested in the results of this
action.

IN WITNESS WHEREOF, I have hereunto subscribed my
name this 15th day of March, 2020.



Linda S. Garrett, CCR
Notary Public No. 19971700150