

1 PLACE: Dobbs Building, Raleigh, North Carolina
 2 DATE: Thursday, October 12, 2023
 3 TIME: 10:02 a.m. - 11:44 p.m.
 4 DOCKET: E-100, Sub 190
 5 BEFORE: Commissioner Karen M. Kemerait, Presiding
 6 Commissioner ToNola D. Brown-Bland
 7 Commissioner Daniel G. Clodfelter
 8 Commissioner Kimberly W. Duffley
 9 Commissioner Jeffrey A. Hughes
 10 Commissioner Floyd B. McKissick, Jr.

11
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24

IN THE MATTER OF:
 Biennial Consolidated Carbon Plan
 and Integrated Resource Plans of Duke Energy
 Carolinas, LLC, and Duke Energy Progress, LLC,
 Pursuant to N.C.G.S. § 62-110.9 and § 62-110.1(c)

1 A P P E A R A N C E S:

2 DUKE ENERGY CAROLINAS, LLC, AND

3 DUKE ENERGY PROGRESS, LLC:

4 Jason Higginbotham, Esq.

5 Duke Energy Corporation

6 525 South Tryon Street, ECA3

7 Charlotte, North Carolina 28202

8

9 Brett Breitschwerdt, Esq.

10 McGuireWoods LLP

11 501 Fayetteville Street, Suite 500

12 Raleigh, North Carolina 27601

13

14 PRESENTERS:

15 Kendal Bowman, President

16 Nate Gagnon, Director, IRP Regulatory and Policy

17 Strategy

18 Mike Quinto, Director, IRP Advanced Analytics

19 Tim Duff, General Manager, Customer Solutions

20 Regulatory Enablement

21 Nelson Peeler, Senior Vice President, Transmission and

22 Fuels Strategy and Policy

23

24

P R O C E E D I N G S

1
2 COMMISSIONER KEMERAIT: Good morning,
3 everyone. It looks like we have an almost full room
4 for this technical conference. I know that there's a
5 lot of interest in the -- the next Carbon Plan
6 proceeding. So let's go on the record. My name is
7 Karen Kemerait, and I'm a Commissioner with the North
8 Carolina Utilities Commission. With me this morning
9 are Commissioners ToNola D. Brown-Bland, Daniel G.
10 Clodfelter, Kimberly W. Duffley, Floyd B. McKissick
11 Jr., and Jeffrey A. Hughes.

12 In compliance with the requirements of the
13 State Government Ethics Act, I remind all members of
14 the Commission of their responsibility to avoid
15 conflicts of interest, and I inquire whether any
16 member of the Commission has a conflict of interest at
17 this time as to whether any members of the Commission
18 has a known conflict with respect to the matter coming
19 before us?

20 (No response.)

21 COMMISSIONER KEMERAIT: Let the record
22 reflect that I have no such conflict and that my
23 fellow Commissioners have identified no conflict
24 either.

1 This technical conference is being held in
2 Docket E-100, Sub 190, which is titled, "In The Matter
3 of Biennial Consolidated Carbon Plan and Integrated
4 Resource Plans of Duke Energy Carolinas, LLC, and Duke
5 Energy Progress, LLC" -- and I will refer to Duke
6 Energy Carolinas, LLC, and Duke Energy Progress, LLC,
7 collectively as Duke or Duke Energy going forward --
8 and it is also entitled, "Pursuant to North Carolina
9 General Statute § 62-110.9 and North Carolina General
10 Statute § 62-110.1(c)."

11 On December 30, 2022, in Docket Number E-100
12 Sub 179, the Commission issued an Order Adopting
13 Initial Carbon Plan and Providing Direction for Future
14 Planning, and I will refer to this going forward as
15 the Initial Carbon Plan. The Initial Carbon Plan
16 adopted initial steps for Duke Energy to take in
17 furtherance of achieving the prescribed reductions.

18 The Carbon Plan statute directed the
19 Commission to review the Carbon Plan every two years
20 after the adoption of the initial Carbon Plan. The
21 Initial Carbon Plan provided for the consolidation of
22 the Carbon Plan and the Integrated Resource Plan --
23 that I will refer to as the IRP going forward --
24 processes, and the consolidated Carbon Plan and IRP

1 processes are referred to as the CPIRP. And it also
2 required Duke Energy to file its first proposed
3 biennial CPIRP by no later than September 1, 2023.

4 On March 15, 2023, the Commission issued an
5 Order Establishing Biennial Proceeding and Opening
6 several Dockets, including this Docket in Docket
7 Number E-100, Sub 190, for the 2023 CPIRP proceeding,
8 which I will refer to going forward as the primary
9 docket.

10 On August 17, 2023, Duke Energy filed its
11 Verified Petition for Approval of 2023, 2024 Carbon
12 Plan in Integrated Resource Plans of Duke Energy
13 Carolinas, LLC, and Duke Energy Progress, LLC, -- and
14 I will refer to that going forward as the CPIRP or the
15 Plan.

16 On September 1, 2023, Duke Energy prefiled
17 its direct testimony and exhibits supporting the
18 proposed CPIRP as filed with the Commission on August
19 17, 2023.

20 The purpose of this technical conference is
21 for Duke Energy to provide information through an oral
22 presentation of its proposed CPIRP. The Commission
23 will have the opportunity to ask questions of Duke.
24 Parties to this proceeding and interested members of

1 the public may attend today's technical conference.
2 However, to be clear, participation in this conference
3 is limited to representatives of Duke and members of
4 the Commission. The technical conference this morning
5 is being transcribed, and the transcript will be filed
6 in the docket as soon as it is available.

7 And before we begin, I would ask for Duke
8 Energy to identify themselves for purposes of the
9 record.

10 MR. HIGGINBOTHAM: Good morning, presiding
11 Commissioner Kemerait, and good morning to the rest of
12 the Commission. My name is Jason Higginbotham,
13 appearing on behalf of Duke Energy Carolinas and Duke
14 Energy Progress, joined by Brett Breitschwerdt, is
15 also appearing on behalf of the Companies. And with
16 us today, Ms. Kendal Bowman, who will be providing
17 some opening remarks, as well as a panel of subject
18 matter experts who will be providing information and
19 responding to questions on the CPIRP.

20 At this time, I'd ask if it's okay with the
21 Commission that the panelists please introduce
22 themselves.

23 COMMISSIONER KEMERAIT: Yes, please.

24 MS. BOWMAN: Good morning, Commissioners.

1 Kendal Bowman, Duke Energy State President.

2 COMMISSIONER KEMERAIT: Good morning.

3 MR. GAGNON: Good morning, Commissioners.

4 Nate Gagnon, Director of IRP Regulatory and Policy
5 Strategy for the Carolinas.

6 COMMISSIONER KEMERAIT: Good Morning.

7 MR. QUINTO: Mike Quinto, Director of IRP
8 Advanced Analytics.

9 MR. DUFF: Tim Duff, General Manager,
10 Customer Solutions Regulatory Enablement.

11 MR. PEELER: Good morning. Nelson Peeler,
12 Senior VP of Transmission and Fuel Strategy and
13 Planning.

14 COMMISSIONER KEMERAIT: Good morning. And
15 before we begin, are there any matters that need to be
16 addressed?

17 MR. HIGGINBOTHAM: No, there are not.

18 COMMISSIONER KEMERAIT: Thank you. So at
19 this time, I'll turn it over to Duke to provide your
20 technical -- your presentation.

21 MS. BOWMAN: I think we have some slides to
22 put up. So while we're getting up the slides, I do
23 just want to say, on behalf of Duke Energy and my
24 colleagues with me today, I want to thank the

1 Commission for letting us come and present to you our
2 overview of the 2023 Carbon Plan Integrated Resource
3 Plan, also known as the CPIRP. You'll hear us talking
4 about those interchangeably. Sometimes I'll refer to
5 it as just the Plan.

6 So we definitely recognize the critical
7 importance of pursuing the emissions reductions
8 targets set by the General Assembly here in North
9 Carolina in House Bill 951. We're trying to do that
10 with the guardrails set by the General Assembly, as
11 well. Those guardrails of least cost planning and
12 reliability.

13 The entire Duke Energy team is focused on
14 achieving this transition in a manner that's
15 consistent with that State Energy Policy. We have had
16 over, I think, 90 employees. And you can see we have
17 a lot of them in the room with us working around the
18 clock to identify ways that we can meet this
19 transition in the most beneficial and cost-effective
20 manner for our customers. We are continuing to see a
21 steady stream of economic development in this state.
22 For the second year in a row, North Carolina has been
23 ranked number one place to do business. This tells me
24 that we're doing something right in North Carolina. I

1 think our path to the Clean Energy transition and the
2 fact that we've been able to keep our energy rates
3 affordable has aided in this economic development.
4 And we really want to continue that as we march on our
5 way to this Clean Energy transition. I know,
6 Commissioners, you will be hearing from others in this
7 proceeding, and you've probably already heard from
8 some in the media that suggests that Duke Energy is
9 not moving fast enough on this -- this clean energy
10 transition -- and we look forward to working and
11 engaging with all parties to this proceeding, but I
12 want to make clear that we at Duke Energy are working
13 as hard as we can. We are transitioning at an
14 unprecedented level, and I am proud of the progress
15 that we have already made since the 2022 Carbon Plan
16 that we've filed. We've made tremendous progress on
17 solar RFPs and integration. We're working on battery
18 storage. We're coming up with innovative EE DSM
19 programs. We are deploying work on the Red Zone
20 transmission projects. We have started development
21 work on new natural gas facilities that will be
22 hydrogen-capable. We are developing outreach plans in
23 our communities for impacted communities where we're
24 retiring those and environmental justice impacts. So

1 we are really rolling up our sleeves to put us on the
2 path as fast as we can that maintains those guardrails
3 of least cost and reliability.

4 So if we can switch to the next slide. And
5 I think we've already done most of the introductions
6 of all of the presenters. So you will hear, with this
7 team here with me today, but we also have out in the
8 audience -- if there are questions that come up -- we
9 have Sammy Roberts, who's General Manager of
10 Transmission Planning, Phil Stillman, Managing
11 Director of Load Forecast, and Ben Smith, Generation
12 and Regulatory Strategy Director -- just in the event
13 we have a question that we need one of them to answer.

14 So if we could go to the next slide on the
15 agenda. And I'll hit this at a very high level.
16 We're going to be providing an overview today of the
17 key components of the CPIRP. You know, the first one
18 is really the changing landscape that we're in, and I
19 would say, boy, what a difference a year makes. Since
20 we filed the 2022 Resource Plan, we have seen
21 increasing load, dramatically increasing load, and
22 you'll hear more about that, increasing economic
23 development, electrification to the system, we're also
24 seeing increasing pricing, supply chain issues, we've

1 also had some federal and regulatory policies out
2 there, EPA 111. We're taking those into consideration
3 in this new plan. IRA, IIJA, we're taking all of that
4 into account into this resource plan. The one thing I
5 know for certain is that, we are in an evolving
6 landscape. It doesn't stay the same, and we look
7 forward to continuing to check and adjust our resource
8 plans as we come in front of you.

9 We're also going to be talking about the
10 modeling and the modeling that we've done in this plan
11 that supports those least-cost paths to getting to our
12 carbon reduction goals. We're also going to hit on,
13 as we did in the 2022 Plan, some near-term actions,
14 that we really need your guidance on pursuing, and we
15 have to start work on those now in order to reach our
16 climate goals going forward.

17 And, finally, we're going to talk about some
18 of the key updates to our "Shrinking the Challenge"
19 that we've talked about in the 2022 Plan. Things that
20 we can actually just reduce -- reduce that load by
21 energy efficiency, demand side, grid edge things.
22 We're also continuing to look and are planning to do a
23 combined merger of Duke Energy Carolinas and Duke
24 Energy Progress. And so you will hear more about that

1 as well.

2 If we could go to the next slide, please.
3 This is just the overview of the CPIRP. It should
4 look very familiar to many of you. It's the same
5 structure and format that we used with the 2022 Carbon
6 Plan filing, but we do have a few differences. And
7 I'm not going to read through all of this. I'm just
8 going to point out a couple of the differences that
9 you will see with this -- this Plan. The biggest
10 difference I'm going to point out is that with this
11 CPIRP, unlike the 2022 Carbon Plan, Duke Energy's
12 actually recommending a preferred portfolio. And we
13 did that for multiple reasons. We operate a
14 dual-state system. We serve both North and South
15 Carolina. And the South Carolina laws require us,
16 when we file a resource plan, to pick a preferred
17 plan. And so we filed both this IRP here in North
18 Carolina, but we filed it in South Carolina as well.
19 And so we have picked that Portfolio 3. We believe it
20 best balances the least cost path with reliability for
21 our customers, and you will hear more about why we
22 believe that.

23 In this CPIRP, we've also had a dedicated
24 chapter to North Carolina and a dedicated chapter to

1 South Carolina. Really talking to -- every state has
2 different enabling statutory constructs, and rules,
3 and requirements, and so we've taken a chapter to
4 focus on each of those. I wanted to make sure I
5 highlighted some of those differences.

6 The next 10 to 15 years, for us in North
7 Carolina, represents a significant phase of our energy
8 transition. We will be retiring eight 8.4 gigawatts
9 of generation and replacing it. So no matter which of
10 those three pathways or portfolios you look at, we're
11 going to get out of coal by 2035. And to do that, we
12 have to retire a significant amount of generation and
13 replace it with a significant amount of generation.
14 So this is going to be a challenge to us all, and it's
15 critically important that we make progress on these
16 near-term actions so that we can get there together in
17 the quickest way possible.

18 And with that, I'm going to turn it over now
19 to Mr. Gagnon to start us on the details of the CPIRP.

20 MR. GAGNON: Thank you. And thank you,
21 Commissioners for the opportunity to be here this
22 morning.

23 So again, my name is Nate Gagnon, and I'm
24 Director of IRP Regulatory and Policy Strategy for the

1 Carolinas. And I manage the process of putting
2 together this CPIRP filing this year. And I just want
3 to reiterate what Ms. Bowman said about just the
4 number of people and amount of work that went into
5 this -- into this plan. We've developed a very strong
6 plan that is the product of very robust and thorough
7 analysis. And Mr. Quinto is going to get into a
8 little of the details around our process and our
9 analytical results in a minute, but before we get
10 there, I want to talk a little bit more about this --
11 this changing energy landscape in which we are
12 operating and doing our planning.

13 So first, on the right-hand side of this
14 slide, you can see the planning objectives that shaped
15 the development of our Plan, and we talk about these
16 pretty extensively in Chapter 2 of the filing. And I
17 want to distinguish between the primary requirements
18 that you see in the middle of that figure. And then
19 the balancing objectives that are around the
20 perimeter. The primary requirements are, of course,
21 we have to comply with all applicable laws and
22 regulations, and, of course, HB 951 is a significant
23 one of those. And then, of course, we have to
24 maintain or improve reliability for our customers. So

1 those two are nonnegotiable. The Plan has to meet
2 those thresholds. And then given that, around the
3 perimeter of the figure, you'll see the objectives
4 that we then have to find the appropriate balance for,
5 right? So we have the increasingly clean resource
6 mix, and that speaks to the pace at which we pursue
7 this energy transition. And then, in the bottom
8 right, that has to be consistent with least-cost
9 planning principles in maintaining affordability for
10 our customers. And then, at the top left there, you
11 see resource diversity. And that's risk
12 diversification, but it's also making sure that we
13 have an appropriate resource mix that can serve our
14 customers' needs every hour of the day, every hour of
15 the year. Then, in the bottom left, you see
16 executability and other foreseeable conditions. And
17 that's about making sure that we have a plan that we
18 can actually execute on. That it anticipates risks.
19 That it deals with uncertainty appropriately and that
20 we're setting ourselves up for success.

21 So we have to balance all of those
22 objectives, develop this Plan in the context of a
23 landscape that is changing around us, and changing
24 pretty rapidly. And we talk about that and the

1 changes and get into those details in Chapter 1 of the
2 Plan. That's devoted to this. But you can see from
3 the list on the slide and on the page that these
4 changes affect every aspect of the business. They
5 affect every aspect of resource planning. And they're
6 pretty dramatic. And so I'll step through some of
7 them.

8 The first one's on the list there; you see
9 load growth -- and Ms. Bowman mentioned that, and I'll
10 talk about that a little bit more in a couple slides
11 -- but we are seeing rapid economic development in the
12 Carolinas, and that brings rapid load growth that we
13 have to incorporate in our plans related to that in
14 maintaining or improving reliability. You'll see that
15 our reserve margin has increased -- the target reserve
16 margin has increased in this plan. And again, I have
17 a couple slides we'll talk about that as well. But
18 then, again, just to reiterate some of what Ms. Bowman
19 said, there's a lot of flux -- that the policy and
20 regulatory environment is in flux. You'll remember
21 last year, before the '22 Carbon Plan hearings, the
22 IRA had just been passed. And so we were figuring
23 that out. And those credits have been reflected in
24 this year's analytics. This year, we had the EPA

1 propose a new rule under Section 111 of the Clean Air
2 Act. And those are just two of many changes that are
3 going on at all levels. And then those are, to a
4 certain extent, related to the financial environment
5 that we find ourselves in. There's been significant
6 inflation as you know over the last several year's.
7 The costs of our resources are up in this year's
8 analysis. And to a certain extent, the tax credits in
9 the IRA and the incentives in the IIJ help offset some
10 of those cost increases, but at the same time, those
11 incentives also drive demand in an environment where
12 supply chains are already constrained, right. So
13 there's a lot of complexity there. Of course, we
14 remain committed to our exit from coal. It's just
15 important to remember there that, we have to have
16 equally reliable replacement generation in place
17 before we bring any of those coal units offline,
18 right. So we can maintain or improve reliability for
19 our customers. And then, of course, the ultimate
20 success of the energy transition will depend on
21 technological advancement across many avenues in order
22 to achieve our carbon neutrality goals. So just
23 broadly speaking, very rapid, very significant change
24 that affects all aspects of the business and planning.

1 And we'll keep coming back to that. You'll see in the
2 filing. You'll see throughout this presentation as we
3 go forward.

4 So we'll go to the next slide and talk in
5 particular about the load forecast. And so, again,
6 this is a positive story for the Carolinas', right?
7 Rapid economic development in North Carolina. People
8 and businesses want to relocate to the state, and that
9 just brings with it a greater demand. And we have to
10 incorporate that in our forecast. And that has really
11 accelerated over the last 12-18 months, and you see
12 that reflected here.

13 So just to orient you to the -- to the slide
14 on the left-hand side, there's a figure that shows our
15 forecasted annual energy consumption. On the
16 right-hand side, the figure shows our forecasted
17 winter peak. The dotted line at the bottom is the
18 load forecast that was included in the '22 Carbon Plan
19 analysis. The solid line at the top is the load
20 forecast that's in this year's CIPRP analysis. And
21 the gray area in between is just the change between
22 the two.

23 We filed the original Carbon Plan in May of
24 last year, and so the load forecast that supports that

1 analysis was developed in the fall. So that's -- the
2 change that you're seeing is from the fall '21 load
3 forecast to the spring '23 load forecast. And over a
4 period of just 18 months, you've seen our expectations
5 increase dramatically, and that's driven by the rapid
6 economic development in the state. And just to put in
7 a little bit of context, on the right, just looking at
8 2030, you see that the expectation for peak demand has
9 increased by 2.4 gigawatts from last load forecast to
10 this load forecast. 2.4 gigawatts, when you put a
11 reserve margin on top of that, now you're talking
12 about capacity that's roughly equal to two combined
13 cycle units to serve that peak load. And that's just
14 the incremental peak load for 2030, right? So
15 everything that we've talked about in the '22 Carbon
16 Plan proceeding, and then another 2.4 gigawatts on top
17 of that in this year's load forecast.

18 Similarly, on the left with the energy
19 demand, the increase, again, just looking at 2030,
20 we're talking about 13 terawatt hours of energy that
21 we expect to have to serve in that year on top of what
22 was in the -- the load forecast for the '22 Carbon
23 Plan.

24 Thirteen terawatt hours -- you're talking

1 about the energy that's produced by, call it, one and
2 a half units at the McGuire Nuclear Station over the
3 course of a year. So if you want to meet that
4 additional load without emitting any more carbon, it
5 means that you have to have, call it, 16, 1,700
6 megawatts of carbon-free generation that can operate
7 around the clock at a better than 90 percent capacity
8 factor.

9 So hopefully that puts the significance of
10 the change in context. And we go to the next slide
11 and talk a little bit about what's driving that
12 change.

13 So again, this is a positive story for the
14 Carolinas. This is -- this is economic development
15 success for the region. You can see on that pie
16 chart, there are two big sections of data that are
17 contributing to just the increase in the load
18 forecast. The green section is economic development
19 projects. That's large projects moving to the
20 Carolinas. Think about manufacturing, onshoring,
21 things like that. And then the light blue section,
22 that 32 percent, that's electric vehicle load. So
23 charging for electric vehicles. By the middle of the
24 2030's, you start to see that being a significant

1 contributor to our -- to our demand. And if you think
2 about the electric vehicles, that affects us in the
3 Carolinas in two different ways: One, when they're
4 being manufactured, right? Vehicle manufacturers are
5 increasing their operations in the Carolinas. Battery
6 manufacturing is happening in the Carolinas. So the
7 load forecast increases on the manufacturing side.
8 And then when those vehicles hit the road, you see the
9 load forecast increase from charging, right? So that
10 compounds the effect, but again, technological
11 development, advancement in the Carolinas, economic
12 growth in the Carolinas -- this is a good problem to
13 have, if that's even the right word. It just makes
14 our job a lot bigger when we talk about the energy
15 transition and what we have to accomplish.

16 So then, moving to the next slide --

17 COMMISSIONER KEMERAIT: Let me ask you a
18 clarifying question.

19 MR. GAGNON: Yeah. Please.

20 COMMISSIONER KEMERAIT: You talked about
21 manufacturing of electric vehicles and also charging.
22 Is the manufacturing of electric vehicles; is that
23 included in the green -- the large economic
24 development --

1 MR. GAGNON: Yes.

2 COMMISSIONER KEMERAIT: -- projects. And so
3 it is separated in the chart?

4 MR. GAGNON: That's right. I'm sorry. I
5 should have been clear on that. So the manufacturing,
6 that would in the economic development projects. And
7 then once they're actually on the road, that's in the
8 blue that you're seeing there.

9 So if we go to the next slide, we'll change
10 gears a little bit to talk about reliability and
11 reserve margin, and that's linked to those winter
12 peaks that we were talking about just a couple slides
13 ago. So as you know, we -- Commission does Astrapé
14 consulting to perform an updated resource adequacy
15 study to support this year's CPIRP analysis, and the
16 results of that study showed that, if we want to
17 maintain the same level of reliability, then it's
18 prudent for us to increase the reserve margin that we
19 target from the 17 percent that came out of the 2020
20 study and that was used in the -- in the initial
21 Carbon Plan filing to 22 percent in this year's CPIRP
22 analysis. And that's accounting for things like
23 extreme weather loads, particularly on those cold
24 winter mornings. The fact that we can rely on our

1 neighbors a little bit less than maybe we've been able
2 to in the past. Long-term load forecast error, and
3 there I'm talking about economic load forecast error.
4 So think about load forecasting connected to GDP
5 growth over many years. So that's what that's
6 referring to there. And then, of course, there's the
7 updated unit performance and availability. And part
8 of that is just the fact that our coal fleet is
9 getting older and it's nearing retirement. And then,
10 on top of that, we're asking it to operate in a much
11 more agile, dynamic fashion than we have before, that
12 it was designed to do. And that's going to affect the
13 availability. And then part of the reason for that is
14 that we are transitioning to a greater mix of variable
15 energy resources. Think about solar, and then in the
16 future, more wind. And that just requires a more
17 flexible fleet. It makes your generation a little bit
18 more uncertain. And so the whole fleet has to operate
19 more flexibly, and that's also driving the necessity
20 for us to carry a little bit higher reserves. And
21 that may continue into the future.

22 COMMISSIONER KEMERAIT: I have a clarifying
23 question. I think you said that the reserve margin
24 would be -- would be increased from 17 percent to 22

1 percent based upon the Astrapé study, and I think you
2 said the 22 percent was in order to maintain the
3 reliability. Would the 22 percent reserve margin
4 actually improve reliability due to Winter Storm
5 Elliott? Would it -- would the 22 percent reserve
6 margin improve reliability from the previous 17
7 percent reserve margin?

8 MR. GAGNON: So I guess a couple parts to
9 the answer to that question. First, the study does
10 include, I think, it's 43 years of weather history up
11 until the end of last year, so Winter Storm Elliot is
12 part of the data set that goes into the analysis for
13 this year's resource adequacy study. And when we do
14 that study, or when Astrapé does that study, we target
15 a loss of load expectation of one event day in 10
16 years. And what this study showed is that, with the
17 changing energy mix, with some of the factors on the
18 page here, and with the fact that we're moving to more
19 variable energy resources, in order to be able to
20 maintain that loss of load expectation of one event
21 day in 10 years, we need to carry more reserves to
22 maintain that level of reliability.

23 COMMISSIONER KEMERAIT: Thank you.

24 MR. GAGNON: Okay. I think we can go to the

1 next slide and just explain a little bit more about
2 the neighbor assistance piece. We're not pursuing
3 this energy transition in a vacuum. All of our
4 neighbors are moving in the same direction. And that
5 just means that our systems, as we retire coal, add
6 more renewables, are starting to look -- all of our
7 systems across the southeast are starting to look more
8 similar. Means our risks are more correlated. The
9 reliability risk is concentrated on those cold winter
10 mornings, and that just makes it more likely that when
11 our system is strained and we need resources, our
12 neighbors are going to be in the same position. And
13 that just makes less likely that they'll be able to
14 provide the assistance at the same levels that maybe
15 they have in the past. And so it's prudent on us to
16 carry more reserves, and that's reflected in the
17 higher reserve margin.

18 So just to -- to wrap it up, changes across
19 every aspect of the business, policy, technology,
20 load, and then, as it pertains to our ability to --
21 and the pace at which we can execute the energy
22 transition and reduce carbon emissions, that load
23 growth is -- is a really big one. And that rapid
24 economic development is translating to rapid load

1 growth that we're seeing, and you'll see that
2 reflected in the resource additions. The pay, scope,
3 and scale of what we're trying to do and what Mr.
4 Quinto will talk about on the next several slides.

5 MR. QUINTO: Good morning, Commission. It's
6 good to be in front of you again. Again, my name is
7 Mike Quinto. I am the Director of IRP Advanced
8 Analytics. My team is responsible for developing the
9 modeling framework and overseeing the overall modeling
10 process and analytical framework that's presented here
11 in the development of the CPIRP.

12 Today I'm going to overview with you the --
13 how those changing energy landscape assumptions have
14 been worked into the IRP modeling. The analytical
15 process we'll overview very similar to the '22 plan.
16 I'll talk at about modeling framework that the
17 Company's used to develop 33 different portfolios to
18 present this robust analysis, and we'll touch on
19 results, particularly related to the core portfolios,
20 which we'll talk about in a little bit. Really
21 showing the magnitude and impact to customers over
22 time.

23 So moving to the next slide here. This is
24 really an illustrative example of what IRP is planning

1 for. So looking at the resources on the system today
2 and the load growth that's presented in front of us.
3 So making sure that we have those adequate resources
4 to meet that load. As Mr. Gagnon discussed, the load
5 forecast is a significant impact. Looking to add an
6 incremental 7 gigawatts worth of planning capacity
7 that we need to plan for going out into the future.
8 Over that same timeframe, we're looking at retiring
9 and replacing 4.8 gigawatts worth of coal capacity on
10 the system. And the pace in the transition over time
11 for which we do that is really looking at: what is
12 that right, orderly transition to maintain reliability
13 and affordability for customers over time on an
14 executable path to achieving these emissions
15 reductions targets? You can go to the next slide.

16 So this is an overview of the analytical
17 process. It probably looks fairly familiar to what
18 you have seen in the '22 Carbon Plan.

19 Starting just from the left and working to
20 the right over the process flow chart here, we have
21 the development of the assumptions and modeling
22 software that we use. We use the same encompass model
23 that we use to develop the '22 Carbon Plan, with some
24 updates and revisions to that model.

1 As we work through the updating of modeling
2 assumptions, those include the net load forecast, the
3 update to the reliability requirements, including the
4 planning reserve margin, planning up to that 22
5 percent, and growing into that.

6 We also have updated demand-side measures,
7 including energy efficiency, which Mr. Duff will
8 discuss in more detail later on in the presentation.
9 From the supply side, we're also updating the resource
10 availability and cost information related to those
11 technologies. And the current inflationary impacts
12 that we're seeing on those. And then, from a tax
13 incentive perspective, continuing to factor in the
14 changes to the IRA and how that incentivizes
15 carbon-free energy resources added to the system.

16 As we move over to the next block -- I'm
17 sorry -- portfolio development stage, we did conduct
18 an updated coal retirement analysis, which is used as
19 the basis for developing our portfolios. So each of
20 the portfolios looks at the -- goes through the
21 capacity expansion model, which identifies the
22 resources needed to meet the energy capacity and
23 emissions reductions targets. That's intended for
24 each of the portfolios. Those portfolios then go to

1 the detailed production cost modeling and verification
2 steps. Where you look at detailed hourly production
3 cost models that access unit performance, system
4 requirements, reliability checks, including for the
5 core portfolios, additional reliability verifications,
6 and our resource adequacy model to ensure that those
7 portfolios that we are developing continue to maintain
8 that standard of reliability as outlined by House Bill
9 951.

10 Finally, we move to the performance analysis
11 step, and I'll touch on these in the last two of my
12 slides. Both the additional sensitivities and other
13 metrics used to look across the portfolios on risks of
14 transition, the cost of the portfolios in terms of
15 PVRR and bill impacts, and then their ability to meet
16 the emissions reduction targets along the timelines
17 that is intended for each of the portfolios.

18 Next slide.

19 So this slide shows the Companies overall
20 modeling framework. So how we developed portfolios in
21 the Plan. Starting on the left, we have three energy
22 transition Pathways. Pathways can be thought of as
23 overarching planning factors that are used to develop
24 these portfolios and largely in line with the time to

1 meet the interim 70 percent emissions reductions
2 target outlined by House Bill 951, and the resources
3 needed to achieve those.

4 So Pathway 1 is set up to achieve the
5 70 percent CO2 emissions reduction targets by 2030.
6 Pathway 2 targets the interim target by 2033, with the
7 introduction of offshore wind into the portfolio in
8 that timeframe. And then, Pathway 3 targets 70
9 percent by 2035 with the availability of new nuclear
10 resources. Along all the Pathways, all continue to
11 target net-zero carbon emissions by 2050. So there're
12 consistency in that on a long-term basis and variation
13 based on when the interim target is achieved. We have
14 -- moving to the center block here -- we have two
15 different sets of portfolios under each energy
16 transition Pathway. We have core portfolios and
17 portfolio variants. Our core portfolios are based
18 planning assumptions. Under each of those energy
19 transition pathways where the portfolio variants look
20 at opportunities and risks associated with resource
21 availabilities. So different levels of solar or wind,
22 natural gas on the system, and then also related to
23 natural gas supply and how that impacts the selection
24 of resources to achieve these emissions reduction

1 targets.

2 Finally, or additionally, in the green block
3 here we see sensitivity analysis portfolio. So this
4 is further evaluating the impacts of key drivers to
5 resource selection, including technology costs,
6 resource costs, and fuel prices, demand-side measures
7 such as EE and DSM, and then continuing to evaluate
8 risks and opportunities associated with load growth in
9 the state and continuing to meet those resource
10 requirements to meet the needs of the system.

11 Finally, we did also develop supplemental
12 portfolios. So these are not intended for planning
13 purposes but to provide additional insights to the
14 Commission. Ms. Bowman mentioned EPA 111; that's an
15 example of one of the rules -- or one of the
16 supplemental portfolios that the Companies did
17 develop, looking at how the Companies would meet
18 portfolios that are compliant with the proposed rules
19 as such, and because those rules are still being
20 developed and finalized, they are in that supplemental
21 category, but for presented for informational purposes
22 at this time. So overall, the Companies are
23 presenting a robust modeling framework, presenting 13
24 -- excuse me -- 33 portfolios that capture risk over

1 resource availability and impacts -- that may impact
2 the resource selection and provides paths to check and
3 adjust over time as we continue to gather more
4 information on this changing energy landscape.

5 So what we have presented here is the
6 results of the Companies' coal retirement analysis.
7 The Companies did conduct an updated coal retirement
8 analysis consistent with the updated planning
9 assumptions I discussed previously, including the new
10 load forecast reserve margin resource costs and
11 timing. Importantly, the Companies continue to follow
12 the retire -- or replace before retire approach to
13 maintain reliability on the system. That is enabled
14 through those replacement generation coming online.
15 Really underscoring our ability to maintain
16 reliability and meet that load growth in the near
17 term.

18 So overall, Pathway 3 really does strike a
19 balance between maintaining that reliability and
20 meeting load growth in the near term while allowing
21 for that orderly transition of the fleet to mitigate
22 customer -- and to mitigate risk to customers on long
23 term by eliminating coal generation from the
24 portfolio.

1 So once we have the coal retirement analysis
2 conducted and those dates used, we develop portfolios
3 through the analytical process that we discussed.
4 What we're showing here is three snapshots in time:
5 2030, 2033, and 2035, for the core portfolios under
6 each pathway. So these are base-planning assumptions
7 under each of the three energy transition pathways.
8 With P1 Base targeting that emissions -- interim
9 emissions reduction target of 70 percent by 2030. P2
10 Base achieving that interim emissions reduction target
11 by 2033. And P3 Base by 2035.

12 The snapshots in time also help Duke provide
13 a comparison of the pace of the transition and the
14 resources needed based on the energy transition pace
15 that each of the portfolios are targeting. So first,
16 looking at the 2030 snapshot and really focusing first
17 on P1 Base, the portfolio targeting the 70 percent
18 emissions reductions by this 2030 timeframe. We see
19 6.6 gigawatts of solar, 5.1 gigawatts of battery,
20 support of about 4 gigawatts -- a little over 4
21 gigawatts of combined cycle and natural gas capacity
22 -- hydrogen-capable natural gas capacity to support
23 retirements. And then accelerated deployment of
24 onshore and offshore wind. So to put some of these in

1 perspective, that 6.6 gigawatts of solar that's more
2 than the combined DEC and DEP have on the system
3 today. And that is also on top of 3 gigawatts of
4 solar that's already under development. So a
5 significant transition pace that is really --
6 continues to be challenging. 5.1 gigawatts is roughly
7 equivalent to the amount of battery capacity the
8 United States had on the system throughout the entire
9 U.S. just two years ago. So the amount of deployment
10 just in the Carolinas is -- is significant.

11 And then 300 megawatts of onshore wind and
12 1.6 gigawatts of offshore wind do represent
13 accelerations from the Companies' base planning
14 assumptions to achieve this 70 percent emissions
15 reduction by 2030.

16 The 7.1 gigawatts of coal retirements that
17 you see there associated with P1 base are really
18 enabled by this unprecedented amount of resource
19 additions that would be required under a P1 -- Pathway
20 1 portfolio.

21 Moving then to the 2033 snapshot and
22 focusing on P2 Base here. We do continue to see
23 strong additions of solar and battery over time.
24 Continued support of hydrogen-capable natural gas to

1 continue to retire that coal capacity and help with
2 emissions reductions from those hydrogen-capable
3 natural gas combine cycles. Looking out to the last
4 row there, in terms of offshore wind, the allowable
5 extension past 2030 is set up here in Pathway 2 based
6 on the availability of 1.6 gigawatts of offshore wind
7 to allow the Companies to reach that 70 percent
8 emission reductions target with those resources.

9 So again, continuing to present an
10 aggressive deployment of solar and battery, along with
11 the natural gas and wind capacity needed to reach that
12 target by 2030.

13 Finally, in 2035 -- and now focusing on
14 portfolio P3 Base, again, still significant amounts of
15 solar addition relative to 2030 and 2033. And we look
16 over to the extension based on the availability of new
17 nuclear. So this portfolio targets 2035 based on the
18 availability of new nuclear resources to the
19 portfolio. And not only is new nuclear added to
20 achieve the 70 percent emissions reductions in P3
21 base, but it's actually added in all the portfolios as
22 soon as it's available there in 2035, underscoring
23 really the critical importance of nuclear in achieving
24 the emissions reductions. We also see pump storage

1 coming into the portfolio in this timeframe. This is
2 incremental storage capacity that represents a
3 diversified long duration storage option to help
4 balance the renewables coming onto the system, as we
5 see. So this really underscores the pace of
6 transition.

7 The last point I'll touch on here on the P3
8 Base is, as you can see for portfolios P1 Base and P2
9 Base, those have significant amount of offshore wind
10 by 2035. We have a grayed-out box there on the bottom
11 right-hand corner. This is 0 to 1.6 gigawatts of
12 offshore wind. While offshore wind was not selected
13 in our base portfolio base planning assumptions for
14 pathway 3, it was select in a variety of our portfolio
15 variants and sensitivity analysis portfolios really
16 representing the ability for offshore wind to deliver
17 value in reducing carbon emissions. So Mr. Gagnon
18 will speak a little bit more of how we're proposing
19 dealing with offshore wind and its ability as a
20 long-term option for the Carolinas.

21 So with that, the pace in transition here
22 really looking at the differentiation of incremental
23 resources. As we look at this slide, we see the
24 capacity mix of -- the last slide was incremental

1 resources; this is looking at the entire portfolio of
2 resources at different snapshots in time.

3 Looking first at 2024, we have about 40
4 gigawatts of planning capacity on the says -- excuse
5 me -- nameplate capacity on the system. By 2033, we
6 see significant increases in capacity both from
7 storage and solar, along with growth in hydr- --
8 additions of hydrogen-capable natural gas resources to
9 reduce and replace the retiring coal capacity.

10 As we look towards 2038, the amount of
11 resources across the three different portfolios begins
12 to converge, with the main differentiator across the
13 portfolios being the amount of offshore wind that's in
14 the portfolio by 2038. And as we look forward to
15 2050, the biggest increase that you'll see here is the
16 growth of nuclear resources on the system, and really
17 looking at nuclear's ability to provide carbon-free
18 capacity to the system. And it's critically important
19 for carbon neutrality in 2050. So while each of these
20 energy transition pathways present different timelines
21 for achieving that interim reduction target, as we
22 look out to 2038 and through 2050, the resources
23 really do begin to converge with the achieving of
24 carbon neutrality in that timeframe.

1 Next slide, please.

2 So while looking at capacity on the last
3 slide, this is the energy mix of the system over time
4 and how energy actually gets served. So starting with
5 2024, the Companies project about 50 percent of our
6 energy coming from the existing nuclear on our system.
7 We continue to see that as foundational to our energy
8 transition, maintaining those units, pursuing separate
9 license renewal, and having those resources as a
10 foundation for continued reduce -- reducing emissions
11 on the system. About 35 percent of our energy in '24
12 projected from natural gas. About 8 percent from
13 solar, 5 percent from coal, and about 2 percent from
14 other renewables, including hydro.

15 As we look towards '33 -- 2033, the
16 incremental renewables that we're adding to the system
17 are helping to meet load growth and reduce the amount
18 of generation that we need from natural gas on a
19 long-term basis. So continuing to fill in and
20 represent an emissions reduction tool that we have in
21 the near term.

22 As we look forward to 2038 and 2050, we see
23 the growing contribution of new nuclear onto the
24 system, first being introduced to the system in the

1 mid-2030's, and then by 2050 representing roughly 70
2 percent of our energy coming from nuclear to achieve
3 carbon neutrality.

4 We see there in 2050, a small sliver of
5 hydrogen cap- -- or hydrogen serving energy in that
6 timeframe. Hydrogen plays an important but limited
7 role in the long-term carbon neutrality planning of
8 the system, representing generation during the most
9 extreme peak times of our system and really working
10 flexibly with renewables and their variable energy
11 output which are, by 2050, serving roughly 30 percent
12 of our energy in that timeframe.

13 So while the analysis is showing the
14 different ways that the system will operate over time,
15 wanting to look at some of the analytics of each of
16 these portfolios from an execution risk and an overall
17 cost perspective. So starting here first on the
18 energy transition risk of each of the portfolios. As
19 I mentioned, the system today is roughly 40 gigawatts
20 worth of generating capacity. While P3, allowing for
21 2035 and new nuclear to achieve that 70 percent
22 emissions reduction target, still does present a very
23 aggressive transition in terms of planning, procuring,
24 interconnecting, and commissioning all of these

1 resources. It's roughly 50 percent of our existing
2 system today over the next ten years. So what took us
3 60 years to build up the resources that we have on the
4 system today? We're going to need to add another 50
5 percent of that generating capacity to the system in
6 just 10 years. And that the pace only increases as we
7 look across portfolios P1 base and P2 base under those
8 energy transition pathways. So while P3 does continue
9 to present this aggressive pace of transition, it does
10 present an overall more executable plan relative to
11 the other portfolios as presented here.

12 Next slide.

13 And then last, but certainly not least, the
14 cost considerations for each of these portfolios. So
15 on the left, we have the present value of revenue
16 requirements cumulatively taken through 2038, the end
17 of the base planning 15-year planning horizon, and
18 through 2050, our carbon neutrality planning horizon.
19 And then on the right, customer bill impacts, looking
20 at snapshots in time in 2033 and 2038 of the compound
21 annual growth rate of customer bills. So how much
22 does customer bill grow here over year. So on the
23 left, P3 continues to present the lowest-cost planning
24 portfolio on a long-term basis relative to the core

1 portfolios, and really being reflective of the pace of
2 transition needed in that portfolio to achieve the
3 interim target by 2035. On the bill impact side,
4 similar to PVRP, P3 base does represent a strong
5 balance between customer impact and the transition
6 over time relative to the other portfolios, with the
7 overall increases in bills projected to be generally
8 in line with inflation over the 2033 and 2038
9 timeframes.

10 So with those costs and executability
11 considerations, I'm going to hand it back to Mr.
12 Gagnon to discuss some of the ways that we're using
13 these results in developing our near-term actions and
14 recommended portfolio.

15 MR. GAGNON: All right. Thank you.

16 So I guess, just to reorient us a little
17 bit, we start at the beginning talking about the
18 changing energy landscape. That's chapter one of the
19 plan. Planning objectives that's going to be in
20 Chapter 2 of the Plan. Then Mr. Quinto went through
21 the -- the analytical process that's also in Chapter 2
22 and started to get into the results that's in Chapter
23 3.

24 I'm going to continue to talk a little bit

1 about the results, go into a bit more detail on energy
2 transition Pathway 3. And then we'll get into the
3 near-term action plan, and that is Chapter 4, which is
4 our execution plan and near-term actions.

5 So we'll go to the next slide. And just to
6 reiterate, Pathway 3 is the one that achieves that 70
7 percent interim target by 2035 using new nuclear
8 capacity to get there. And that new nuclear also
9 provides the flexibility under HB951, right around the
10 timing of the 70 percent target.

11 And, as the numbers on the last couple of
12 slides that Mr. Quinto had showed, Pathway 3 is a very
13 ambitious plan, but it also allows us to proceed in a
14 measured, deliberate, orderly manner to make sure that
15 we are maintaining reliability throughout this
16 transition and being able to control costs for
17 customers. So Pathway 3 finds that right balance
18 across the objectives that I talked about at the
19 beginning.

20 And if you look at the second part of -- of
21 Chapter 3 in the Plan, you'll see a comparative
22 analysis of the -- of the energy transition pathways
23 and the core portfolios under each. And, as Mr. Quinto
24 said, when you look at that, you'll see that Pathway 1

1 -- when you start talking about 1,600 megawatts of
2 offshore wind, 6,600 megawatts of solar, in addition
3 to the 3,000 already under contract or designated
4 under other programs, over 5,000 megawatts of
5 batteries, 4 combustion turbines, 2 combined cycles --
6 there's a laundry list there that all has to be online
7 by the end of this decade to make Pathway 1 viable.
8 That's over 20,000 megawatts. And so you'll see that
9 Pathway 1 is really only a plan that is executable on
10 paper and is not the most reasonable and prudent plan
11 for our customers. And if you look at energy
12 transition Pathway 2, it is similarly ambitious to
13 Pathway 3, with the exception that it relies on those
14 1,600 megawatts of offshore wind being available by
15 the beginning of 2033 to achieve that interim 70
16 percent target, and to support that increased pace, it
17 also accelerates 2,500 megawatts of batteries to the
18 early 2030's, that would show up later in the 2030's
19 under Pathway 3. And so, by relying on that offshore
20 wind and accelerating those batteries, you're
21 increasing the risks to successful and reliable plan
22 execution. You're increasing costs to customers. And
23 so, again, thinking about Pathway 3, which gives us
24 until 2035 which relies on the new nuclear, that one

1 finds the right balance. And it's important to keep
2 in mind, as Mr. Quinto said, that the energy mixes
3 across all pathways converge by the time you get to
4 the late 2030's and into the 2040's, right? They all
5 require substantial additions of renewables and
6 storage. They all rely on new nuclear to ultimately
7 get to carbon neutrality. And they all require that
8 hydrogen-capable turbine capacity that can support the
9 shift to variable energy resources and maintain
10 reliability for our customers as we retire the coal
11 and serve their growing needs. So energy transition
12 Pathway 3, as all the pathways, keeps us squarely on
13 the path to carbon neutrality by 2050.

14 If we go to the next slide, you'll see the
15 cumulative resource additions on a nameplate basis
16 under energy transition Pathway 3. And this is for
17 portfolio P3 Base, which is the core portfolio under
18 that Pathway.

19 And again, you can see that by 2038, we're
20 talking about pushing 25,000 megawatts of new
21 resources on the system. As Mr. Quinto said, by '33,
22 it's over half of what's on the system today. By '38,
23 it's 86 percent of what is on the system today. So
24 this is an enormous undertaking.

1 By the time you get to 2038, you see the
2 resource additions. About three-quarters of it is
3 renewables and storage. Most of that is solar. You
4 see the advanced nuclear coming on in the mid-2030's
5 to support that interim target. And as I said, if
6 this chart extended to the right further, you'd see
7 that nuclear becoming more important, really being the
8 backbone of the transition to carbon neutrality. And
9 then at the bottom, making up a relatively small
10 portion of the total capacity but being essential to
11 maintaining reliability and having the flexibility on
12 the system that we need. You see the hydrogen-capable
13 turbans, the combined cycles, and combustion turbans.

14 And the other point I want to make on this
15 slide is that these resources in the portfolio, they
16 work together right as one whole system. And that's
17 what makes it so important for us to drive the plan in
18 a coordinated and deliberate manner. You have the
19 renewables to provide the carbon-free generation; you
20 need the storage to make sure that that generation is
21 aligned in time with our customer load; you need the
22 nuclear to provide that around-the-clock carbon-free,
23 and then you need the turbans to provide the
24 flexibility as we shift to more variable energy

1 resources. And so all of that has to happen together
2 in a coordinated way. That's important for successful
3 planning and execution. It's important for cost
4 control. It's important for making sure that we
5 maintain reliability as we go.

6 We can go to the next slide. So this one, I
7 think, tells a good story about that transition. It
8 can be a little bit hard to interpret, so let me walk
9 through it. And, please, ask questions if you have
10 any. So on the Y axis, you have the expected winter
11 peak load in percentage terms. So percentage of
12 forecasted winter peak load. And you'll see a
13 horizontal line at 100 percent there, so that is the
14 level of the forecasted winter peak. And then you'll
15 see another horizontal line up at 122 percent, and so
16 that's the forecasted winter peak plus that 22 percent
17 reserve margin.

18 And then, across the X axis, you'll see
19 time. Each year has two bars: one for the winter and
20 one for the summer. And the bars are broken up into
21 three sections. The blue, that is dispatchable firm
22 capacity. The orange section, that is limited
23 duration. Think about energy storage demand response
24 programs. Then the yellow section at the top, that's

1 variable energy resources. That's your renewables.
2 And you can see that, today, we have enough firm
3 dispatchable capacity on the system to meet that
4 expected winter peak load and summer peak load.

5 And, of course, you need the whole system to
6 meet your reserve margin, right? Because there's
7 going to be fluctuation around that expected peak, but
8 we have enough firm dispatchable on the system to meet
9 the expected peak.

10 But as we move out of coal and transition to
11 more variable energy and limited duration resources,
12 you see that that firm dispatchable capacity declines,
13 and now we're relying more and more on the orange to
14 get us to the expected winter peak and the yellow to
15 provide the energy for those limited duration
16 resources. And that period from, call it 2029 to
17 2035, '36, that Mr. Quinto highlighted on his first
18 slide, that critical transition period. That's where
19 the bulk of the coal capacity is coming offline, and
20 substantial additions need to be in place to make sure
21 that that doesn't jeopardize reliability for our
22 customers. That's really the critical period where
23 you see really a shift -- a fundamental shift in how
24 we operate. From relying mostly on those firm

1 dispatchable resources to really leaning on the
2 variable energy and limited duration resources in that
3 period.

4 All right. So we'll go to the next slide,
5 and that's -- this is the --

6 COMMISSIONER KEMERAIT: Commissioner Duffley
7 has a clarifying question.

8 COMMISSIONER DUFFLEY: Just when you were
9 creating the slide, like the blue sections, what data
10 are you using?

11 MR. GAGNON: So this is data that comes out
12 of the modeling results for energy transition Pathway
13 3. So that's the resources --

14 COMMISSIONER DUFFLEY: So it's Pathway 3?

15 MR. GAGNON: Yeah. Yeah. Sorry.

16 COMMISSIONER DUFFLEY: Thank you.

17 MR. GAGNON: All right. So now we're going
18 to talk about the proposed near-term actions.

19 You'll see that there are a significant
20 increase relative to what the Commission selected in
21 the '22 Carbon Plan Order, and I just should say
22 before we step through it in detail that these
23 near-term actions are supported by the entirety of the
24 analysis along energy transition Pathway 3, right? So

1 the core portfolio with the base assumptions is
2 important, but it's also informed by the portfolio
3 variants and the sensitivity analysis portfolios and
4 the information that we get from that analysis as
5 well.

6 So if you look at the blue row at the top,
7 we are proposing 6,000 megawatts -- procured 6,000
8 megawatts of solar by -- or through 2026. That's the
9 next CPIRP planning cycle, right? So between now and
10 the next CPIRP, procurements of 6,000 megawatts of
11 solar. That solar would be placed in service by the
12 beginning of 2031, and that amount represents an
13 increase of 3,150 megawatts to the amount that the
14 Commission approved in the '22 Carbon Plan Order.
15 You'll see that the procurement targets are ramping up
16 over time. We've procured 965 megawatts in the '22
17 procurement. In '23 and '24, we're targeting over
18 1,400 megawatts, and then it ratchets up again in '25
19 and six. And making sure that we get that solar
20 online in a timely fashion really depends on the
21 advancement of the RZEP transition projects.

22 Next, moving over to batteries. We're
23 proposing 2,700 megawatts of batteries, again, to be
24 online by the beginning of 2031, that's an 1,100

1 megawatt increase over the '22 amount.

2 And a substantial portion of that would be
3 paired with solar, and acquired via procurements.
4 Then if you look at the combined cycles, there are two
5 additional combined cycles in this year's near term
6 action plan. And, again, those are absolutely
7 critical to maintaining reliability and serving
8 growing customer needs as we transition out of coal
9 and support more variable energy resources on the
10 system. And on the next slide, going to combustion
11 turbans. We talked about the reserve margin going up,
12 having additional combustion turbine capacity on the
13 system. It's a 900-megawatt increase. Two new
14 turbans relative to what the Commission selected in
15 '22. That's essential, again, for reliability.

16 And then you go to onshore wind: 1,200
17 megawatts in this year's proposed near-term actions to
18 be online by the beginning of 2033, a little bit
19 longer lead time there. And I just want to underscore
20 the value of the wind generation profile on a system
21 that is heavily geared towards solar in terms of the
22 renewables, right? That we have, right? So the wind
23 generation profile is not correlated with the solar
24 generation profile, and so they're really

1 complementary. And because we are so solar-rich in
2 the Carolinas, that wind really has a lot of value in
3 terms of diversifying when carbon-free generation
4 occurs.

5 Then we have additional pump storage hydro,
6 1,700 megawatts. That's a second powerhouse at our
7 Bad Creek facility in South Carolina. That long
8 duration storage with a proven technology is just
9 absolutely vital.

10 And then, if we go to the next slide, you'll
11 see the long lead time items. We have the advanced
12 nuclear on there, similar to last year's proposal and
13 -- and we've -- we're developing the early site permit
14 for site one. We're proposing now to begin work on
15 the early site permit and file that for site two, so
16 that we can stay on pace to deploy that advanced
17 nuclear. And then, looking at offshore wind as Mr.
18 Quinto said, offshore is not included in the base
19 portfolio for Pathway 3, but it does show up in
20 several of the portfolio variants by the mid 2030s.
21 And so at this point, we think it's really important
22 to continue to monitor the domestic market and supply
23 chain, continue to monitor our changing needs, and
24 then make a recommendation as part of our check and

1 adjust in the next CPIRP filing as to whether it's
2 prudent to pursue an RFP for offshore wind at that
3 time.

4 So again --

5 COMMISSIONER KEMERAIT: Referring to
6 offshore can you -- you may be getting to this, but
7 can you clarify the slide on page -- slide 16 that
8 refers to 0 to 1.6 gigawatts of offshore wind, and the
9 difference between -- you've given a range; can you
10 explain the range?

11 MR. GAGNON: Sure. So that's related to all
12 of the different portfolios that we modeled under
13 Transition Pathway 3. Offshore wind is not selected
14 in the base portfolio. That's the zero. There are
15 some portfolios where it does come into the resource
16 mix. If you think about lower costs or some of the
17 even higher load growth scenarios, offshore wind
18 starts to come into the mix. In some cases, it's 800
19 megawatts. In some cases, it's 1,600 megawatts. And
20 so that's what that gray box means: it's -- there's a
21 range; it's not in the base. But it's important to
22 maintain it as an option going forward.

23 COMMISSIONER KEMERAIT: Thank you.

24 MR. GAGNON: Sure.

1 And so I think that brings us to the end of
2 my section here, but I just want to underscore, again,
3 the pace, scope, and scale of what we're proposing in
4 these near-term actions and the entirety of energy
5 transition Pathway 3. The near-term actions are over
6 1,700 megawatts of new capacity. That's nearly 11,000
7 megawatts more than was in the '22 Carbon Plan Order,
8 and in order to be able to succeed and deploy these in
9 time, it's going to take decisive action on a whole
10 range of fronts. But we're well positioned to make
11 this happen and to deliver the transition for our
12 customers. And importantly, I want to turn it now to
13 Mr. Duff to talk about how we shrink the challenge
14 from the demand side and some of the enablers related
15 to that.

16 MR. DUFF: Thank you. It's wonderful to be
17 back here in front of the Commission today to talk
18 about our commitment to shrinking the challenge
19 through grid edge and customer programs, as we
20 detailed in Appendix H of this year's CPIRP filing.
21 I'm real proud of this slide because I think it really
22 is very efficient in telling the great story around
23 the modeling associated with utility EE in this year's
24 Carbon Plan. So there's a lot of lines on here, but I

1 want to try and make it real clear what each line is
2 and what it's really talking -- what it's really
3 telling the audience.

4 First of all, we incorporated the
5 Commission's direction to continue to maintain a base
6 case assumption of 1 percent of eligible annual
7 savings -- eligible retail sale savings -- as well as
8 a high case sensitivity of 1.5 percent of eligible
9 retail sales annual savings. Now, when I say that, I
10 want to make sure I clarify, again, what I tried to in
11 last year's Carbon Plan case, which is that this is a
12 floor. It is not a ceiling. So what we're assuming
13 is, over the 28-year period that's being modeled,
14 energy efficiency savings will not drop below either 1
15 percent of eligible sales or 1.5 percent of eligible
16 sales. And those two levels are shown with the two
17 dotted green -- the two dotted lines. The dotted
18 green showing 1.5 percent, and the dotted black line
19 showing 1 percent eligible sales. But the real
20 important lines to look at on here are the blue line
21 and the purple line.

22 The blue line is really showing the new base
23 case, or the 1 percent of eligible retail sales. And
24 the purple line is showing what we're calling a low

1 case, or what was modeled in last years Carbon Plan.
2 And so what you'll see in looking in both DEP and DEC,
3 is there's a significant increase in the -- in the
4 amount of energy efficiency that occurs in both DEP
5 and DEC in that base case assumption. And when you
6 look at it, there's really two drivers that are
7 driving those increases, or the gaps between the blue
8 and the purple line. In the area that's circled in
9 red, the first 10 years, you're seeing the Companies'
10 efforts through it's market potential study that was
11 developed by resource invasions to quantify what the
12 potential impact of the IRA is on energy efficiency
13 for utility energy efficiency programs. And then
14 you'll see after that red circle period, you'll also
15 still see a gap between the blue and the purple lines.
16 And that's being driven by the increase in the load
17 forecast that, as discussed by Mr. Gagnon, is being
18 driven -- 86 percent is being driven by either EV
19 adoption or economic development. So those two things
20 are driving up the load, which is in effect increasing
21 the floor or spread -- or increasing the total amount
22 of efficiency that's achieved over the forecasted
23 horizon. Just to put it in context, over the 28-year
24 plan, the DEC energy efficiency annual gigawatt-hour

1 savings increased by 18 percent. Again, this is base
2 case to base case and DEP is increasing by 11 percent.
3 In total, that's over 4,900 gigawatts-hours of
4 additional energy savings just from moving from one
5 plan to the next. So I want to focus a little bit,
6 specifically on the red circle, to let you know how
7 the company considered the IRA impacts. So there are
8 two different rebate programs in the tax credit that
9 were issued by the DOE as part of the Carbon Plan.
10 And we have been working with the DOE as well as the
11 State Energy Offices, who will be administering these
12 Rebate Programs, to try and have our programs
13 coordinate and complement their initiatives to get the
14 rebates out. And so there's been ongoing
15 conversations. We've filed a request for information
16 with the DOE, so we understand how they're planning on
17 trying to have our programs coordinate with the IRA.
18 And in July, the DOE actually issued it's initial
19 guidance on how the Home Rebates Program and the HEAR,
20 or Home Electrification Appliance Rebate Program --
21 there's two -- how those would be administered in
22 general. The State Energy Offices still have to apply
23 with the DOE and get approval for the Rebate program,
24 but those programs have now -- we have guidance on how

1 they are going to work. What's been modeled was based
2 off of the initial guidance because of timing, but,
3 essentially, as I've said, resource innovations look
4 at those three programs -- there's tax credits, the
5 home program, and the HEAR program -- and they
6 determined that the almost \$210 million that will be
7 available in North Carolina how those -- what measures
8 those would impact and how it would impact load. We
9 then took that total impact of the IRA and assumed
10 that 60 percent would be associated with utility EE
11 programs; A, this recognizes our desire to work in
12 coordination and collaboration with the State Energy
13 Office to make sure our customers are aware of those
14 programs and taking advantage of them, as well as the
15 fact that we then took that other 40 percent and
16 worked with our load forecasting group to make sure
17 that they factored in that additional 40 percent into
18 natural occurring energy efficiency so that the entire
19 estimated impact of the IRA was in fact incorporated
20 into this Carbon Plan.

21 If you go to the next slide, I want to talk
22 about some of the progress that's been made on the --
23 in the near term on the grid edge enablers that were
24 identified last year. One of the big enablers that

1 was identified was moving to an as-found savings base
2 line, and I'm pleased to say that the Commission
3 recently reaffirmed its support for the Company in
4 certain programs that are designed to qualify for an
5 as-found baseline, and, in this case, it was the Smart
6 \$aver early replacement and retrofit program. That
7 program basically allows us to look at the savings
8 associated with a customer who is replacing working,
9 yet, inefficient, equipment with efficient equipment.
10 So you're seeing savings coming on the system earlier
11 than what they would. And we think that's really
12 important because when you couple our incentives with
13 IRA incentives, we think there's a real economic value
14 proposition to customers to act earlier and adopt
15 things even though their inefficient equipment may
16 still be working. And so we're pleased that that
17 program has been approved and is now in the process of
18 being implemented in the market, so when those IR
19 rebates come available in what we believe will be late
20 '24, early '25, we'll have them in place to complement
21 them.

22 Additionally, we've received a positive
23 order on our tariffed On-bill Repayment Program. This
24 is a key component of trying to remove financial

1 barriers for customers who want to take on efficiency
2 investments because it's tied - this program is tied
3 to the customer account where the savings are realized
4 rather than the customer, so there isn't a credit
5 requirement for them to actually get this amount put
6 on their bill as a tariff charge, which will still be
7 bill-positive for the customer, meaning the savings
8 will exceed the monthly charge on that account's bill.
9 But that received approval recently, and we're in the
10 process of trying to implement that as well as an
11 accompanying pilot, which we're really excited about
12 with new construction from multi-family because we
13 feel it can break down some of the landlord-tenant
14 barriers that have stood in the way of giving new
15 multi-family housing built at a high efficiency level
16 here in North Carolina.

17 One of the other manufacture -- one of the
18 other significant enablers that was identified that a
19 lot of ongoing work has gone through was the updating
20 of the EEDSM cost recovery mechanism, which really
21 lays out the process by which the company gets
22 programs approved, and how they are evaluated, and
23 then the cost recovered from customers.

24 We initiated a formal review in April

1 consistent with the Commission's Order in the 2022
2 Carbon Plan and have been working with stakeholders
3 since even before then to try and get input into this
4 comprehensive review of the mechanism, but we have put
5 specific focus on the four enablers that were
6 identified in the Commission's Order and have provided
7 draft language on how the mechanism could be modified
8 to incorporate those enablers and continue to get
9 feedback on that mechanism as well as meet with
10 stakeholders about those enablers and hear more and
11 more about other areas that they think may need
12 modification in order to enable more EE and DSM in the
13 future. There were recent filings about the next
14 steps in this that are pending in front of the
15 Commission that we're waiting on, but we're still
16 working with stakeholders along the way because the
17 Company, in its initiation of this, believes that we
18 really need to work in a time manner to try and make
19 sure that these enablers associated with the mechanism
20 review can go into effect in 2025 and start changing
21 the economics and increasing the amount of efficiency
22 that's achieved in the near term.

23 We've also -- I'm sorry. Was there a
24 question? We've also seen great headway in our

1 income-qualifier low-income programs. This year,
2 we've seen Commission approval in both North and South
3 Carolina of expanding our weatherization program,
4 which works with in accordance with community action
5 agencies to help income-qualified customers weatherize
6 their homes and promises to make them more energy
7 efficient. We also had received approval of a new
8 program -- pilot program called the High Energy Use
9 Pilot, which really is new and innovative because
10 we're not just looking at income qualification through
11 this pilot to determine customer eligibility; we're
12 also looking at customers that use above 18,000
13 kilowatt hours a year to make sure that we're really
14 targeting those customers that are income qualified
15 that can benefit most from this pilot program and
16 exceed the savings that can be achieved. So it's an
17 exciting pilot that we've received a lot of positive
18 press about and is being rolled out as I speak. We've
19 also seen some progress on the demand-response side of
20 things. We have seen additional measures added to our
21 demand response programs, and we recently filed for
22 approval in DEC of a nonresidential DR option for
23 customers within the Power Share Program that was
24 specifically developed off of feedback that we

1 received last year around a similar program in
2 California. Obviously, this program has to be
3 tailored around our economics, but the structure of it
4 was based off of that feedback that we received, and
5 that program has been filed recently with the
6 Commission.

7 And then, finally, we've also recently filed
8 an income-qualified DR program, which looks to bundle
9 EE and DSM in the delivery of income-qualified DR to
10 try and take advantage of the fact that we're in these
11 income-qualified customers' homes and can try and get
12 them to participate and see the bill savings as well
13 as help realize the peak savings associated with
14 participating in a demand response program.

15 And then last but not least, is the rapid
16 prototyping associated with non-EE DSM. Again, this
17 didn't have a formal initiation like the review of the
18 EE DSM cost recovery mechanism, but we have been
19 working with stakeholders on a regular basis since
20 March to develop this process and guidelines for a
21 rapid prototyping, or invasion program, and are very,
22 very close to having a final design that will be filed
23 with the Commission we believe in fourth quarter of
24 this year. It's been a lot of meetings and a lot of

1 really great stakeholder feedback on how to try to
2 make these non-EE DSM grid-edge-type resources that we
3 need to prototype and test available more quickly.
4 And so, again, excited with the progress that has been
5 made, and I think you'll see, again, going back to
6 those -- to the forecast that was included in this
7 year's Carbon Plan that the Company is, again, having
8 very aggressive assumptions associated with EE but
9 believes that with these enablers and other steps
10 taken, that it's a reasonable approach that can be
11 checked and adjusted as we move forward.

12 And with that, I'm going to turn it over to
13 Mr. Peeler.

14 MR. PEELER: Thank you. Good morning. As
15 we've heard this morning, this is a substantial, you
16 know, change in our resource mix and a huge task to
17 undertake. And the amount of generation that we've
18 talked about coming online over the next number of
19 years, it's going to be extremely important that we
20 properly plan for transmission expansion and that we
21 have an effective and timely generator interconnection
22 process in order to make that work. It just -- there
23 are a lot of other challenges, but those are two
24 really large ones that we need to take with -- pay a

1 lot of attention to. So we've been proactively
2 working on, you know, both of these areas for
3 proactive transmission planning as well as
4 interconnection efficiencies. I'd like to talk a
5 little bit about those enhancements and where we're
6 headed. The details of this, of course, it's in
7 Appendix L. A lot there. I'm just going to obviously
8 summarize. So first of all, we'll start with the Red
9 Zone Expansion Projects from the Red Zone Expansion
10 Projects from the Red Zone 1. There are 14 projects.
11 They are all in flight. They're all on track. The
12 latest of which is due in service by mid-2027. So
13 those will enable a significant amount of
14 interconnection. Speed that process. Make that much
15 more effective. Red Zone 2 projects have been
16 identified. They are working their way through the
17 planning process now through the NCTPC. We anticipate
18 incorporating those into our plan as -- through that
19 normal planning process regardless. They will enable,
20 again, additional interconnections in an efficient
21 manner.

22 Speaking, you know, specifically about the
23 planning process, the planning process has to evolve.
24 The local planning process, which, you know, it's in

1 our OATT -- that's the N-1 attachment -- we do
2 anticipate making some revisions to that attachment
3 later this year. Probably be filed in November. And,
4 you know, highlighting those changes really helps us,
5 you know, meet those objectives of interconnecting
6 things more efficiently and quickly. But some key
7 things. It will incorporate, you know, opportunities
8 for more stakeholder engagement in the planning study
9 scenarios, needs identification, solution development,
10 also the ability to incorporate more potential
11 solution alternatives to be evaluated, and
12 consideration for multi-value projects. So not just,
13 you know, not just look at one single view of what a
14 project's value is but it's broad contribution to the
15 system as a whole.

16 Additionally, one -- a naming change, so we
17 intend to rename the NCTPC to the Carolinas TPC to
18 really capture the fact that it really is a
19 multi-state planning collaborative. It's not just
20 North Carolina; even though we named it that, but
21 we've been planning for both states through that
22 process. As far as activity for the NCTPC this year,
23 there is a public policy study that's been scoped and
24 being prepared now. There were -- there were a couple

1 of requests. Those have been incorporated into one
2 scope. That -- that study will, at a high level, it
3 will take a look at green -- what the generation
4 changes may drive needs for green field transmission.
5 Long range stuff. As well as some high-renewable
6 scenarios above, you know what some of our portfolios
7 are. We expect that study to be available first
8 quarter of '24. It will be informative to our plans.
9 Help us, you know, validate or adjust our Red Zone
10 Expansion proposals and other transmission plans.
11 And, you know, again, just can't reiterate enough the
12 importance of that proactive transmission planning to
13 enable this transition.

14 Focusing a little more on the
15 Interconnection Process. Of course, we were an early
16 adopter of the Cluster Study Process. That has
17 improved the throughput of our interconnection work.

18 We're seeing the fruits of that now, and we
19 continue to refine it. We've also worked on, you
20 know, other ways to speed the time from request to
21 interconnections, such as some -- we have standard
22 designs, we've compressed some of our construction
23 durations, looking at, you know, how to ensure we have
24 material availability through some, you know, advanced

1 or earlier procurement of those -- those things
2 needed, that are needed for all interconnections. And
3 much more interaction with developers. We have more
4 touch points along the way to, you know, set
5 expectations up front for both Duke and developers so
6 that we can be aligned and get those projects online
7 sooner.

8 Additionally, in the -- in the vein of both
9 efficiency and reliability, we have established some
10 technical requirements for inverter-based resources
11 and some commissioning approaches for those. There's
12 -- I'm sure the Commission's aware, there are a number
13 of concerns across the country about the performance
14 of inverter-based resources, and as they grow, we need
15 to make sure that they are performing reliably. So
16 we've worked to develop those technical standards.
17 They are posted on our Oasis site. They are now
18 incorporated in our Interconnection Agreements. And,
19 you know, it serves two really good purposes: number
20 one, it helps upfront be clear about what the needs
21 are for a developer whose -- whose planning. The
22 expectations are clear. And then, in the long run, we
23 have a reliable asset that we can count on. So the
24 technical requirements in commissioning are very

1 important as we move forward, and those are
2 established and moving forward.

3 COMMISSIONER KEMERAIT: And, Mr. Peeler,
4 before you move on, the last item was about continuing
5 the interconnection process improvement work, and
6 you've provided a fair amount of detail about the
7 improvements to the process. Have you seen -- has
8 Duke seen shortened timelines to date, and if so, can
9 you -- is there any data about the time that has been
10 improved?

11 MR. PEELER: Yeah. So we have. So the time
12 has been shortened. I don't have the data with me for
13 that, but we have seen shortened ability to get to an
14 Interconnection Agreement. I will say, there are also
15 headwinds that are kind of opposing some of those
16 improvements with supply chain challenges, interest
17 rates, and other issues that developers are actually
18 asking for longer times in some of these where we
19 could actually get to an agreement sooner, but they
20 are actually pushing dates. So for a number of
21 reasons, right? All those things I just mentioned,
22 but we definitely see the ability to sign those
23 Interconnection Agreements faster. I think the
24 Cluster Study Process helps a lot, as well as some of

1 these other enhancements. And, you know, certainly we
2 have some detail in our Appendix L, but we can -- we
3 can provide additional information if desired.

4 COMMISSIONER DUFFLEY: So to follow up with
5 the renaming, I just wanted to -- or if you could
6 remind me, are all of the appropriate South Carolina
7 entities currently participating in the NCTPC?

8 MR. PEELER: So they are not members.
9 There's a separate planning collaborative that
10 includes other utilities in South Carolina.

11 COMMISSIONER DUFFLEY: Okay. But so no
12 one's attending or participating?

13 MR. PEELER: There is attendants from
14 various groups, but as far as actual planning members,
15 the utilities in South Carolina other than Duke are
16 not members.

17 COMMISSIONER DUFFLEY: Okay. Thank you. It
18 was the attendants I was wondering about. Thank you.

19 MR. PEELER: So let's move to the next
20 slide. I'll talk about one more enabler to the overall
21 transition, and that is a merger of the DEC and DEP
22 utilities. And we talked about this one for, you
23 know, a number of times in front of the Commission.
24 At a high level, there are benefits here for customers

1 from a cost standpoint. There are benefits here from
2 an operational standpoint. There are benefits here
3 from the ability to implement this plan that we're
4 talking about. The combination allows for more
5 efficient planning. So it allows for, you know, more
6 efficient investment in resources. Ultimately, over
7 the life of the Plan, it results in fewer resources
8 needed to meet the combined needs. And it allows for,
9 you know, benefits and daily operations of
10 lower-day-ahead operating reserves, efficient use of
11 the transmission system, and all the resources. It
12 also helps with investment as we go forward from a
13 rate standpoint between the different Companies,
14 allows the investment to be spread over a much larger
15 customer base, and addresses the concerns between rate
16 disparity between the two Companies going forward for
17 customers. We believe it's the right direction and
18 the right time to make this change. And what I've got
19 here on this slide is a very high-level anticipated
20 timeline. So the anticipated timeline for completion
21 of the merger would be January of 2027. So that's
22 roughly a 3-year project that we would start soon.
23 Likely early next year. Carrying out a number of
24 things. There's a lot of work to be done to

1 consolidate systems and processes, obviously. There's
2 a lot of communication with customers and
3 stakeholders, and there are various rate issues to
4 resolve, contracts to resolve, and certainly there are
5 regulatory approvals for both North Carolina, South
6 Carolina, FERC, as well as the NRC. So the timeline
7 you have here is, again, it's a high-level timeline,
8 but you can see, we would anticipate the beginning of
9 some of those actual filings to start the middle of
10 '25, but the work is started earnest early next year.

11 And with that, unless there are questions,
12 I'll hand it back to Ms. Bowman.

13 COMMISSIONER KEMERAIT: Mr. Peeler, I
14 actually do have one question about the merger. And
15 in the materials provided in the Plan, it stated that
16 the Cost Benefit Analysis -- that their preliminarily
17 results have been provided. When will the full study
18 for that Cost Benefit Analysis be available?

19 MR. PEELER: So I'm not certain, but I would
20 think early next year we should be able to provide
21 something. Preliminarily, like I said, we, you know,
22 certainly qualitative; a lot of these things are
23 beneficial, and we do have, you know, who have seen
24 some quantitative work as well, but I'd say early next

1 year.

2 COMMISSIONER KEMERAIT: Thank you.

3 MS. BOWMAN: All right. I'll wrap us up.

4 So in conclusion, again, I just want to thank the
5 Commission for the opportunity to come talk to you all
6 today about the important work that we're doing on the
7 2023 CPRIIP [sic]. As you've heard, we've got an
8 ever-changing energy landscape. We have a big
9 challenge in front of us, but I think we're up to that
10 challenge. And we believe that -- that Pathway 3 is
11 really going to put us on that best path to meet that
12 challenge. It keeps us on a pace that provides that
13 least-cost and reliability components for our
14 customers. I would say that we do need kind of key,
15 decisive direction so that we can keep on that pace,
16 particularly around those near-term actions so that we
17 can continue to work towards the retirement of our
18 coal fleet by 2035.

19 And with that, I just want to say, we look
20 forward to working with the Public Staff and the other
21 intervenors during this process, and, again, we
22 appreciate your time today. And with that, I'm going
23 to open it up for whatever questions you all may have.

24 COMMISSIONER KEMERAIT: Thank you, Ms.

1 Bowman. I'll begin. I just have a few questions.
2 And my questions are all geared entirely towards
3 process questions. Since this is a technical
4 conference and not an evidentiary hearing, I am making
5 a specific point of asking only process questions.
6 Who is the best person to ask questions about the
7 stakeholder process?

8 MR. GAGNON: I think you can ask those
9 questions to me.

10 COMMISSIONER KEMERAIT: Okay. Okay. Great.
11 And in the information, it looks like there were five
12 stakeholder meetings, and the last one was held in
13 June of this -- of this year, and from the materials,
14 it looked like there was, what I would describe as a
15 robust participation in the stakeholder meetings.
16 There have been some concern previously about
17 questions being answered; can you explain how the
18 stakeholder meetings were conducted and how questions
19 were provided and answered during the process?

20 MR. GAGNON: Yeah. Absolutely. So the way
21 we conducted the stakeholder meetings this year was
22 they were open to all attendees, but we did request
23 that interested parties provide technical experts to
24 participate as part of the -- the discussion. So you

1 had during the registration, if you wanted to
2 participate as a technical expert, you would say,
3 okay, this is the topic for these meetings. I'm an
4 expert, and I want to participate as part of the
5 conversation in this meeting on this topic. And you
6 can see on -- there's actually a slide in the
7 Appendix. You can see that we have a number for
8 overall attendees, but then external technical
9 representatives as well. That's the first appendix,
10 slide 36.

11 And so if -- for overall attendees, there
12 was a chat function and a text Q&A function. And so
13 our moderator from the Great Plains Institute would
14 direct those questions that came in via that function,
15 but then our technical representatives, they
16 participated just as part of the conversation. So we
17 would walk through the presentation with the Duke
18 technical experts, and then the technical
19 representatives could ask questions, could opine. And
20 it was a much more collaborative for those folks as we
21 went.

22 COMMISSIONER KEMERAIT: Okay. And then,
23 Duke has said that it plans to make complete modeling
24 input and output data files available to intervenors

1 once they have executed confidentiality agreements;
2 can you talk about whether that modeling information
3 has been requested by intervenors yet and provided to
4 the intervenors? What is the status of providing that
5 information to the intervenors?

6 MR. GAGNON: So we proactively provided that
7 at the time of filing. There's a data site set up and
8 so the parties that have executed the NDAs do have
9 access to that. And actually, we did conduct a sixth
10 stakeholder meeting. This was opened just to folks
11 who were interested in that technical data and who
12 have executed those agreements, but we did walk
13 through that data for them just from a logical
14 standpoint so they could understand how the site
15 works, where the data is, what kind of data, and all
16 that kind of thing. But, yeah, all of the modeling
17 files are available to parties.

18 COMMISSIONER KEMERAIT: And that sixth
19 stakeholder meeting, is that the modeling workshop
20 that was referred to in the Plan? Is that the same
21 thing as the -- Duke had said they would -- it would
22 schedule a modeling workshop after it filed the Plan
23 for the intervenors so that you could provide
24 information about the modeling; is that the sixth

1 stakeholder meeting that you are referring to, or is
2 that something different?

3 MR. GAGNON: No. That's -- that's right.
4 And that was conducted, I think, maybe a week after we
5 filed.

6 COMMISSIONER KEMERAIT: Okay. And then the
7 Plan also talks about some additional stakeholder
8 outreach in meetings with impacted communities and
9 environmental justice efforts, can you -- are you the
10 person that could provide information about -- or Ms.
11 Bowman -- the work that's being done in that regard?

12 MR. GAGNON: Yeah. I might defer to Ms.
13 Bowman on those questions.

14 COMMISSIONER KEMERAIT: Okay.

15 MS. BOWMAN: So as you recall, in the 2022
16 IRP stakeholder session, we did have an environmental
17 justice-impacted communities workshop there as well.
18 We've continued and try to expand that in this 2023.
19 We've actually identified environmental justice
20 advisory councils in our various communities
21 throughout the state. You know, we serve over 80-some
22 counties in North Carolina, and we've identified
23 those. Particularly those where we have plants that
24 we're planning to retire or significant assets we're

1 planning to construct. So we've identified various
2 Environmental Justice Advisory Councils based in those
3 communities. We're seeking their input. We had
4 several kind of broad stakeholder sessions to walk
5 through the updated 2023 Resource Plans with those
6 advisory councils and other interested stakeholders
7 really wanting to talk about environmental justice
8 issues and community -- impacted to community issues.

9 COMMISSIONER KEMERAIT: Are those efforts
10 ongoing, or have they been completed?

11 MS. BOWMAN: Oh, no. These are ongoing. We
12 believe that these advisory councils will continue to
13 -- continue to meet throughout the years, and they're
14 going to develop their own cadence in with which they
15 meet as we're making this clean energy transition.
16 Because we're going to be continually out there
17 constructing new projects, whether it's new
18 substations, new solar panels, you name it. We've got
19 a lot we've got to construct. So we're going to
20 continue those. That's going to be an ongoing
21 process.

22 COMMISSIONER KEMERAIT: Okay. Thank you.
23 So I'll look to see if my fellow Commissioners have
24 any questions.

1 Okay. Commissioner Mckissick?

2 COMMISSIONER MCKISSICK: And I want to thank
3 you for an excellent presentation this morning. It's
4 been very insightful, and a lot of meaningful data.
5 Of course, the Pathway 3, you're talking about getting
6 where we need to go -- the 70 percent reduction by
7 2035. Optimally, it would be great to accelerate that
8 pace and do it faster, 2032, wherever that might be.
9 What factors do you think would allow us to get to
10 that point faster than the 2035 projected date? Are
11 there any substantial factors that might influence it
12 that would help us attain and achieve those goals at
13 an earlier point and time that you can point to or
14 identify that, perhaps, would allow those goals to be
15 attained earlier in light of what the goals have been
16 set, you know, legislatively? Understanding system
17 reliability has to be a key factor.

18 MS. BOWMAN: So I can take a stab at one.
19 And I'm speaking more from policy space than anything.
20 And I'll -- I'll let my experts opine on other areas,
21 but streamlining policy and permitting. You know,
22 that sometimes is a gating issue for construction of
23 new assets. Whether you're talking about transmission
24 lines, or gas transportation lines, or hydrogen,

1 whatever you're talking about, or getting approval for
2 new small marginal nuclear reactors, but streamlining
3 the permitting process.

4 COMMISSIONER MCKISSICK: Thank you.

5 MS. BOWMAN: I don't know if anybody else
6 has any.

7 MR. GAGNON: I think I'd add to that kind of
8 along the same lines. We see supply chain challenges
9 across pretty much all infrastructure, and so this
10 will be part of our check and adjust, and we'll update
11 everything obviously in the next filing. But just the
12 pace at which steel in the ground can be deployed, can
13 be acquired, brought to the Carolinas, and deployed --
14 that's a big one. And that's something that -- that
15 is reflected in our planning assumptions now when it
16 comes to resource availability.

17 So I think that, in addition to streamlining
18 the processes, streamlining the supply chain is a
19 really big one. And, you know, it's outside of our
20 control, but that's one that has a significant impact
21 on the pace in which we can execute this plan.

22 COMMISSIONER MCKISSICK: Thank you. That's
23 helpful. Of course, both of those things are also
24 factors that could project it and cause it to be

1 delayed even further, unfortunately. Thank you.

2 MR. GAGNON: That's right.

3 COMMISSIONER KEMERAIT: Okay. Seeing no
4 further questions, I want to thank Duke for coming in
5 and providing information about the proposed CPIRP.
6 It's been informative and very helpful, and we
7 appreciate your time and effort and coming in today.
8 So with that, I'll adjourn the technical conference,
9 and we'll go off the record.

10 (The proceedings were adjourned at 11:44 a.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, KAYLENE M. CLAYTON, do hereby certify that the Proceedings in the above-captioned matter were taken before me, that I did report in stenographic shorthand the Proceedings set forth herein, and the foregoing pages are a true and correct transcription to the best of my ability.

Kaylene Clayton

Kaylene Clayton