

1 PLACE: Dobbs Building, Raleigh, North Carolina

2 DATE: Monday, November 25, 2019

3 DOCKET NO.: EMP-100, Sub 164

4 TIME IN SESSION: 1:00 p.m. to 3:01 p.m.

5 BEFORE: Chair Charlotte A. Mitchell, Presiding

6 Commissioner ToNola D. Brown-Bland

7 Commissioner Lyons Gray

8 Commissioner Daniel G. Clodfelter

9 Commissioner Kimberly W. Duffley

10 Commissioner Jeffrey A. Hughes

11
12 IN THE MATTER OF:

13 Investigation of Energy Storage in North Carolina

14 Presentation by:

15 Bob Schulte, Principal, Schulte Associates, LLC

16 Energy Storage in Integrated Resource Plans

17
18
19 Volume 2

P R O C E E D I N G S

CHAIR MITCHELL: Good afternoon. Welcome. I'm Charlotte Mitchell, Chair of the Utilities Commission and with me this afternoon are Commissioners ToNola D. Brown-Bland, Lyons Gray, Daniel G. Clodfelter, Kimberly Duffley, and Jeff Hughes.

This is the second in a series of presentations pursuant to the Commission's September 4th, 2019 Order Initiating Investigation in Docket Number E-100, Sub 164 in which the Commission has initiated a series of educational presentations by experts invited to speak on energy storage related topics.

We're happy to have with us today Mr. Bob Schulte of Schulte Associates, LLC. He is an engineer and energy consultant based here in Raleigh with roots in the Midwest. Our speaker will be working from a slide deck that will be displayed on the monitors here in the hearing room and has also been posted on our website in Docket Number E-100, Sub 164.

Our court reporter is creating a transcript that will be filed in this docket and available for your review on the Commission's website. These

1 sessions are structured for the benefit of the
2 Commission's education and the speakers will be asked
3 to share their expertise and answer the Commission's
4 questions as they arise. People in the audience will
5 not have an opportunity to ask questions. However, if
6 you'd like to file information in this docket in
7 response to what you hear or if you want to suggest
8 other speakers that the Commission should consider
9 inviting please do so by filing comments or
10 suggestions in this docket for our consideration.
11 If it's okay, we'd like to ask questions of the
12 speaker as we go along. Is that okay with you,
13 Mr. Schulte?

14 MR. SCHULTE: Yes, ma'am.

15 CHAIR MITCHELL: Okay. And so we'll be
16 doing that.

17 We appreciate your being here today and
18 preparing this material and I'd like to go ahead and
19 turn it over to you as I know your presentation
20 involves an introduction of who you are and the work
21 you've been doing.

22 And before I turn it over to you, I'd like
23 to just let everyone know that our next presentation
24 in this series has been scheduled for Monday, January

1 13th, beginning at one o'clock.

2 Mr. Schulte, you may begin. Thank you.

3 MR. SCHULTE: Good afternoon, Chair Mitchell
4 and Commissioners. I'm Bob Schulte. I'm pleased and
5 honored to be here to talk to you about one of my
6 favorite topics in my consulting practice across the
7 United States - energy storage.

8 COMMISSIONER DUFFLEY: I'm not sure your mic
9 is on.

10 COMMISSIONER GRAY: Pull it towards you,
11 sir.

12 MR. SCHULTE: It's green. It is green. Is
13 that better?

14 CHAIR MITCHELL: Can you all hear in the
15 back of the room? Okay.

16 MR. SCHULTE: Here's what I'll be talking
17 about today -- here's what I'll be talking about
18 today, a brief overview of my firm and the background
19 that relates to what I'll be talking about. I will
20 introduce storage, will limit the topic some for
21 purposes of time and focus, will talk about grid-level
22 storage and distributed storage, talk about the drive
23 for 100 percent clean energy in various areas of the
24 country and how storage relates to that and doesn't so

1 far. And finally we'll end up in time available to do
2 a lighting round of frequently asked questions with
3 regard to storage.

4 About my firm, our executive management
5 consultants, our offices are here in Raleigh. We have
6 a lot of years in public and private utilities or
7 integrated resource planning types. I started as a
8 research planning engineer at Northern States Power
9 Company in Minneapolis. It's now called Xcel Energy
10 doing power plant planning, coal plants, things like
11 that. The Sherburne County, 800 MW Sherburne County
12 coal plant near Becker, Minnesota was my baby. It's
13 now been in service for 32 years. Where does the time
14 go?

15 Also our work is in -- has the inflection of
16 regulatory matters. Many years ago I was the boy,
17 Vice President of Corporate Strategy and Rates for
18 Northern States Power, so I was responsible for
19 development of the first Integrated Resource Plan in
20 Minnesota. After looking back over 25 years, I'm not
21 sure I should brag about or apologize for that yet.
22 And so we have a regulatory bent.

23 Later on, I was Vice President of Marketing
24 and Customer Service responsible for rate design. And

1 earlier than that I was Manager of Distribution
2 Engineering/Planning Construction Operations for the
3 Twin Cities of Minneapolis/St. Paul metropolitan area,
4 so if you want to talk about distribution types of
5 things and how storage relates to that, bring it.

6 So hopefully what we'll be able to do today is to give
7 you elements of storage that you'll be able to impress
8 your friends and scare your enemies a little bit as
9 the need may arise.

10 Some of our recent storage activities listed
11 here, I won't do them in detail, we're currently
12 working on project arrangements on a very large
13 storage project in Southern California. Actually, the
14 project in Utah using compressed-air energy storage or
15 CAES. You'll see this from time and again. 160 MW in
16 26 hours of storage. This is long-duration storage.
17 This is not batteries. Twenty-six hours.

18 Currently, we're doing work on the 2019 IRP
19 for Burbank Water and Power, the municipal utility in
20 Southern California next to Los Angeles. And it's
21 looking at replacing or did -- it's now before the
22 California Energy Commission, it's replacing its share
23 in coal unit with renewables and storage. That one
24 for Burbank is 54 MW 48 hours or 2,600 MWh.

1 I was reading over your comments in the Duke
2 IRPs and I found that I'm humbly here before you as a
3 time traveler from the future from a solar system
4 whose IRPs are ahead of yours in some of the topics
5 you're struggling with on storage, particularly
6 Burbank. We've already answered in the 2019 IRP some
7 of the issues that are being wrestled with within
8 your -- so I've got a CAES study, later I'll show you
9 how that relates and hopefully that will be helpful to
10 moving your progress forward.

11 We're doing a market assessment for storage
12 for an international technology company that shall go
13 unnamed. We've done a bunch of long-duration
14 compressed-air energy storage strategic studies for
15 replacement of the Intermountain Power Project coal
16 plant, 1,800 MW near Delta, Utah which is scheduled to
17 be retired in 2025 due to California climate change
18 law. And the question is how do you replace it? Do
19 you do natural gas which is the option du jour or do
20 you do it with storage and renewables instead? It's
21 up to 1,200 MW of storage 48 hours, 50,000 -- 57,000
22 MW of storage in a cycle.

23 We were co-author of Market and Tariff
24 Challenges to Grid Scale Electric Storage Enabling

1 Renewables in RTO ISO Markets. Monetizing storage for
2 a storage owner is really difficult in ISOs RTOs and
3 they're just beginning to realize what the issues are.

4 We did a Gregory County pumped hydro
5 feasibility study for a 1,200 MW pumped storage
6 facility, 26 hours of storage in central South Dakota.
7 We've got a meeting on that with the developer
8 tomorrow. And we were responsible for the due
9 diligence on a 270 MW Iowa stored energy park
10 installation near Des Moines years ago.

11 Just a little bit of perspective here.
12 We're all very interested in batteries and you're
13 going to see a lot of batteries in what I'm going to
14 talk about here today. According to GTM Research, the
15 total amount of stationary battery storage installed
16 in the United States last year, and we led the world,
17 the United States led the world in stationary battery
18 storage. I'm not talking cars. I'm talking about
19 stationary batteries. It was about 777 MWh and we're
20 probably going to double that this year; maybe 15 -
21 1,600 MWh of stationary storage.

22 The Utah compressed-air energy storage
23 projects that we're working on are the first phase is
24 4,000 MWh and an eventual 57,000 MWh. So I'm not

1 denigrating batteries here, I'm just highlighting
2 that. When you hear a lot about batteries, you're
3 only at the beginning of a very large growth curve in
4 the battery world that's coming.

5 About storage, so we all think of it as a
6 process of capturing and holding energy until a later
7 time when we need it and we can release it in a
8 controlled manner. And it's energy, conceptually
9 storage is all around us. It's in our batteries.
10 It's in our car gas tank. It's in our water towers.
11 It's in our water heaters. It's in coal. It's in
12 nuclear fuel. It's in our bodies in terms of energy
13 storage for us to operate every day. My personal
14 favorite example of energy storage is a cheeseburger
15 to get me through the day. Even electrostatic energy
16 storage in the clouds.

17 An important concept I want to emphasize
18 here today is, and I'll keep going back to it, is
19 storage is the act of creating time diversity, that
20 is, separating a moment of electricity production from
21 its use. And those differences in time is important
22 and they have value.

23 Our topics today we're -- things we're not
24 going to talk about is we're not going to be talking

1 about storage that involves storing electric energy
2 and regenerating -- well, we're going to be talking
3 about regenerating the stored energy as electricity,
4 but we're not going to include thermal energy storage.
5 So I'm not going to be talking about water heaters,
6 for example, where the end product is hot water or
7 cooling in commercial refrigerators and freezers or
8 swimming pool heaters.

9 Also at the request of staff I'm going to
10 limit the topics that I'm not going to be talking
11 about storage by customers behind the meter. It's a
12 whole other topic for a whole other day with its own
13 complexities and it's inevitable search to go from
14 retail out onto the wholesale market, which is a lot
15 of the traffic that you're seeing right now. I'm not
16 going to be talking about those. So we've got a lot
17 to talk about other than those types of topics.

18 Let's talk about grid level storage first of
19 all. There's lots of ways to store energy on the
20 grid. There's thermal energy like water heaters.
21 There's chemical energy like batteries or hydrogen.
22 There's electrostatic energy like supercapacitors.
23 There's spinning a heavy wheel on a shaft like a
24 flywheel. Gravity is a very major one. Moving a

1 massive object or a fluid to a height. An example is
2 pumped hydro storage, which -- which with you are
3 familiar already. And there's compressed gas, so
4 usually you're taking kinetic energy of some type like
5 a wind machine or photovoltaics and you changing it to
6 potential energy storage and you're bringing it back
7 in kinetic energy to rotate something.

8 The bulk storage on the electric grid is
9 typically located on the transmission system. It
10 often has multiple megawatts of capacity. It's
11 ability to store and generate for multiple hours. And
12 I'm going to draw a clear vision here between
13 long-duration storage which some things like the
14 pumped hydro and the compressed air, which I for
15 purposes of discussion is longer than eight to 10
16 hours, and as opposed to shorter-duration storage
17 where batteries dominate, one half hour or one hour.
18 Four-hour batteries are typical now in the utility
19 industry. Sometimes you see six-hours batteries, but
20 four hours is a pretty standard longest.

21 The dispatch authority varies, in fact, it's
22 an item of conversation and debate. In the organized
23 markets it's dispatched by the RTO or the ISO. And
24 the debate is going -- is ongoing, that is, who is

1 responsible for the state of charge? Is the ISO
2 supposed to keep track of how much is left in the
3 storage? Or is the owner supposed to keep track of
4 what's in the storage and thus -- and they bid it that
5 way. So that's a debate at FERC and elsewhere. The
6 dispatch authority in other areas say here in North
7 Carolina is the local Balancing Authority, the local
8 utility.

9 Here's a graph -- a popular graph by Energy
10 Information Administration showing the various types
11 of storage related to their capacity on the horizontal
12 axis and their duration of output and their discharge
13 time on the vertical axis. And in the top right
14 corner is the two classic long-duration options;
15 pumped storage hydro and compressed air.

16 I'm only going to talk about pumped storage
17 -- you're familiar with pumped hydro, but I'm going to
18 talk about it a little bit here today, because its use
19 elsewhere in the country is starting to change.
20 Originally installed mainly to support the nuclear
21 plants and giving them load at night to keep the
22 nuclear plants from having to cycle. And so the
23 nuclear plants can see a steady load all during the
24 day.

1 Now in places where the nuclear plants are
2 starting to retire, the operation of existing pumped
3 hydro facilities, which are still super useful
4 facilities, are changing. They're changing to store
5 the renewables, not the nuclear. So they're storing
6 at different times of day than they used to. Okay.
7 So I'm going to touch on that just so as an indication
8 of what the future holds for even existing pumped
9 storage projects.

10 I'm going to talk about pumped hydro and
11 compressed air, and then in the big blue circle, the
12 batteries here. I'm not going to talk about some of
13 the other more incidental storage technologies. We're
14 going to talk mainly about those big three. I'm going
15 to talk about lithium-ion batteries. There are other
16 battery technologies. There's lead acid like my old
17 DieHard battery in my Ford Mustang that used to start
18 the whole dormitory parking lot when it was three
19 below in Brookings, South Dakota. Everybody knew my
20 DieHard would start, and then we would jump-start
21 everyone else's car from there. So that was
22 lead-acid. Okay. It was very commonly used and still
23 used in the utilities and substations for -- as backup
24 to their controls and relays and things like that.

1 But mainly now it's lithium-ion and there
2 are other technologies that are out there and may --
3 coming like flow batteries that you hear about. But
4 the main leader in the clubhouse right here and now is
5 lithium-ion. So I'm not going to talk much about
6 battery chemistries. I'm going to talk about
7 lithium-ion, because that's where the activity is.

8 Most of the activity there in lithium-ion is
9 in cobalt and trying to minimize the amount of cobalt
10 that's in the lithium-ion batteries, because 60
11 percent of our cobalt comes from the democratic
12 country of Kongo and probably not a good place to
13 depend on a lot politically for a large portion of
14 your energy supply.

15 Talk about a lot about grid stability
16 concerns and there's a lot of words in the
17 Commission's comments on the Duke Progress and
18 Carolinas IRPs with regard to the topic of ancillary
19 services.

20 Now, I'm a little surprised to see ancillary
21 services talked about in an IRP. I'm from a
22 vertically integrated region of the country up in the
23 upper Midwest and much as you are here. And ancillary
24 services really hasn't been traditionally a topic in

1 IRPS. The IRPs you're dealing with providing enough
2 energy and capacity in bulk for the future, whereas,
3 ancillary services relates to the people in the
4 operating center that hour-by-hour, day-by-day are
5 balancing the load and the generation that happens.

6 So typically these are really two different
7 departments in a utility, and we leave those operation
8 people; they do their magic, okay, balancing those
9 things minute-by-minute. All right. So the balance
10 here is load and generation. If the load is too high
11 relative to generation, the system, that is the
12 frequency, slows down. All the generators in a micro
13 sense go vrrrrrrrrrrrr (sounds like an engine) and they
14 slow down just a little bit and the frequency, that 60
15 cycles -- 60 cycles per second, that's 60 Hz that's in
16 the lights, in these outlets in your home that's
17 determining how fast your clock runs at home and in
18 your business that frequency lags a little bit if the
19 load gets bigger than the generation.

20 So the system operator's assignment going
21 back decades is to keep that balance happening. So
22 whenever someone turns on a switch someplace,
23 somewhere far away a governor on a coal unit or some
24 other unit just opens up just a little bit. Okay.

1 And juices up the generation just a little bit. To
2 again, to maintain that balance and that balance is
3 moving around all the time, is moving up and down, and
4 it's not perfect all the time. Its load is changing
5 all the time, people turning things on and off all the
6 time. For example, air conditioners cycling on and
7 off. Okay. So this is an ongoing dance, this balance
8 to keep the system frequency constant at that 60 Hz.

9 Sometimes it'll get out of range for a
10 little while and all of the utilities will get
11 together and they'll decide, oh, we're too far behind
12 in the frequency, we have a frequency deficit for a
13 while, so we're going to do a time correction, and
14 they'll goose their generators just a little bit to
15 speed the frequency up and it'll bring all your clocks
16 at home and in your commercial businesses back up to
17 where they should be in exact standard time. It feels
18 a little big brother, doesn't it, but it's -- it's
19 been happening quietly in the utility industry for
20 many, many years.

21 So that brings up the conversation of ancillary
22 services. Particularly now as we add more renewables,
23 it adds more difficulty in maintaining the load and
24 generation balance, because the renewables on the

1 generation side themselves are variant. Clouds are
2 going over. The wind is variant. And so there's
3 volatility in the output of the renewables, which --
4 and we're trying to get more and more penetration of
5 renewables.

6 So ancillary services include frequency
7 regulation. That's the very short intermittent making
8 adjustments to the frequency as you go along. Ramping
9 up and down. That is when the sun goes down and the
10 solar reduction -- the solar output reduces
11 dramatically, then the other sources have to ramp
12 upward to accommodate for that. Okay. They've been
13 ramping up and down for years at the beginning of the
14 day when people start their day or when businesses
15 end, so utilities are used to ramping up and down, but
16 now you add ramping requirements driven by the energy
17 source, and particularly solar at the beginning and
18 end of the day. That's the so-called California duck
19 curve we'll talk about briefly.

20 There's operating reserves. That is
21 utilities carry so much of their reserves that are
22 spinning in their generating plants, they hold back,
23 they're not all running flat out, because they all
24 have responsibility to keep some reserves holding back

1 spinning in case they lose a generating facility and
2 those then held back megawatts can then cycle quickly
3 and ramp up to pick up the difference. And then
4 there's non-spinning reserves where it's got a
5 10-minute start time. And then there's black start --
6 black start capabilities now.

7 We're talking more about ancillary services
8 today, because we're talking more about adding
9 renewables and the volatility. So that's why and I
10 did a word search on the Duke IRPs, each of them,
11 there's five or seven hits on the words "ancillary
12 services" in 280 pages, mostly talking about ancillary
13 services in the context of the renewables are causing
14 the need for cause for doing ancillary services.

15 The other item that I notice that's
16 different from what I'm used to is apparently an
17 interest of potentially having third parties provide
18 ancillary services capabilities. Like if they own
19 batteries, can they do value stacking and receive some
20 monetization of that. So that's where the ancillary
21 services comes from.

22 Now, reading those over, it occurred to me
23 that the Burbank, for example, Water and Power IRP
24 that I'll show you in a little bit had some answers on

1 how to address those types of things.

2 Bulk storage can also provide multiple
3 services. Just a little bit of a complex diagram from
4 Rocky Mountain Institute, but depending on if you're a
5 utility at the bottom here at the blue arc, it can be
6 a distribution deferral or transmission deferral or a
7 resource adequacy. If you're ISO and RTO, services in
8 the green, you can get spin and non-spin reserve
9 frequency regulation, those ancillary services I talk
10 about. And if you're on the customer side in orange,
11 you can use it for backup power, a demand charge
12 reduction and a time of use bill management and
13 others. So depending on who you are, the bulk storage
14 could provide different services.

15 Just to provide a contrast, I did a pros and
16 cons table of the pumped hydro and CAES and batteries.
17 I won't go over in detail, but the pumped hydro and
18 CAES's benefit -- have benefits. So their pros are
19 long duration. They have economies of scale. They're
20 lower cost per unit of kilowatt hour stored. And they
21 have a long lifetime. And the flip side, batteries
22 have little environmental site impact. You can put
23 them nearly anywhere. They're flexible and modular.
24 They're very fast rampers up and down. No greenhouse

1 gas emissions. No moving parts. Little higher in
2 cost per kilowatt hour storage, we'll show in a
3 moment.

4 Capital cost. Let's create -- let's compare
5 the long-duration storage alternatives with batteries
6 for example. And we all know pumped hydro has a
7 reputation like a cost per kilowatt. This is
8 installed cost, not capital cost on the right-hand
9 column of this chart. For the Gregory County project,
10 it would be \$3,000 a kW for a 1,200 MW unit.

11 The studies of CAES that we're doing,
12 compressed-air storage, this is 26 to 48 hours of
13 storage; still have significant capital cost.

14 Now, the batteries at the bottom,
15 lithium-ion from the Burbank IRP is four hour, one
16 hour, or half hour batteries from top to bottom, \$580
17 kW, 381 to 231. These are including the declines in
18 battery cost that are happening now. These are
19 mid-2025 types of costs. And so I look at this and go
20 wow, why would anybody do a long-duration storage.
21 Look how expensive they are compared to the batteries.
22 Okay. But that's not the whole story.

23 If you add the right-hand side of the chart
24 that's on your paper version here and you look at the

1 duration, the pumped hydro can have 26 hours in this
2 example, compressed air can be 28 to 48 hours compared
3 to the shorter-durations of batteries. So if you look
4 at dollars, capital cost per-kilowatt-hour stored, the
5 answer flips the other direction. That is the
6 long-duration storage technologies have the cost
7 advantage. Okay. That's why there's interest in
8 them. That's why we go through the problem of
9 environmental concerns on some of them, and versus the
10 batteries that come out longer.

11 Now, also the nominal lifetime of these
12 technologies are different. I mean, this is -- I'm in
13 the fine print now when you look at batteries, for
14 example, and I'm a big proponent of batteries, but I'm
15 also in favor of let's do batteries eyes wide open
16 with the application. All right. Okay.

17 The nominal lifetime of some of these
18 long-duration projects, storage projects, are 30 to 50
19 years and the published lifetime for batteries is 15
20 to 20. Okay. So right there you're looking at and
21 comparing things, you're going to have to replace the
22 batteries in the lifetime of doing the long-term
23 storage. But it gets even more so; you find that when
24 you start using the batteries, the cells have to be

1 replaced during their lifetime. In the Burbank IRP
2 we're replacing half the cells every five years, which
3 means you're buying twice the batteries during the
4 lifetime than the initial installation cost implies.
5 And then also if you try them for long -- try to use
6 them for long duration, which some press articles
7 recently have done, okay -- oh, you can replace -- you
8 can replace peaker units with four-hour batteries.
9 No, you can't. Okay. They're not a one-for-one.
10 Okay. If you use battery -- batteries, four-hour
11 batteries, are lower reliability than a peaker unit --
12 a megawatt of peaker unit, so you may need twice the
13 number of batteries, four-hour batteries, to be equal
14 in reliability in resource adequacy and peak demand
15 adequacy than a peaker plant. So again, we're going to
16 be doing a lot of batteries, but to lose them -- let's
17 use them for the right application and in the right
18 way to get the lowest cost for customers.
19 Grid storage and distributed storage are
20 complimentary. People keep saying oh, which is
21 better, distributed storage? Should we do distributed
22 storage or should we do grid-level storage? And the
23 answer to that is they're not mutually exclusive.
24 Okay. Both of them could help result in lower cost

1 for customers and better reliability. So for purposes
2 of reliability, they can and should be used together.

3 I'm going to talk briefly about pumped
4 storage. You know about pumped storage already. You
5 already have it. But in the context of how the
6 changes are happening now with renewables in other
7 portions of the country. And this is the simple
8 diagram pumped storage, get us all on the same base.
9 It involves taking water from a lower level, you pump
10 it up a hill to a higher reservoir, and then later you
11 wait, and then you bring it back, let gravity bring it
12 back down, you run it through the generator to
13 regenerate the energy. Pretty familiar with that.

14 We're working on a project in central South
15 Dakota called Gregory County. It's on the Missouri
16 River. And this is a graph of a wind speed map of the
17 United States. The bright colors are high wind speeds
18 and the lighter colors are low wind speeds. And the
19 blue dots are -- on this map are where all the other
20 pumped -- existing pumped storage projects are now.

21 Pop quiz. What were the existing pumped
22 storage projects not designed to do? Well, they
23 weren't designed to integrate renewable energy
24 originally. They were -- originally, most of them

1 were designed to accommodate the nuclear plants and
2 giving them load at night and keep the nuclear plants
3 running originally.

4 So this is an example of using bulk storage
5 for renewables. And here's an artist's conception of
6 what that might look like. It's an existing lake on
7 the Missouri River called Lake Francis Case behind the
8 existing dam and you build a reservoir up on the
9 bluffs and you surround it with wind machines. I'm
10 from central South Dakota. I'm a prairie boy.
11 There's plenty of room there to put wind machines
12 right up smack against that reservoir.

13 Here's where the fun happens. This chart --
14 this chart, the green is the hourly, a year's worth of
15 megawatt readings for a South Dakota wind farm in
16 central South Dakota. Okay. And you squint your eyes
17 a little bit you see it's a little thready in the
18 summer and a little thicker in the spring and the
19 fall. And if you take those hourly values and you put
20 them in order of their magnitude you get what the
21 resource planner calls an output duration curve.
22 Okay. And what this tells you is the probability that
23 that wind farm is going to be at any particular output
24 at any particular time, and how long.

1 And way on the right here where I'm at one
2 per unit, the peak of the farm, it's not at that peak
3 very often. The peak output of the installed
4 megawatts of wind farm don't happen very often. That
5 eats up transmission cost and capacity. You build for
6 it. Okay. But it doesn't if you store it instead,
7 okay, and you use the storage to use it later. So for
8 those who like output curve, duration curves, and who
9 don't -- who doesn't, you notice that most of the
10 energy of a wind farm is in the lower half of its
11 output curve and the lower half of its wind speeds.
12 In this case 73 percent is in the lower half. And so
13 our target is to store the upper part of the curve and
14 not build transmission for it and use the storage
15 instead.

16 Long-duration storage, however you do it,
17 can integrate more renewables than say a conventional
18 combined cycle gas turbine for the same amount of
19 outlet transmission, and we're using this concept in
20 the upper Midwest and we're using it in Utah.

21 Here's an example. Suppose you have a
22 limited amount of outlet transmission, and you always
23 do. Your outlet transmission is always limited.
24 That's the dotted line across here. And you put so

1 much wind capacity on that as outlet to use that
2 transmission to get to load, that's the green bar.

3 Now, typically what's done to integrate that
4 is you use a combined-cycle gas turbine, a
5 simple-cycle gas turbine, or even a battery of a
6 similar amount of capacity to integrate that amount of
7 wind. Okay. When the wind blows, the combined-cycle
8 unit is silent. When the wind is not blowing and
9 customers need it, the combined cycle operates. This
10 is called in MISO where I'm from net-zero
11 configuration. There are generating units in the upper
12 Midwest that have operating agreements with the wind
13 farms on the same transmission lines where they will
14 not operate at the same time. They're sharing the
15 transmission outlet. Okay. So that's what we're used
16 to thinking about when we think about using batteries
17 or just about anything else to integrate renewables.
18 Doing it with long-duration storage is really
19 different. You might have the same amount of
20 generation in your long-duration storage or you can
21 put a lot more wind machines in this example, a lot
22 more wind capacity on that transmission line. In fact
23 in the studies that we're doing for various clients
24 we're super-sizing the wind capacity compared to what

1 the outlet transmission can handle.

2 And how do we do that? That sounds kind of
3 nuts. Well, when the wind gets too uppity during that
4 narrower part of their output curve, okay, a lot of
5 the time you pump and you store that excess and you
6 bring her back later. Okay. So this is -- this is
7 storage as a transmission asset. Don't be confused
8 that it's got a generator on it. Okay. It's actual
9 application is a transmission asset, because the
10 storage is protecting the transmission line from
11 overload and it's avoiding the need to build more
12 transmission to build to the peak of the installed
13 capacity of the wind. Storage as a transmission
14 asset.

15 So bottom line, finishing up on this CAES
16 study results, 2,400 MW of high capacity wind, 1,200
17 MW of outlet transmission, and it costs less than a
18 combined-cycle alternative and it produces more energy
19 in that it's a baseload near renewable generation
20 resource, the combination of the two.

21 You see other -- stepping away from pumped
22 storage, there are other ways to use heavy things.
23 And so in the news this week I noticed a scholarly
24 paper on this technology, and that is in the search

1 for cheaper, longer energy storage, mountain gravity
2 could eventually top lithium-ion. Okay. Let's
3 consider this for a little bit.

4 The concept goes like this. You build 50
5 ski lifts up and down a mountain. Fifty ski lifts is
6 the example. Each one has a container that can carry
7 2,000 pounds of sand. Okay. The moral equivalent of
8 a Cadillac Escalade. And the stored energy then
9 you -- when electricity is cheap and plentiful, then
10 you run all the ski lifts and you run all the sand,
11 all the Escalades up the hill to the top of the
12 mountain. Okay. Now, you've got all that weight at
13 the top of the mountain, right? And so when you need
14 it, then you reverse the process and you've got
15 generators on the ski lifts at the top and you lower
16 the buckets of sand all the way back down the mountain
17 or the Escalades, all 50 of them. And if you do that,
18 you can get 5 MW of stored energy out of it.

19 With all respect I don't know as we're going
20 to see 50 ski lifts up and down the Carolina -- the
21 mountains in Carolina to get 5 MW but watch yourself
22 when people have scholarly well-meaning approaches to
23 long-term storage.

24 Compressed-air energy storage and I say

1 this, I don't know if there's a lot of -- there might
2 be some locations you could do compressed air in North
3 Carolina, but I'm doing this just to illustrate
4 another application of storage with regard to
5 renewables. And what CAES is is you take electricity
6 when it's plentiful, say when the wind is over
7 producing and solar is over producing, and you run
8 that through an electric motor and it compresses air
9 and the compressed air is then put into an underground
10 storage cavern. It can be brined out of salt. It can
11 be cut out of stone. It can be an empty mine, an
12 abandoned mine shaft for example. It can be an
13 aquifer that's filled with water and create a bubble
14 in it. And then you store it there until later on
15 when the electricity is needed. Then you bring the
16 compressed air back up. You add some natural gas and
17 you regenerate that through a turbo expander to get it
18 back on the -- back on the grid.

19 This is the subject of a article in the
20 *Power Engineering* magazine about our activities. The
21 cover story in fact not too long ago. And this is an
22 application for -- of the Utah CAES project. A use of
23 storage to replace an existing coal-fired power plant
24 that's about to be retired.

1 And it goes like this. It starts with 3,000
2 MW wind field in Wyoming. Okay. And this could be
3 solar, but this is what we're using an example. This
4 could be the Range Wind Farm in southeastern Wyoming.
5 It could be the Anschutz Wind Farm, Chokecherry,
6 Sierra Madre, 3,000 MW in Wyoming. And then it's
7 taken by high-voltage direct current line which is
8 proposed, it could be the Duke, the ATC-Zephyr line
9 that's been proposed, the partnership that Duke has
10 with ATC Transmission, or it could be the Anschutz
11 TransWest Express Line from Wyoming to Delta, Utah,
12 and there at Delta, Utah is the 1,800 MW coal unit
13 that's due to be replaced. The option du jour is to
14 put a gas plant there. The alternative option that
15 we've been working on is to do storage with those
16 renewables instead.

17 The red line is existing. The HVDC line to
18 Southern California that now takes the baseload upward
19 to that coal plant to Los Angeles, my client Burbank,
20 Glendale, Riverside, Anaheim, the Southern California
21 Municipal Utilities who have to be out of their deal
22 with the coal plant by 2027 due to California climate
23 change law, and they decided to move it up to 2025.
24 So what to do to replace -- to replace that coal

1 plant?

2 We've did a -- we've done a number of
3 studies using AVB's grid view, Dr. Jing Jiang Zhu, my
4 colleague at NC State campus did the studies for
5 Burbank and the Western Electricity Coordinating
6 Council on this option.

7 Here's how this one goes and this is kind of
8 fun. This is -- at the top these green lines is what
9 3,000 MW of Wyoming wind looks like over a year. And
10 down way down at the bottom there's 300 MW in the blue
11 and the red are 300 MW of existing wind there at Delta
12 that needs to be accommodated. And using the storage,
13 we're going to pack that 3,300 MW of wind down to a
14 2,400 MW DC line to Southern California where the duck
15 curve awaits. So in our modeling it's a mashup of
16 hourly output of wind from Wyoming and Utah as a
17 supply mashed up with the duck curve hour-by-hour
18 requirements in Southern California. And the way we
19 do that is with the 1,200 MW of CAES using that peak
20 flipping chart that I showed you earlier. So that's
21 the basis of what we're doing.

22 I showed this chart at a financial gathering
23 a couple of months ago and people asked me is that
24 really what the CAES storage units look like and I had

1 to admit that no, those are my brother Gale
2 Vanderworth's soybean bins in South Dakota. But the
3 concept is the same, right? You take a commodity when
4 it isn't worth much like brother Gale harvests his
5 soybeans when everybody is harvesting their soybeans
6 and the market price is like zip relatively speaking.
7 And so over the years, his 35 years on the farm he's
8 built these bins and he puts his soybeans in there and
9 he waits. Okay. He waits until everybody else's bins
10 are empty. He waits until the harvest is over and he
11 brings it back when the price is higher. Okay. And
12 that price differential pays for the storage and makes
13 it worthwhile to do. So your common sense applies.

14 So the CAES study results showed that a
15 storage of wind combination would deliver more annual
16 energy than the Legacy 1,800 MW coal plant, be
17 dramatically reduced greenhouse gas emissions, and it
18 would cost less than the natural gas-fired
19 combined-cycle addition and even the existing IPP coal
20 plants, so put aside the idea that storage and
21 renewables is going to cost us a bunch more money.
22 The days are here the cost of renewables and storage
23 and stuff is these things are doable and cost
24 effectively as well.

1 CAES study Burbank Water and Power --

2 COMMISSIONER CLODFELTER: Mr. Schulte,
3 before you go to the Burbank study, a technology
4 question. Is it feasible to do any sort of
5 above-ground structures to store compressed air or --
6 I mean, we are not a state that's very rich in
7 below-ground opportunities, so is that technology
8 really available to us?

9 MR. SCHULTE: The answer -- Commissioner,
10 the answer to your question is, yes, it's possible to
11 build metal tanks, for example, to store it. The cost
12 of -- the cost of the metal tanks is pretty high
13 compared to the alternative, but yeah. If you've got
14 some abandoned mines, for example, that's an option,
15 but otherwise, no.

16 I'm more showing you this as the
17 long-duration storage options that are being used as
18 alternatives to coal plants elsewhere rather than
19 necessarily an option for North Carolina.

20 COMMISSIONER CLODFELTER: Actually it just
21 occurred to me we do have an awful lot of abandoned
22 gold mines in Charlotte.

23 MR. SCHULTE: Something to be looked at.
24 The Burbank Water and Power Integrated Resource Plan

1 strikes more closely to some of the issues that you
2 are facing here in your process. My firm, Schulte
3 Associates, was the coordinator of this plan. Burbank
4 is a modest size municipal utility in Southern
5 California. They are 320 MW peak demand. They're
6 Located in the Los Angeles Department of Water and
7 Power balancing area. They're operated like a
8 vertically integrated utility. Okay. They're not
9 CAISO. They're not the ISO. They're -- so they look
10 like -- they look like more like North Carolina than
11 they do PJM for example. They're one of the 16
12 largest municipal utilities in California that had to
13 develop and submit an IRP to the California Energy
14 Commission for the first time in 2019.

15 The State of California is getting their
16 arms around the municipal utilities and their
17 Integrated Resource Planning processes. And they did
18 that with the investor owns long ago. The California
19 Public Utilities Commission has that responsibility,
20 but the Energy Commission now is promulgating IRP
21 activities with the utilities. And the highlights are
22 proposing to share -- replace their share in the coal
23 unit to retire in '25 with the combinations of
24 renewables and energy storage. It could be CAES or it

1 could be batteries as you'll see in a moment. Again,
2 it's a transition from coal to energy efficiency,
3 renewables, and storage.

4 Now, this next chart is a little
5 complicated. The left-hand side is just showing you
6 we looked at maybe 26 or 30 different scenarios of
7 different combinations to replace the coal unit. But
8 on the right-hand side were the leading three
9 least-cost options and those turned out to be
10 combinations of Wyoming wind, Utah solar, and CAES, or
11 Wyoming wind, Utah solar, and four-hour batteries, or
12 Wyoming wind, Utah solar, and internal combustion
13 engines like Wärtsiläs. Okay. Really fast ramping.
14 Super- efficient modern. Looks like a diesel. Okay.

15 My dad was the head of the utility in South
16 Dakota. I grew up in a diesel plant. Okay. These
17 look very familiar. Okay. But these all came out --
18 came out really, really similar.

19 Some results were a 68 percent RPS by the
20 end of the planning period. Okay. We were -- by
21 California law we were shooting about 60 percent by
22 2030, so this is a little different than your
23 situation. And we found that an RPS of 67 to 70
24 percent can be done with rate increases at or less

1 than the general rate of inflation. So Californians,
2 we got pressed to do this as an assumption and as it
3 comes out cost wise, liability wise this can be done.

4 Now, going the rest of the way as I'll talk
5 in a little bit, to 100 percent is a different matter.
6 Right. Sixty to 70 percent this can be done. And
7 87 percent greenhouse gas emissions reduction mainly
8 from the retirement of the IPP coal plant at the
9 beginning. And this emissions reduction is similar
10 throughout all of our scenarios of whatever we use to
11 replace it because we're using the same amount of
12 renewables in every one. That's where the greenhouse
13 gas emissions come in is from the renewables.

14 The results for the storage and renewable,
15 these are the lowest cost options that came out of our
16 optimization study, A, B, and C here, and the good
17 news was that these are present-value cost in 2019
18 dollars over the lifetime of the planning period. The
19 good news was the lowest cost options were all pretty
20 similar in cost, which gives us some steerage room,
21 some water over the rudder in case of as we procure
22 these things we get a bump in the road then we can
23 change something and we're still going to be pretty
24 much -- but A was CAES and wind and solar, and B was

1 for our batteries and wind and solar, and C was
2 internal combustion engines and wind and solar.

3 Intermittency and then I'm kind of circling
4 the issues that you've got in your Duke IRPs here, but
5 intermittency was a big part of the discussion in the
6 IRP conversation in Burbank. Recall we're going for
7 60 percent renewables. And their intermittency in the
8 renewables driving what a portion of our resource mix
9 needs to be.

10 Let's take solar as an example. On this
11 grid the blue line is what we would expect
12 hour-by-hour during a solar day would be the output of
13 your solar farm. The dotted line is on a moderately
14 cloudy day. Bumps around. Okay. The system
15 operators have a busier day keeping that balance for
16 the frequency between load and generation on a day
17 like this. And then cloudy is just -- it's just more
18 reduced.

19 So in our modeling, and again, this is a
20 complicated chart. I'll tell you what's the important
21 part to look at. This is the -- a curve of a day in I
22 believe April and the blue line, the top one, is the
23 customer load for the day. The yellow line is say the
24 pattern of a solar farm. The blue-green line is the

1 output of a wind machine on that particular -- of a
2 wind farm on that particular day. Notice how it's
3 bouncing around. And then down there in the brown
4 line is the net after the solar farm and the wind is
5 subtracted from the total load and you get what the
6 net load is what the rest of their generators have to
7 deal with.

8 And the bottom line is what the poor system
9 operators have to deal with. That's called area
10 control error. That is the error between their -- how
11 well their load and their generation matches. I want
12 to focus your attention on that bottom kind of cryptic
13 thing there. The area control error, it's bouncing
14 all over the place minute-by-minute. This is where
15 the ancillary services conversation comes from. How
16 do you smooth out that area control error so you keep
17 your operation within National Electric Reliability
18 Council requirements and regional requirements for
19 keeping your system in balance? And each utility has
20 that responsibility to keep their operation in
21 balance.

22 And what we did in the Burbank IRP and with
23 our modeling vendor is they are able to model that
24 jiggly volatility day-by-day of the solar and wind

1 farms and they're able to match up how much fast
2 ramping half-hour or one-hour batteries you need to
3 make that area control error more manageable and
4 flatter. And so as an output of our modeling efforts
5 we knew how much, and I'll show you how much in a
6 little bit, we knew how much fast batteries we needed
7 to deal with the volatility of the output of our
8 renewables.

9 This is something new. I've been doing IRPs
10 for a lot of years, I've been through a lot of models.
11 I didn't see the model that did this before honestly
12 speaking. And as I went around in conversations with
13 the other 15 municipal utilities in California, they
14 hadn't see it either. Okay. So we were -- happened
15 to be fortunate to get a modeling vendor that had a
16 model to be able to do that. So I'm here to testify
17 literally that those models are out there. Okay.
18 That can tell you how to deal -- how much batteries
19 you need and what kind to deal with this volatility.
20 And this isn't an intermittent type. This is
21 frequency regulation going on here. Okay. Good
22 application for batteries.

23 Also in our modeling we had -- also related
24 to ancillary services we had the California duck

1 curve, and I presume that you're all familiar with
2 this, but in case for those in the audience who aren't
3 this is a CAISO chart and it's a little complicated,
4 but the top line in the middle is what the demand
5 shape -- this is an hourly demand curve for California
6 CAISO. And the top line to the middle, the blue, is
7 what the demand looked like for decades. Okay. The
8 load starts a little low in the morning. It's a
9 little higher during the business day. It peaks a
10 little bit when everyone gets home and turns on their
11 air conditioners and gets home at night and cooks
12 dinner, turns on TV, and then it declines again.
13 Okay.

14 But now the challenge as California adds
15 more and more solar -- has more and more solar, that
16 solar which is non-dispatchable is starting to carve
17 out that load curve as seen by the rest of the
18 generation system in California. And every year
19 they've out paced what they thought the impact would
20 be and more and more because they've got what, maybe
21 13,000 MW of installed solar now, which means at the
22 beginning of the day when the sun comes up and all of
23 the solar starts kicking in and it's starting
24 decreasing the -- decreasing the load observed by the

1 system operators by the utilities, and so there's a
2 big ramp down it's called in the morning -- the
3 morning side of the shape -- as the sun comes up and
4 the solar kicks in. So they're taking generation off
5 line as fast as they can go in the morning as the sun
6 comes up. Okay.

7 And then it gets to the bottom of what's
8 called the duck curve so called because it takes on
9 the shape of a duck. Okay. Again, my apologize -- my
10 apologies to those who are familiar with this already.
11 But then when the sun starts going down at the end of
12 the day, the challenge reverses, that is, the sun is
13 going down, the solar output starts going down, and
14 all the non-solar generating units, all the natural
15 gas plants primarily in California -- they don't have
16 nukes anymore -- has to make up the difference. And
17 they have to ramp like crazy. Okay.

18 They have had some 13,000 ramps in an hour
19 or two in California. This is excitement in the
20 control -- control rooms. Okay. And this is getting
21 deeper and deeper as the solar gets more and more.
22 California is at what? Maybe 30 percent, 33 percent
23 RPS now and it's going to double over the next 10
24 years. Okay.

1 So part of the role for storage here and a
2 lot of what you hear for four-hour battery storage is
3 that peak in the evening is ideal if you stored --
4 charged up your four-hour batteries during the day,
5 then you discharge them during that peak part of the
6 duck head at night. Okay. And so when you hear about
7 four-hour battery storage, that's a lot of where the
8 interest is coming from. It's from California and the
9 duck curve.

10 In the IRP for Burbank instance we had --
11 depending on the scenario we had various instances of
12 four-hour batteries. We had 113 MW of four-hour
13 batteries where we were using that to replace with
14 renewables, replace the coal unit, and also in some
15 other -- up to 113 MW, 50 in some other applications.
16 But the main story that I want to highlight here today
17 is the ancillary batteries. Every one of the
18 scenarios showed needs because of that volatility
19 effect of 80 to 100 MW of up to one-hour batteries.
20 This is in a utility with a 320 MW peak. So a third
21 of their peak demand in fast batteries to deal with
22 volatility of renewables. Again, this is in a 60 to
23 70 MW RPS situation, but I'm here to say as we add
24 renewables, there's going to be a lot of fast

1 batteries needed just to help us with the volatility.
2 Distributed storage moving away off --

3 COMMISSIONER CLODFELTER: May I ask you a
4 question about that slide, no. 45?

5 MR. SCHULTE: Yes, sir.

6 COMMISSIONER CLODFELTER: So I'm looking at
7 portfolio number 3 which has the RICE units at 51 MW.

8 MR. SCHULTE: Yes.

9 COMMISSIONER CLODFELTER: It also though has
10 one of the highest needs for ancillary batteries. I
11 would've -- I guess maybe I don't understand how the
12 RICE units are being used in that portfolio. But I
13 would've thought they would've reduced the number of
14 ancillary batteries needed.

15 MR. SCHULTE: The internal combustion units,
16 the ICE units --

17 COMMISSIONER CLODFELTER: Yes.

18 MR. SCHULTE: -- ramp really fast and
19 they're really good --

20 COMMISSIONER CLODFELTER: Right.

21 MR. SCHULTE: -- they're really good at
22 ramp --

23 COMMISSIONER CLODFELTER: Right.

24 MR. SCHULTE: -- increment decrement up and

1 down.

2 COMMISSIONER CLODFELTER: Right.

3 MR. SCHULTE: The batteries beat them at
4 just a raw speed of the intermittent -- inter-minute,
5 the super fast frequency regulation types of activity.
6 So that's how that came out is the batteries were
7 superior to the ICE units in that portion of the
8 application. But otherwise the ICE units were
9 terrific rampers.

10 COMMISSIONER CLODFELTER: So they were being
11 used in that portfolio for ramping and the batteries
12 were being used for frequency regulation?

13 MR. SCHULTE: Yes. Primarily. Yeah. They
14 had separate roles that ICE units were doing the
15 ramping and the batteries were doing the frequency
16 regulation.

17 COMMISSIONER CLODFELTER: Okay. Thank you.

18 MR. SCHULTE: Thank you for that question.
19 A little bit about distributed storage. Let's go on
20 the distribution side just for a moment and there's
21 two pieces of distributed storage. There's front of
22 the meter for a substation. Could be a substation end
23 and a customer end. I'm not talking about behind the
24 meter per the -- per our limit of our topics here

1 today.

2 And here's just an example. Here's an
3 electrical engineering one-line diagram of a
4 distribution operation. The blue line is a
5 distribution feeder to customers. This little disc
6 here is the substation breaker to the feeder. You
7 have the transmission system out here outside the
8 distribution substation. You got a switch from the
9 transmission systems. You've got a breaker and you
10 have end with a doff the hat to my -- I'm a
11 grandfather and to my grandson this is a Transformer
12 here in the distribution substation.

13 So what you do to do storage in the
14 substation is you might have a solar facility there at
15 the substation. You've got their inverter and the
16 transformer that goes to the bus work for -- in the
17 distribution substation, and you might have some
18 battery storage tied to that same inverter. And the
19 reasons you might do that is so this could be utility
20 rate based and the benefits makes it more reliable.
21 It could be a capacity energy source. It could be
22 transmission deferral, that is it could make the
23 distribution substation look smaller load-wise to the
24 transmission system. You could defer increasing the

1 size of the distribution transformer. Okay. Again,
2 because it makes the load on all the feeders look
3 smaller. Okay. Because you're generating at an
4 appropriate time. So that's one application on the
5 substation end in front of the -- front of the meter
6 storage.

7 Going to the other end literally you could
8 have a solar installation at the customer -- at the
9 end of the customer meter. Might be the customer's
10 own solar. And you might have storage there, which
11 then makes that type of installation more reliable.
12 So it might be totally rate based. Must be a customer
13 contribution to do this. I mean, it might be for a
14 very particular reliability sensitive customer or
15 environmentally sensitive customer. The reliability
16 customer that needs higher level reliabilities and
17 they'll pay a contribution to do that. Okay. So it
18 protects the nonparticipating utility customer. Okay.

19 And so the benefits, again, are reliability
20 particularly for a particular customer potentially.
21 It could be a capacity energy source. It could be
22 transmission deferral. It could help the sub defer
23 the distribution substation installation or having to
24 increase it. It could defer investments in the

1 distribution feeder itself, because again, you're
2 lowering the load as seen by the feeder from the
3 substation, the customer.

4 So some conclusions for distribution is it's
5 typically Utility asset that's rate based. It could
6 be part of the utility's distribution or Integrated
7 Resource Plan. I took a lot of heat from my client in
8 Burbank when I wrote the outline for their Integrated
9 Resource Plan and included the distribution system in
10 it. Took a lot of heat.

11 What are you doing with distribution and the
12 supply -- supply Integrated Resource Plan? I said
13 well, your distribution department has -- is preparing
14 for widespread distributed energy resources, getting
15 ready to help manage those. They've got fiber
16 communications between all of their nodes so they can
17 help them do that. And they have set aside all of
18 their retired distribution substation sites for future
19 battery installations. I think they have a role in
20 your -- in your Integrated Resource Plan. And I had
21 to quietly smile when the California Energy Commission
22 this year in their review gave Burbank kudos for
23 including distribution in their resource plan. My
24 lips didn't even move.

1 It can be located at the substation end or
2 the feeder end. It could be a community-based solar
3 storage project. That's solar at the community and
4 that could be a community solar project or it could be
5 at either end of it. And the potential benefits are
6 reliability and so on I've already mentioned. Okay.
7 I'm going to move away now from grid-level storage and
8 distributed storage. Do we have any questions at that
9 point before I pivot to the next topic?

10 The next topic is a favorite of mine. Been
11 driven into it more or less in my practice. And the
12 drive for 100 percent clear energy and how can storage
13 get us there. Now, you may not have that on your
14 plate yet, but we've got some lessons that are being
15 learned elsewhere in this drive that can be useful I
16 believe to this Commission and to the State.

17 Hundred percent clean energy goals are
18 bandied about quite a bit. I use the term "clean
19 energy" rather than renewable energy. I'm from a
20 nuclear utility, right? Nuke is good, right? So a
21 hundred percent clean energy. The goal is not 100
22 percent renewable or clean energy as it's usually
23 represented, but it's to reduce greenhouse gas
24 emissions and however else we get there. All right.

1 So let's just be clear on the goal.

2 Many states have adopted 100 percent
3 renewable clean energy goals as shown on this table.
4 Some of them are in law. Some of them are in order.
5 Some of them were legislated in the past, but it had
6 not been signed yet. And you can see, you know, this
7 is just a current list off the line. And most of them
8 are aimed -- other than Washington, DC, most of them
9 are aimed to kind of the 2040 - 2050 timeframe. Okay.
10 My client's, the City Council of Burbank, after we
11 presented our 87 percent greenhouse gas reduction IRP
12 70 -- 67 - 70 percent RPS, our renewables IRP to them,
13 they said yeah, but why can't we get to a hundred
14 percent renewables today. Okay. So what you're about
15 to see is part of the answer that we developed to
16 that.

17 Oh, to mention clean energy goals, North
18 Carolina also has an Executive Order that represents
19 certain goals including reducing greenhouse gas
20 emissions 40 percent and other positive steps in
21 moving along that way, so it isn't that North Carolina
22 is being left behind here.

23 There are 141 cities so far that have
24 adopted 100 percent goals; Chapel Hill, Apex are in

1 there. Bless them. Okay. And that's growing.

2 And corporations are adopting 100 percent
3 clean energy goals. Google and Apple are now 100
4 percent "powered" -- I put that term in quotes for
5 reasons I'll describe in a moment -- by renewable
6 energy and more than 130 corporations have committed
7 to 100 percent clean energy via what's called the
8 RE100 Initiative including Anheuser-Busch, General
9 Motors, Nike, Ikea, and others.

10 So at a word about a hundred percent
11 renewable, and this is what we had to explain to the
12 City Council of Burbank after they had a lineup of
13 people that literally went out the door in the IRP who
14 said here's a listing of all the cities that are going
15 a hundred percent clean energy, why aren't we. Most
16 entities claiming to be 100 percent renewable and I'm
17 assuming all of you are aware of this, maybe some in
18 the audience are or are not, most of them are doing it
19 on the average. Okay. That is they're simply
20 procuring a quantity of renewable energy or RECs,
21 renewable energy credits from others, equivalent to
22 their annual energy use. Okay. They're not actually
23 trying to match it up with their energy use.

24 My colleagues in Northern States Power years

1 ago they had the Republican National Convention at the
2 Minneapolis Convention Center and Xcel Energy
3 announced that the convention center was a hundred
4 percent powered by renewable energy and I winced. I
5 was in private practice by then, had been for a number
6 of years. I had to call them up. I said I'm watching
7 the convention tonight and it's dark outside and the
8 wind isn't blowing, but the lights are clearly on in
9 the convention center. Where is that energy coming
10 from? And the answer was well, it's coming from our
11 other coal and nuclear plants. I said so how can you
12 say that it's a hundred percent powered by renewable
13 energy and they said well, we allocated enough energy
14 of our renewable energy to that activity. Besides
15 customers don't understand the difference.

16 Customers don't understand the difference.
17 They're going to about to have to need to understand
18 the difference, because renewable energy is not -- is
19 not dispatchable and it's intermittent. So
20 matching -- actually doing a hundred percent clean
21 energy renewable is going to be hour-by-hour something
22 totally different than just announcing that you've
23 bought enough RECs to serve your needs. And most of
24 the folks who are doing these, God bless them, okay,

1 they're either unaware of this difference or they're
2 ignoring this tiny challenge or they're assuming that
3 someone else is going to handle it. And those other
4 folks are going to be the utilities -- are going to
5 have to be the utilities that you regulate in large
6 form.

7 There are some utilities that have taken on
8 a hundred percent goals. Here's a listing of them.
9 These are just some examples. There are others. The
10 utilities certainly understand what a hundred percent
11 clean energy would really require.

12 In California, they had a 50 percent RPS
13 from Senate Bill 350 -- this is back in 2015 -- which
14 required the IRP process by the municipal utilities.
15 More recently, in the middle of our preparation of the
16 IRP they raised the bar. They went to a 60 percent
17 RPS by 2031 and a hundred percent zero carbon
18 electricity by 2045.

19 The City of Los Angeles is now studying
20 going a hundred percent clean energy in total and
21 hired NREL, retired NREL, super choice, to do what's
22 called the LA100 study to help them get there. I've
23 got some charts of theirs. They're kind of
24 illustrative.

1 And based on their experience a colleague
2 and I wrote an article for the Electricity Journal
3 this year called "100 Percent Clean Energy; The
4 California Conundrum," because they're about to be a
5 wash in the wealth of renewable energy that they're
6 planning to build and they do not currently have plans
7 of where to go with it. Bless them.

8 Los Angeles has hit the pause on a \$2.2
9 billion gas plant reinvestment to rebuild their three
10 big ocean-side natural gas plants with interest of
11 going renewables instead.

12 Another California muni after some really
13 bombastic city council meetings shelves their plan to
14 do a new natural gas plant in the city. This is the
15 City of Glendale, right next to my client, Burbank.
16 So they're now in the process of striving how to nix
17 their natural gas habit without letting the lights go
18 out. And the thought of going -- as a planner and as
19 a proponent for high levels of renewables and
20 replacing the coal plants as they are retired as they
21 age out, the thought of going a hundred percent
22 renewables and tossing out the natural gas plants
23 today terrifies me. We're still going to need some
24 natural gas, at least for a while, at least for

1 reliability sake.

2 Meanwhile the solar oversupply is growing in
3 California. And again, the point where in subsidized
4 solar where it's negatively priced and you have to pay
5 people to take it during certain hours of certain low
6 load days.

7 So why does California need something
8 different and why is there -- are they a learning lab,
9 again, for what we should be looking for in the future
10 and not wanting to do in the future? Let's do the
11 math. Okay. I'm a planner. Love the math.
12 California electric utilities annual load factor,
13 that's their average -- average load is about 50 to 55
14 percent. I would imagine North Carolina is probably
15 similar. The annual capacity factor of California
16 solar and wind is about 20 to 25 percent. A 60
17 percent RPS based on energy means California needs
18 installed renewable capacity that exceeds their annual
19 peak demand to get to 60 percent RPS. Okay. So they
20 will have enough installed renewables and if they're
21 all running, they'll be able to meet their peak demand
22 -- singular peak demand of the year with renewables.
23 All other days of the year when the sun is shining
24 they will be over generating big time.

1 And because they're a north to south
2 oriented state and I mention the term "time
3 diversity," there is no time -- there will be no time
4 diversity between their over generation. They're all
5 going to be in the same boat at the same time.
6 Here's what it looks like. At 60 percent RPS for a
7 Southern California utility. Okay. It's a
8 complicated chart, but what this is, this is the
9 hourly load and generation output in a week in April
10 in 2030 for well, this is Burbank. This is from our
11 modeling. And to simplify the complication here is
12 the black line that's running through the middle of
13 the chart is the load they have to serve. Okay. And
14 the yellow bars are the projected output of their
15 solar installation that they're going to have in their
16 IRP. And the green bars is the output of their wind
17 machines they're projected to have. They're out
18 because they have the -- they have the option of
19 having wind, a 70 to 30 percent wind and solar mix is
20 probably best for them. Okay.

21 Now, in the right-hand circle I will
22 highlight just as an example above the black line, the
23 green bars -- the yellow bars and green bars are
24 adding up to more than what their peak demand is in a

1 lot of hours. That is they're over generating. The
2 renewable energy is coming at them and it's more than
3 they can swallow.

4 But no problem. Okay. No problem
5 whatsoever. And this is a fallacy of utilities doing
6 their own IRP separately without talking to one
7 another. The model just assumes as models usually do
8 in the IRPs when you're over generating you have a
9 surplus you sell it to somebody else. Okay. You just
10 sell it off. Okay. Not the problem. That's how you
11 balance your too much renewables with not enough load.

12 So I had a little theory and I showed this
13 chart to my colleagues at a Southern California Public
14 Power Authority meeting. They were talking about IRPs
15 and I said and look how we anticipate Burbank is going
16 to be over generating at certain hours, but that's not
17 a problem, because we are going to sell our over
18 generation to you. That's what our model assumes.
19 And the room shuddered just as I was anticipating.
20 Their models are showing them the same thing and their
21 models are selling off their surplus to others -- us
22 -- and we're all in the same boat at the same time.
23 This is an issue that California hasn't dealt with yet
24 as we're going for high levels of renewables.

1 Let's make it even more fun. All right.
2 That wasn't enough. What happens at a hundred percent
3 RPS. Okay. That's what the goal is, right; a hundred
4 percent RPS. This is a chart during that same week in
5 2030 for the City of Burbank under the hypothetical
6 that they do a hundred percent RPS and they do it all
7 with solar. And the orange lines is the output of the
8 solar facilities that they need to get enough energy
9 to be at a hundred percent. A lot of the time -- and
10 this is in April now, it isn't as bad in the summer,
11 so I'm showing you more of a worst case situation
12 during the spring part of the year when the loads are
13 lower, but there are a lot of hours when they're
14 producing way more solar than they really need. And
15 then conversely at night there's no solar to serve the
16 load, and so you have capacity deficits. And we
17 produce this as an extreme, right? We're taking the
18 100 percent clean energy and you can't have fossil to
19 its extreme.

20 So this is extreme and the scale is
21 appropriate. If I did this and scaled it up and down
22 for Los Angeles, for Redding, for San Francisco, this
23 chart would be the same. And again, there's no place
24 for this over production to go. In fact, we've done

1 the math. There isn't enough load in the western
2 United States to handle the over generation that's
3 coming out of California. Okay. How to deal with
4 that?

5 Here's a chart from the Los Angeles LA100
6 study from NREL. And what this is is the economics of
7 the marginal cost of adding additional photovoltaics,
8 that's on the vertical scale, with a horizontal scale
9 as they go toward 100 percent renewable energy. And
10 there's a certain saturation point as shown in this
11 graph, starts around 60 percent, okay, incrementally,
12 and then gets really pronounced when you get to 80
13 percent where the marginal cost of adding more
14 photovoltaics goes asymptotic. That is it goes to
15 infinity. And why? Every incremental amount of solar
16 you added after a certain level gets wasted because it
17 doesn't apply to the customer demand. The pattern of
18 solar does not fit the pattern of customer needs.
19 Okay. So how to reconcile? How to reconcile those?
20 And their studies show four-hour batteries won't solve
21 this picture very much. They need something of longer
22 duration. So the conclusion is if we cannot sell over
23 generation to surrounding utilities, and their charts
24 look the same, find better ways of using renewable

1 energy or build more storage, this is a rough estimate
2 of what LADP would have to pay for PV.

3 I visited with my colleagues in Minneapolis
4 at Xcel Energy who are wind based, very good wind
5 resource. Okay. And I said okay, this is the picture
6 for Los Angeles and solar. You've got a hundred
7 percent renewable energy goal. What about this? And
8 they said we have the same graph. It's a little
9 different shaped, but we're north to south in MISO.
10 The wind passes through our region from west to east
11 and unless we find a different time diversified
12 renewable energy source, we're not going to get to a
13 hundred percent renewable energy. Stayed tuned on how
14 California will end up. That's what -- net energy
15 exchanges with somebody else somewhere else that has
16 time diversified renewables. It is one of the initial
17 conclusions of the LA study. They're still at work.

18 So what does that mean? I'll just take a
19 few minutes to introduce a not so off-the-wall concept
20 of virtual storage -- virtual storage. And it goes
21 like this. Again, it's a complicated chart. I'll
22 simplify it for you. This is from my friends at MISO.
23 Okay.

24 If you look at the regions of the United

1 States northeast, southeast, so on, Southern
2 California, there's very significant time diversity in
3 when they peak load. The load peaks here in Raleigh
4 at a lot different time than in Los Angeles. A lot
5 different time in Minneapolis than in Los Angeles for
6 example. Okay.

7 So the story goes if -- and everyone has
8 their own generation reserves to serve their own peak
9 load. Now, only if we could find a way to share our
10 generation reserves over longer distances than we did
11 before, then each of us can carry lower generation
12 reserves and I can depend on your reserves at certain
13 times when I'm peaking and you can depend on my
14 reserves when you're peaking at a different time.
15 Okay. This is a long-observed observation. This is
16 transmission 101 actually. What's transmission for?
17 It's to share generation reserves across regions.
18 Now, the thought is starting to go what if you go
19 inter-regionally with that idea.

20 NREL last summer completed a \$1.5 million
21 study called The Seam Study looking at this concept
22 and it involves using high-voltage direct current
23 transmission lines to connect the various regions and
24 the "seam" concept comes from the fact that the

1 eastern and western interconnections don't operate
2 together. They are asynchronous. Their 60 Hz don't
3 match up with each other. Okay. So in order to cross
4 the seam, if you want to get load generation diversity
5 from say Minneapolis to Los Angeles, you got to change
6 it to DC somewhere along the way.

7 There are seven -- in the number 2 chart
8 here there are seven little red bow ties today where
9 they have substation size installations where the
10 world goes from AC to DC for like from here to you and
11 then goes AC again. Okay. And those seven
12 installations are only about 200 MW each and most of
13 them are more than 20 years old.

14 So The Seam Study was looking at what do we
15 do to be able to jump over that seam with DC
16 transmission with various options. And so they
17 created a grid, an optimized grid situation with the
18 help of Iowa State University. And what would it mean
19 to build an overlay of HVDC transmission to move
20 generation reserves inter-regionally?

21 Two hundred charts later the conclusions
22 say, okay, a large scale national high-voltage direct
23 current transmission overlay with renewables would be
24 cost effective and by the end of the planning period

1 thousands of megawatts of additional renewables will
2 have installed. Most of the remaining Legacy coal
3 power plants will have been retired during that
4 timeframe. And we believe The Seam Study represents
5 the coming transition to clean energy enabled by HVDC.
6 This is something relatively new. Okay.

7 A week after The Seam Study was released, I
8 was there in Ames, Iowa when they did it. Our team
9 was on immediately after with the proposal for the
10 project that would be the first instantiation of The
11 Seam Study. DOE embargoed the entire Seam Study. You
12 can't find it anywhere. It doesn't exist. We've got
13 it in our files, but it doesn't exist. Crushed the
14 NREL team. Okay. And the reason why was that last
15 conclusion, most of the remaining Legacy coal power
16 plants will have been retired, gone away.

17 But the coal plants are aging out anyway,
18 right? I'm not a proponent of retiring coal plants,
19 but if I look say at the upper Midwest where I'm from
20 and look at their ages, they're all 35 to 50 years
21 old. Okay. That's going to happen. How are we going
22 to replace them is the topic.

23 And so we have developed a project -- and
24 I'm just using this as an example, because we believe

1 it has future application for North Carolina too if
2 you extend toward higher-level renewables, this again,
3 this was in Power Engineering magazine written by --
4 article by a colleague and myself.

5 And the short version of this is it starts
6 with that Wyoming to Utah to California process of
7 retiring a coal plant. It recognizes that there's a
8 similar HVDC project from wind fields, again wind
9 fields, to load from Iowa to Chicago. It's called the
10 SOO Green Project. And we are sponsoring proposing a
11 study on an interconnection called Power from the
12 Prairie where it would connect those together, the DC,
13 and potentially with grid-level storage in the middle.
14 And what this does in simple form is it enables
15 renewable energy swaps from one part of the country to
16 the other.

17 Let California go wild building their solar.
18 Okay. They're going to want to build it all in state.
19 Okay. We understand that. Where they want the labor
20 -- they want the work in California. Bless them. Do
21 it. Okay. But when they create their own wonderful
22 problem having too much solar, it has a place to go.
23 They ship it up the DC line and it can't just go to
24 Wyoming, because they'll have to spill the electrons

1 out on the ground. There's no load in Wyoming. But
2 continue on to places like Chicago and that's only
3 where the size of the load is big enough to deal with
4 the over generation they have in California.

5 So we are now in discussions with various
6 utilities of doing this type of concept, but this is
7 what we call virtual storage. That is, when you do
8 storage, you take your energy and you send it off to a
9 black box and it's gone away from you and later when
10 it's right, the energy comes back to you. Now, did
11 storage actually happen in the black box? Or did
12 whoever was in the black box used your renewable
13 energy and then they produced surplus renewable energy
14 of their own and they sent it back to you? Okay.
15 Minnesota Power is doing this now with Manitoba Hydro.
16 They send their wind energy to Manitoba Hydro. Does
17 Manitoba Hydro store it? No. But they over produce
18 in their hydro later and they send it back to Manitoba
19 virtual. Virtual storage. And we believe this has
20 big potential for dealing with and addressing the
21 hundred percent energy --

22 Oh, just as a little fun here. Here's part
23 of what fascinates us about long east to west
24 transmission lines. And where I'm going is yes, the

1 high wind and renewable energy available in the upper
2 Midwest can get to North Carolina, okay, via
3 transmission. If you're people are in favor of high
4 levels of renewables, got to be in favor of
5 transmission.

6 But this is kind of fun. This is a -- let's
7 see if I can zero in on it here. This is an hourly
8 graph of video actually of hourly wind speeds during a
9 couple of weeks in October across the United States.
10 And I'll just stop it for a moment. The bright colors
11 are high wind speed. The dark colors are low wind
12 speed.

13 Okay. So let's let it run. And as we're
14 familiar with weather systems cross the United States
15 from west to east and thus the high winds cross the
16 United States from west to east. The high wind that
17 is in South Dakota where I grew up was in Wyoming
18 yesterday. Okay. I haven't lived in South Dakota for
19 20 some years. I still hit the golf ball flat for
20 good reason because it's windy there. It's windy
21 there. Okay.

22 But the concept is if you can have a long
23 transmission line, DC transmission line from say
24 Wyoming to Iowa and you have connections of wind in --

1 to wind in Wyoming, in the Dakotas and Nebraska, in
2 Minnesota and Iowa, what happens to the people who are
3 connected to that transmission line is they get three
4 bites out of the same wind apple out of each wind
5 system. Okay. The folks in Iowa don't just get the
6 benefit of their own Iowa wind regime and the electric
7 output of that. They see the Wyoming wind coming at
8 them electrically a couple of days before and in South
9 Dakota and what this does is it makes the renewable
10 energy much more reliable over more hours than just an
11 isolated wind regime -- wind resources. So again,
12 time diversity is important. And you can do that with
13 a long transmission line. Okay. Enough about virtual
14 storage.

15 So we believe that something like we're
16 proposing as part of a national HVDC grid overlay and
17 make it bidirectional both ways. Everyone is working
18 on DC lines going from wind to load, from Midwest to
19 the west or from the Midwest to the east. And we
20 believe over the long term doing it making it
21 bidirectional is the way to go. Okay.

22 Time for the lightning round. Let's have a
23 little fun on some frequently asked questions on
24 storage.

1 In the regulatory matters should storage be
2 classified as generation, transmission, distribution,
3 or load? And this question drives me crazy because
4 people try to beat it into one -- into one hole or the
5 other and you get zany results when that happens.
6 For example, in Texas years ago the distribution
7 cooperatives in Texas were prohibited from having
8 storage, because they called it generation. They
9 wanted to use it as a distribution asset, but they
10 couldn't, because it was deemed as generation. So the
11 answer is in any of these you should look at -- it
12 could be any of these depending on the application and
13 you need to avoid forcing storage into any one box.

14 And just for a little bit of levity here,
15 I'm going to Saturday Night Live as an example of what
16 I mean by storage can be multiple products. See if we
17 can get this to work. Your IT folks have been great,
18 so let's see if their efforts can be rewarded. And
19 you can tell by the age of the actors here how long
20 ago this comes from.

21 (PLAYING VIDEO.)

22 Okay. You got the idea. Storage can serve
23 multiple functions. It's literally a floor wax and a
24 dessert topping. And keep that in mind when you look

1 at the application before you establish okay, how am I
2 going to treat this, because it can be many different
3 things.

4 Does storage reduce greenhouse gas
5 emissions? Not really. Not necessarily. It
6 typically tends to increase greenhouse gas emissions
7 unless it enables more clean energy than would
8 otherwise occur without the storage. So a storage
9 unit often by itself doesn't reduce greenhouse gas.
10 It depends on what it's storing and what it's
11 offsetting.

12 How can we know if the storage is storing
13 renewable energy or fossil energy? Well, the answer
14 is where is the storage located on the grid and read
15 the meters. Okay. If the storage is buried in the
16 middle of the grid with conventional facilities and
17 renewable facilities around it and brown and green
18 electrons are flying by, you're going to have a real
19 hard time deciding determining if it's really storing
20 renewable energy.

21 And the alternative if the storage is
22 physically in a place where it controls where the
23 renewables are going, you can read the meters. If 100
24 MW is coming out of the solar and 100 MW is going out

1 of the storage facility and 0 MW are going beyond it,
2 chances are it's storing renewable energy. So you can
3 document, you can prove depending on the configuration
4 that it's actually storing renewable energy, but it's
5 not necessarily storing it.

6 Should storage be eligible for investment
7 tax credit treatment like renewables? And in my
8 opinion, yes, it can be. If the -- it can be
9 demonstrated the storage enables more renewables than
10 would otherwise happen without the storage. Otherwise
11 what's the point? If you want to associate investment
12 tax credit with the storage with related to
13 renewables, then it needs to be enabled renewables.
14 Now, you might have other reasons for encouraging
15 storage that you might want to assign tax credit, but
16 if you want to make it like renewables, it needs to be
17 enabling renewables.

18 Should renewable energy storage sent to
19 storage qualify renewables or energy credits? I
20 believe so, yes. That portion of the output that
21 comes from renewables should be eligible for RECs if
22 the energy input to the storage is not already
23 eligible for REC treatment, so there's no double
24 accounting.

1 This is debate in California. Okay. The
2 definition of getting a REC is it has to be delivered
3 within a certain very short time period in order to
4 qualify the REC, so if I put it into the storage and
5 this is the conversation, this needs to be worked out
6 and I think they will work it out, that in the storage
7 and it comes back out again to load, then that time
8 delay does not keep it from being eligible for --
9 eligible for getting those RECs.

10 You can argue whether the storage losses are
11 eligible for RECs or not, depending on how favorable
12 you are you want to encourage the storage or not, but
13 certainly the energy that goes in should.

14 Which is better for utility customers,
15 distribute storage or grid-level storage? And they're
16 not mutually exclusive options. Both will be needed.
17 Okay. Which are they delivering lowest customer cost?
18 Are they protecting the nonparticipating ratepayer
19 from incurring costs. They shouldn't be doing this,
20 but both, both should be --

21 What are the most likely applications for
22 grid storage today? I think we covered it earlier in
23 the grid discussion. What we found is as most
24 valuable as a transmission asset and combined with

1 renewables as an IRP alternative to other traditional
2 fossil energy sources.

3 I haven't seen much -- it's really hard to
4 pay for storage based on price arbitrage done all by
5 itself. Okay. It's just really -- it's really
6 difficult to do. It needs to have other benefits like
7 displacing some other project that you would have done
8 otherwise. You've got an avoided cost to compare it
9 to, but as a merchant and you just using price
10 arbitrage that's just -- as a side comment it's
11 difficult to do.

12 What are the most likely applications for
13 grid-level storage? Today it's on the distribution
14 system to displace distribution substation or feeder
15 equipment. Or where customers have particular high
16 reliability requirements.

17 Here's a favorite of mine. Are four-hour
18 batteries a one-for-one replacement for natural
19 gas-fired peakers to ensure system reliability? No.
20 Four-hour batteries can contribute to reliability.
21 They have a role of reliability. But they're not as
22 reliable as traditional peaking units. So you should
23 not confuse the usefulness for daily duck curve
24 operations as a substitute for installed capacity

1 resource adequacy.

2 And we saw these effects in the Burbank IRP.
3 In those scenarios that used rotating machinery like
4 CAES or internal combustion units those scenarios were
5 more reliable than the scenarios that used four-hour
6 batteries, and we had to add more four-hour batteries
7 to get the same reliability level. So we went all the
8 way back to loss of load probability. I used to be
9 the Mid Catenary Power Pool committee chair for doing
10 their reserve requirement studies, loss of load
11 probability. If you have a system that is -- has a
12 lot of four-hour batteries in it in which you're
13 relying for reliability, you need a higher reserve
14 margin mega -- in percent than conventional
15 generation.

16 In fact, we found that CAES plus storage --
17 CAES storage and renewables is usually an eight to 11
18 percent capacity reserve margin. Internal combustion
19 engines were relative similar. But the four-hour
20 battery scenarios needed a 22 to 27 percent reserve
21 margin, so in effect we needed eight-hour batteries,
22 not four-hour batteries, so we're just stacking
23 four-hour batteries on top of each other to get to the
24 same reliability. So read the small print.

1 I saw and what ticked -- put me off was a
2 recent story where someone did a big article about oh,
3 look, we did an analysis and we found four-hour
4 batteries can replace peakers in New York. Well, they
5 must have found some peakers that were only running
6 two hours and no more. Very selective, so --

7 How do four-hour batteries compare to
8 reciprocating internal combustion engines for
9 reliability service? You need about twice as many
10 megawatts of the batteries than you do as the internal
11 combustion engines. But the overall costs were about
12 the same. Again, that's in the Burbank IRP.

13 Is value stacking to monetize storage
14 benefits real? Well, it is real in non-RTO markets.
15 And the utilities like Duke are implicitly doing that
16 internally. Okay. They're -- they can internalize
17 the value of storage to themselves, okay, which is a
18 beautiful thing. Okay. They can internalize it for
19 the value. They can focus the value of the storage
20 and their operations on maximizing the benefits of
21 their own renewables. They can -- it can internalize
22 the value of storage for contributing to their
23 ancillary services requirements. They can internalize
24 the value of using storage for spinning reserve and

1 black start or whatever is the case. Okay. So that
2 happens and it happens in the normal course of
3 business.

4 It's really the RTO markets, but it's -- but
5 boy, is it hard to get there. Okay. Comprehensive
6 tariffs are not yet available to reward all the value
7 attributes of storage in the RTO market, so a lot is
8 made of storage in the RTO markets and bless them and
9 they had a lot of complicated tariffs to do it, but
10 they're going to need a lot more complicated tariffs
11 to do that.

12 Here let me give you an example. If she
13 runs her storage and her wind machines benefit from it
14 and his coal plants benefit from it because they don't
15 cycle as much, so they have less on them, they get the
16 benefit. She's paying for the storage. Okay. So
17 you've got a free-riders issue going on in the RTOs.
18 While that storage goes out there that is the benefits
19 of the storage appear not all at the storage site.
20 They appear elsewhere.

21 And how does the market compensate for that?
22 What is the value -- what is the tariff for reduced
23 renewables curtailment? Ever heard of that tariff?
24 No. Okay. So a lot of work to be done in the RTO

1 market. Bless us that you're in North Carolina.

2 We're not faced with having to do a lot of that.

3 Is it easier for a storage owner to monetize
4 their storage investment in an RTO ISO market or in a
5 vertically integrated market? If the storage owner is
6 a utility, it's easier in a vertically integrated
7 market as I just indicated. Okay. A vertically
8 integrated utility can internalize all the benefits of
9 the storage. If they own the storage, they can
10 operate it to benefit their own renewables. Okay. So
11 they got their arms around all those value streams.
12 Okay. That's a good thing. But the storage owner is
13 a merchant, it's easier in the RTO ISO market only
14 because there are some tariffs available for them to
15 get at it. Otherwise they got to go negotiate every
16 one of those pieces with the local incumbent utility,
17 okay, which can be done with encouragement of the
18 Commission perhaps. It's just not easy.

19 And, of course, you're going to read all
20 about it. I've written a paper about this with a
21 legal colleague in the RTO ISO markets.

22 The FERC has some dockets going on about
23 storage right now. They're talking about mainly
24 interconnection issues and storage, and storage being

1 able to access the market. They're not dealing with
2 these value monetization issues at all yet. And this
3 is before distributed storage tries to get to the
4 wholesale market. I don't want to make it sound
5 complicated, but --

6 Finally a last word and my death by
7 PowerPoint is concluded. Okay. A word about
8 ancillary services, because again, much is being made
9 about this and I'm speaking to the RTO ISO markets.
10 Some new information suggests that ancillary services
11 markets are finite in size. So while a lot is being
12 done for storage to be able to access and monetize and
13 value stack their ancillary services in the RTO
14 markets, it might be a short visit -- let me give you
15 an example.

16 PJM has about 178,000 MW of generation.
17 178,000. Their regulation market is about 800 MW.
18 Today they have 3,000 MW of batteries either installed
19 or in the queue. So as soon as they get that
20 frequently -- that regulation tariff out there in
21 operation and they put that out for bid, what do you
22 think is going to happen to the price? 3,000 MW of
23 batteries today in an 800 MW market and they're all
24 looking to sell into the frequency market. So I look

1 forward. They're doing good things. But watch out
2 for when we create a market so someone can value stack
3 and is the trip worth it once you get there and is the
4 market big enough.

5 I've been all over the place on storage here
6 today on these various topics. Grid-level storage.
7 We talked about batteries and long-duration storage.
8 We talked about the drive for clean energy. Bless my
9 heart, our City of Burbank listened to our story of 68
10 percent renewables and 87 percent greenhouse gas
11 emissions, and then they told us they wanted to go for
12 a hundred percent clean energy by 2040, which is five
13 years earlier than the state required. Okay. Okay.
14 So that's the assignment of the Burbank Water and
15 Power to proceed.

16 And I'm happy to answer any questions you've
17 got about storage. So I covered a lot of ground here.
18 Thank you for your patience and your questions and
19 your interest.

20 CHAIR MITCHELL: Questions from
21 Commissioners? Commissioner Clodfelter?

22 COMMISSIONER CLODFELTER: Your slide 95, can
23 you scroll back to that?

24 MR. SCHULTE: Which one?

1 COMMISSIONER CLODFELTER: Ninety-five. So
2 let's see if I can frame the question correctly. So
3 what we are experiencing here is storage owners who
4 are effectively merchants, that is they're not the
5 utility, they're third parties --

6 MR. SCHULTE: Uh-huh (yes).

7 COMMISSIONER CLODFELTER: -- but they're
8 wanting to sell and sell and provide ancillary
9 services so they say --

10 MR. SCHULTE: Yes.

11 COMMISSIONER CLODFELTER: -- to the
12 regulated utility. We've got to figure out how to
13 value and design tariffs for that. Has anybody
14 succeeded in that challenge?

15 MR. SCHULTE: I dare say we might have hit
16 on it in Burbank. And thank you for your question.
17 Okay.

18 You can with an IRP model quantify how many
19 batteries -- one-hour batteries in megawatts that a
20 utility needs for frequency regulation. That's a
21 number. And should you decide to open that up where
22 the incumbent utility, the regulated utility doesn't
23 just do it and rate base it, but you want to have
24 others participate like that, it seems to me put it

1 out for bid. That way you find what the lowest cost
2 is for it, you know, and -- you know, and you may
3 reserve a portion of that, those batteries, for the
4 incumbent utility like you do for your renewable
5 energy as I understand it, a portion of those
6 procurements, you might allow them to set aside a
7 portion for themselves and that they can rate base,
8 but put it out for bid, and then that way it seems to
9 me you have created a competitive value in price and
10 opportunity to have third-parties participate in that
11 market.

12 So you're unbundling, right, that portion,
13 your parsing that piece of the activity surgically
14 out, but it seems to be based on what we learned in
15 Burbank, and this is pretty new, you can -- that
16 number is achievable. You can -- there's ability to
17 do it and I'm happy to provide, you know, staff, the
18 folks who are -- who do those types of -- they're out
19 there doing webinars now about how you do a modern IRP
20 using batteries for ancillary services. I don't have
21 a financial relationship with them. There's no quid
22 pro quo between me and them. Okay.

23 But you can do the same thing for ramping.
24 Okay. Within modern IRP software, you can look at the

1 ramp that's required, the maximum ramp that's required
2 in a maximum day. It doesn't have to be the duck
3 curve of California. It can be local. It could be --
4 could be you're ramping down at the end of the day.
5 You can tell you're getting enough solar. We actually
6 have duck curve if you ever have that. And you can
7 quantify how much ramping, the utility can do that,
8 they can quantify how much ramping they need.

9 Now, they have existing resources that have
10 ramping capabilities, okay, which can contribute. So
11 Burbank has combined-cycle and simple-cycle units
12 which were included in the analysis and they will
13 contribute to that ramp. But there was more ramp than
14 their existing facilities could do. And four-hour
15 batteries and batteries can do it faster and perhaps
16 better. And there is the modern IRP software, it will
17 tell you how much ramping you need. So that's a
18 number. Okay.

19 And then you can do a similar thing where
20 you go okay, say the utility has so many megawatts of
21 ramping they need by 2030, put that out for bid and
22 you let the incumbent utility keep a portion of that
23 for themselves and rate base and you competitively bid
24 the rest and let people bid for it and you see -- and

1 maybe you bid it all out because the prices are good,
2 maybe you're not. Okay. But you know -- you then
3 know with data what the right price is for the
4 ratepayers, because it was competitively done. And I
5 believe that can be done.

6 COMMISSIONER CLODFELTER: The IRP modeling
7 would show you what your need is on the assumption
8 that it's utility controlled. So when I go out to bid
9 to the market, I've got to have certain protocols
10 about operation that I stipulate in the bid specs,
11 right?

12 MR. SCHULTE: I'm sorry. What --

13 COMMISSIONER CLODFELTER: I want to be sure
14 I get --

15 MR. SCHULTE: Absolutely.

16 COMMISSIONER CLODFELTER: Absolutely.

17 MR. SCHULTE: If I, the utility ratepayer --

18 COMMISSIONER CLODFELTER: Right.

19 MR. SCHULTE: -- if I the utility ratepayer
20 is paying for that ramp, I want to control it. So I
21 cannot let the local requirements of the storage,
22 whatever that is, drive -- distract -- distract when
23 that moment when I the ratepayer need ramping that I
24 paid for. No, it has to be under control.

1 COMMISSIONER CLODFELTER: Nonperformance of
2 the bidder under the contract --

3 MR. SCHULTE: The LDCs --

4 COMMISSIONER CLODFELTER: -- is not -- is
5 not allowed.

6 MR. SCHULTE: No, the LDCs are heavy,
7 yeah --

8 COMMISSIONER CLODFELTER: It's not allowed.
9 Right.

10 MR. SCHULTE: -- like don't not perform.

11 COMMISSIONER CLODFELTER: Right.

12 MR. SCHULTE: Yeah.

13 COMMISSIONER CLODFELTER: Thank you.

14 MR. SCHULTE: Yeah.

15 CHAIR MITCHELL: Additional questions?
16 Questions from staff?

17 MS. JONES: Bob, could you talk a little bit
18 about using storage to replace transmission? And to
19 start with typically a transmission project from what
20 I can tell the utilities put load growth into their
21 models and it shows that a certain transmission
22 segment five or 10 years in the future is going to be
23 overloaded under a contingency and so they need to add
24 some transmission capacity. What I don't understand

1 is typically that contingency that triggered the
2 overload, it's not going to have a four-hour or even
3 an eight-hour life. It could have an eight-week life.
4 Help me understand how storage can help.

5 MR. SCHULTE: If the contingency is more
6 than say what a battery can do, I'd really question
7 whether storage can be -- could be that offset. You
8 know, because the contingency might be the overload of
9 some other system element. For example, it might be
10 loss of a transformer or something somewhere else,
11 which causes loading on that particular transmission
12 element.

13 So yeah, if you're talking about
14 contingencies that are longer than say the storage can
15 handle, probably not. Probably not. And even if you
16 stacked -- you stacked a bunch of six-hour storages to
17 make 12-hour storages, the costs gets -- the costs get
18 out of hand. When we looked at the cost, for example,
19 under a hundred percent renewable scenario of Burbank
20 surviving a two-day cloudy period or non-windy period
21 using batteries, I mean, reliability issue is not a
22 few hours anymore. It's having enough energy in
23 storage for several days. It would've tripled their
24 electric rates to do it. So -- so yeah, I would doubt

1 that that would be offhand. I'd need to see the
2 details, but if the contingency is -- the driving
3 contingency is longer than the storage lasts, then I
4 don't think so.

5 CHAIR MITCHELL: Commissioner Hughes?

6 COMMISSIONER HUGHES: For your
7 forward-facing modeling when you're looking at battery
8 storage, what are you modeling as costs for like you
9 just quoted a number of a future cost for using
10 batteries for a certain objective? How are you
11 projecting, particularly with batteries, cost in the
12 future?

13 MR. SCHULTE: What types of costs are we
14 using?

15 COMMISSIONER HUGHES: I mean, going up,
16 going down, you know --

17 MR. SCHULTE: Oh --

18 COMMISSIONER HUGHES: How is your --

19 MR. SCHULTE: Oh, you mean in terms of
20 trending?

21 COMMISSIONER HUGHES: Yeah.

22 MR. SCHULTE: Yeah. They're a very sharp
23 trend downward. And so we were using -- because our
24 initial installations was in 2025, we were using the

1 projected cost in 2025. And those are the numbers
2 that are on my earlier chart, the dollar-per-kilowatt
3 number for four-hour, one-hour, and a half-hour
4 batteries and our modeling contractor was a battery
5 enthusiast, so they were -- they were -- we believe
6 they were fairly aggressive. During the period of the
7 20-year planning session we continued that trend. If
8 we had to replace cells or we added batteries, then we
9 continued to add them lower as the trend rose.

10 So you got to -- you got to recognize the
11 trend that's happening and then respect it, because it
12 is happening. It's flattening out a little bit, but,
13 yeah, it's really real, so yeah. Great question.
14 That's what we were using in Burbank. We thought it
15 was reasonable.

16 CHAIR MITCHELL: And how does that trend
17 compare to the solar PV cost trend looking forward?

18 MR. SCHULTE: If I drew them both out with
19 an interpretive dance here, they'd both look like --
20 they'd both look like that at the same time.

21 CHAIR MITCHELL: So they're trending at the
22 same rate. You don't see battery cost declining more
23 rapidly than solar?

24 MR. SCHULTE: I don't have the charts in

1 front of me. I'd be happy to provide those examples
2 that are there. I think both have the uncertainty of
3 technology -- a technology jump that could be
4 disruptive discontinuity again downward and start
5 another downward trend. That's happening, so I --
6 both of them are on a downward trend and those are
7 going to continue.

8 CHAIR MITCHELL: Commissioner Clodfelter?

9 COMMISSIONER CLODFELTER: You had a series
10 of slides on your FAQ section that talked about
11 four-hour batteries as substitutes for a peaking
12 fast-start turbine unit and so forth and comparing
13 with other things. The combination I'm interested in
14 hearing you comment on is was not one of that series
15 of slides, but it would be I'm interested in bridge
16 technologies. Rather than investing in 15 to 20-year
17 assets, maybe investing in 10-year assets to see how
18 the technology and the costs evolve over a somewhat
19 shorter period of time before making the long-term
20 investment. So comment about the combination of --
21 which you said a little bit about, but comment about
22 the combination of RICE units and renewables or RICE
23 units and four-hour batteries as a substitute for a
24 fast-start combustion turbine.

1 MR. SCHULTE: Well, in our analysis the
2 combination was one of the leading lowest cost options
3 there among the three options that beat a conventional
4 combined-cycle gas turbine unit with renewables by
5 quite a ways. That they were -- they're modular
6 relatively so run them at 10 - 15 MW, you know,
7 increments or 8 MW increments. If you can build them
8 in building blocks as load happens, you don't commit
9 to a big megawatt number. You put them in a row.

10 There's a nice installation near my former
11 hometown near Shakopee, Minnesota. They've got them,
12 integrating renewables. So I think that's a really
13 good option. They have some -- they have some
14 greenhouse gas emission profile, but other than that,
15 they were -- they're one of the leading candidates for
16 the Burbank IRP.

17 CHAIR MITCHELL: Any additional questions?
18 Okay. Mr. Schulte, thank you very much for being here
19 today. We very much appreciate your remarks.
20 Commissioner Clodfelter?

21 COMMISSIONER CLODFELTER: Did I understand
22 you're open to subsequent dialogue with staff about
23 the IRP modeling?

24 MR. SCHULTE: Sure. We're continuing on

1 afterward here, so bring it. I look forward to it.

2 MS. JONES: I do have a real quick one.

3 Bob, do I take it from your discussion about

4 California that the energy imbalance market in the

5 west is not going to solve the problem of too much

6 solar? That even with that big market they're not

7 able to absorb it all?

8 MR. SCHULTE: The energy imbalance market

9 would be a good way for a lot of the utilities to save

10 money in their dispatch of their other renewables, but

11 no, the quantity of renewables that are going to be

12 there is going to transcend the benefits of the energy

13 imbalance market. Yeah.

14 CHAIR MITCHELL: Okay. Thank you very much.

15 MR. SCHULTE: Thank you. It was an honor to

16 be here.

17 CHAIR MITCHELL: Thank you.

18 (The proceedings were adjourned.)

19

20

21

22

23

24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings in the above-captioned matter were
taken before me, that I did report in stenographic
shorthand the Proceedings set forth herein, and the
foregoing pages are a true and correct transcription
to the best of my ability.

Kim T. Mitchell

Kim T. Mitchell
Court Reporter