

1 PLACE: Dobbs Building, Raleigh, North Carolina

2 DATE: Monday, February 3, 2020

3 DOCKET NO.: E-100, Sub 164

4 TIME IN SESSION: 1:00 p.m. to 2:54 p.m.

5 BEFORE: Chair Charlotte A. Mitchell, Presiding

6 Commissioner ToNola D. Brown-Bland

7 Commissioner Lyons Gray

8 Commissioner Daniel G. Clodfelter

9 Commissioner Kimberly W. Duffley

10 Commissioner Jeffrey A. Hughes

11 Commissioner Floyd B. McKissick, Jr.

12

13 IN THE MATTER OF:

14 Investigation of Energy Storage in North Carolina

15 Presentations by:

16 Patrick Dalton, Manager, Distributed Energy Resources,

17 ICF, Inc.

18 and

19 Charlie Vartanian, PE, Technical Advisor,

20 ES Integration, Pacific Northwest National Laboratory

21 and

22 IEEE 1547 Working Group Interconnecting Battery

23 Storage Under IEEE 1547

24 Volume 5

P R O C E E D I N G S

CHAIR MITCHELL: Good afternoon and welcome.

I'm Charlotte Mitchell, the Chair of the North Carolina Utilities Commission and with me this afternoon are my colleagues Commissioner ToNola D. Brown-Bland, Lyons Gray, Daniel Clodfelter, Kimberly Duffley, Jeffrey Hughes, and Floyd McKissick.

This is the fifth in a series of presentations pursuant to the Commission's September 4th, 2019 Order Initiating Investigation in Docket Number E-100, Sub 164 in which the Commission has initiated a series of educational presentations by invited experts on energy storage related topics.

We're happy to have with us today Patrick Dalton and Charlie Vartanian. Patrick is the Distributed Energy Resources Manager for ICF in the Minneapolis area. And Charlie is the Senior Technical Advisor for Storage, Reliability, and Integration at the Pacific Northwest National Laboratory near Seattle.

Our speakers will be working from slide decks that will be displayed on the monitors here in the hearing room. The slides have been posted on the Commission's website in this docket. And our court

NORTH CAROLINA UTILITIES COMMISSION

1 reporter is also creating a transcript that will be
2 filed in this docket and available on the Commission's
3 website.

4 These sessions are structured for the
5 benefit of the Commissioner's education and the
6 speakers will be asked to share their expertise and
7 answers -- and answer the Commissioner's questions
8 should they have any. People in the audience will not
9 have an opportunity to ask questions. However, if
10 you'd like to file information in the docket in
11 response to what you hear or if you'd like to suggest
12 other speakers that the Commission consider inviting
13 please file those comments and suggestions in this
14 docket for our future planning.

15 Gentlemen, if it's okay, we'd like to be
16 able to ask you questions as we go if that works for
17 you.

18 MR. DALTON: Yes.

19 CHAIR MITCHELL: Okay. With that, we
20 appreciate y'all being here today and we'd like to
21 move forward. And I assume that you all have worked
22 out among yourselves who will present first.

23 MR. VARTANIAN: Yes. I'll start with the
24 IEEE 1547 standards overview.

1 CHAIR MITCHELL: Okay. And if it works for
2 you, please proceed to the witness stand and you can
3 present from there. That way we can -- we can see you
4 face on.

5 And just for everyone's benefit, please
6 provide an overview of your bio if you're willing to
7 do so.

8 MR. VARTANIAN: Sure. Thank you,
9 Chairperson Mitchell and Commissioners and also staff
10 for setting this up.

11 The majority of my background is I spent 15
12 years at Southern California Edison starting as a
13 Transmission Interconnection Specialist during
14 deregulation, the initial open-access process and then
15 that evolved into being the point person for
16 distributed resource interconnection. As part of that
17 starting back in early 2000s until now I've been a
18 member of the IEEE 1547 Interconnection Standard
19 Working Group.

20 The reason I left Southern California Edison
21 I did their first rate-based energy storage project
22 and that was so inspiring that I went to the World of
23 Energy Storage for the last 10 years working with
24 manufacturers and consultants and now with the Pacific

1 Northwest National Lab with a tasking to help fill
2 gaps in performance -- technical codes and standards
3 for energy storage. The Department of Energy Storage
4 Program has identified several times codes and
5 standards as a barrier to adoption and a barrier
6 that's addressable.

7 Also in the audience is another lab
8 counterpart, Mr. Chris Surles of Sandia National Lab,
9 Safety Coach and Standards Lead as well as the past
10 chair of the IEEE Energy Storage and Stationary
11 Battery Committee and a true expert on the challenge
12 of safety of energy storage systems. So I come with a
13 lot of interconnection background.

14 For those who may have been involved in the
15 era of the first open-access transmission tariff
16 compliant interconnection studies, and there are some
17 parallels all the way through today where if all sides
18 have an agreed upon set of minimum performance
19 requirements, it really just reduces cost and time to
20 make sure assets are interconnected prudently, but
21 again, with minimum cost and time involved has been my
22 experience when there are a common set of standards to
23 refer to.

24 There is a challenge with that. IEEE 1547

1 which is the interconnection standard for distributed
2 resources was significantly updated in 2018 after its
3 initial adoption in 2003. With -- and you will hear
4 today from perspectives of what changes have happened
5 in the standard and then Patrick will put that in
6 context of how that's implemented within smart
7 inverters which is really where the rubber meets the
8 road for most assets today. Primarily PV and storage
9 are mostly coming online as inverter connected.

10 And so what I hope to do is hit the high
11 points of what changed. Give a little bit on the
12 drivers of those changes and what it implies in terms
13 of updating interconnection review and approval
14 processes to incorporate the changes.

15 This is a disclaimer IEEE boilerplate. ICF
16 Patrick's -- his site as well. He had input to this
17 presentation. But these are not the positions or the
18 work of the DOE labs or IEEE.

19 So that's an outline of what I plan to hit
20 today. I'll jump right into it.

21 The red are the changes that happened from
22 the 2003, the last approved version that most markets
23 and jurisdictions are working from. Number one, an
24 added requirement for interoperability and that comes

1 down to defining the minimum communications interface
2 and the minimum information that needs to be exchanged
3 between a distributed resource and the connected power
4 system. That was one of the larger changes.

5 You'll see there's no mention of
6 ride-through, islanding. Those are some of the
7 technical details that were updated, but not called
8 out in the scope change.

9 This isn't new information to your jurisdiction or
10 many others. We used to have a one direction power
11 system from central station plants through the
12 transmission system down through to the distribution,
13 one direction to end load. Now we have a very dynamic
14 power system where resources and active loads have the
15 ability to let's say push back impact if not outright
16 energy and power back onto the grid.

17 And some of the earlier markets that had
18 high penetration really drove the new requirements.
19 And what are the impacts of high penetration that were
20 revealed early on? Places like Hawaii, California.
21 First impact voltage did a challenge for utilities to
22 hold primary their side of the transformer, hold that
23 primary distribution within acceptable range when you
24 have an abundance of resources connected down at the

1 distribution level.

2 The second impact hasn't been as frequent,
3 but frequent, or is it that it happens at higher
4 penetrations and that's actually driving system
5 frequency. At very high penetration you'll see system
6 frequency, the shared system, the wider utility power
7 system frequency can be moved at a high enough DER
8 penetration. That's a day-to-day challenge on smaller
9 systems with high penetration. Kauai, Maui, it's not
10 as common, but even the whole west coast had an event
11 where the sudden loss of 1,200 MW of PV caused the
12 whole western interconnect frequency to deviate to an
13 immeasurable amount and that let's say helped motivate
14 even more the need to get ride-through, which we'll
15 describe coming up as an added requirement of this
16 technical standard.

17 Now, this doesn't have the animation, but
18 it's showing safety and reliability weighted. So the
19 safety and reliability are still the underpinnings of
20 1547, the safety being don't back feed to a utility
21 system that's out of power. You don't want
22 distributed resources pushing voltage or current back
23 on a grid that's otherwise out. That's a worker
24 safety issue.

1 And then the other do no harm aspect is to
2 not interfere with the primary voltage regulation.
3 And regulation meaning holding that voltage within an
4 acceptable bandwidth on the utility side, the shared
5 voltage.

6 But as you get higher penetration, you need
7 some amount of grid performance support. You do need
8 the voltage support from distributed resources. You
9 do need ride-through. So there's a balance that needs
10 to be considered. It was considered. And within the
11 IEEE technical working group we believe that balance
12 has been achieved with the update.

13 Again, in 2003, the rule was you shall not
14 actively regulate voltage and you shall trip if you
15 self-detect abnormal voltage or frequency. And here's
16 another key aspect, the default was, and you will wait
17 five minutes until the system is stable both in terms
18 of frequency and voltage. And that has been an aspect
19 of some of the early experiences where large amounts
20 of PV have dropped off the grid, that's delayed
21 return. I'd say it was considered in updating the
22 criteria.

23 In 1547 the 2014 amendment was in large part
24 driven by California and Hawaii where their retail

1 tariff rules for interconnection had to -- they
2 updated those ahead of 1547's update, so those local
3 jurisdictions called for ride-through. They called
4 for voltage support. So we did an amendment so it
5 wouldn't be in conflict with 1547. There was an
6 amendment that designated you may. So if it was
7 called out by your local authority having
8 jurisdiction, you may actively regulate. By 2018, the
9 decision was made you shall. That was the default,
10 being you shall be capable of regulating primary
11 voltage, you shall be capable of riding through a
12 great disturbance. And that is the new approved
13 technical standard for distributed interconnection.

14 Other modifications that have impact I'll
15 say jurisdiction wide is in part at the request of
16 FERC and NERC. The update removed the 10 MVA. That's
17 the total apparent power. Megawatts would be the real
18 power. But removing a defined limit, because that had
19 been a barrier in some jurisdictions. They want to
20 refer to 1547 I'll say regardless of where it connects
21 or the size of a project. So the updated 1547 in 2018
22 removed any reference to a maximum capacity, so there
23 is no capacity limitation to 1547 with a 2018 update.
24 I think that's probably the most dramatic.

1 While this is not applicable to transmission
2 or network sub-transmission, it is a
3 distribution-oriented standard. It can be used by
4 reference and it is in settings where you do have
5 network portions of your system.

6 All of this is intended to point out that
7 there's a minimum amount of volt amperes reactive or
8 VARs that need to be included as well as your kilowatt
9 or megawatt real power rating. And it's giving the
10 percent VAR capability.

11 So, in general, this calls for about a
12 10 percent increase in total inverter capacity to
13 achieve these ratios of reactive power to real power.
14 Why the reactive power? Reactive power has the
15 greatest effect on local voltage versus real power.
16 Also while you can regulate voltage with real power,
17 real power is a side of the inverter that's delivering
18 the energy produced, the usable energy, so this way
19 you're not sacrificing the ability to deliver real
20 power, real energy let's say from a PV panel or an
21 energy storage system. You're using the VAR capacity
22 of an inverter to provide that voltage regulation
23 support.

24 Patrick, you probably have very concise ways

1 to describe VARs.

2 MR. DALTON: There's a slide or two on that.

3 MR. VARTANIAN: Okay. I like the beer mug,
4 so you're going to size your conductors and
5 transformers for the size of the foam plus the liquid.
6 The more liquid though is the real power. You want to
7 minimize the foam. I bet you Patrick has a more
8 technical description than that.

9 I'll just also share an anecdote. As PV
10 penetration increased in certain markets and inverters
11 only delivered real power, there were cases that I
12 dealt with at the utility where let's say someone took
13 an incentive, put a bunch of PV on their roof at a
14 commercial building, suddenly they're only really
15 taking VARs from the power system or a larger
16 proportion that triggers a VAR penalty, so a lot of
17 retail tariffs have a limit. If you take so many --
18 if too large of a percentage of your total kVA from
19 the utility exceeds -- if the VAR proportion is over a
20 certain defined amount, in some jurisdictions there's
21 a penalty. So it is an example of an unintended
22 consequence by the PV inverters only delivering real
23 power. It exposed the customers to VAR violations.

24 One complication in the good old days of do

1 no harm there were two major tables that AHH just had
2 to refer to. The main point here I want to highlight
3 is both for the VAR capability and the ride-through,
4 there are going to have to be decisions made on which
5 set of requirements apply within any particular
6 jurisdiction or setting.

7 There is -- so there are multiple tables and
8 graphs that really go to increasing levels of
9 performance requirements, that are more aggressive,
10 more demanding requirements here aligned with as the
11 operating environment gets more challenging as you get
12 more distributed resource penetration.

13 Category B was developed to conform with the
14 high penetration rules already in place in California
15 and Hawaii. And I'd say most markets that are
16 planning for a high penetration future -- I'll call
17 it -- I'll characterize it you're somewhat
18 future-proofed by going with Category B.

19 Category A gives a traditional using VARs to
20 set a power factor or adjusting your VARs are
21 proportional to get a voltage response. You'll notice
22 that it's the active power getting that involved to
23 hold voltage to a minimum as the extension from going
24 from category to Category A to Category B.

1 Response to abnormal conditions. So the VAR
2 capability is considered a general requirement when
3 the grid is in normal condition and you're operating.
4 The VARs are there to be available for the support of
5 voltage regulation, and ride-through is tightly
6 aligned with abnormal conditions. And the abnormal
7 condition is defined in 1547. If frequency or voltage
8 as measured at the project location at their plug goes
9 outside of defined ranges, those are "abnormal
10 conditions for which there are a defined set of
11 responses." It used to be if you self-detect voltage
12 or frequency outside of a bandwidth, get off. Wait
13 five minutes to get back on. And the five minutes is
14 you self-monitor as voltage and frequency back within
15 an acceptable bandwidth.

16 Here's another anecdote. After Sandy,
17 Hurricane Sandy hit, there were a lot of constituents
18 within New Jersey, New York with PV on the roof that
19 wouldn't carry a load. And part of the REV process in
20 New York, other activities in the Northeast I know
21 were influenced in part by the fact these inverters
22 were out there, they had PV connected, but by design
23 they were complying to the standard. The grid wasn't
24 present, so they couldn't come back online. They

1 couldn't carry any load. But with a modification with
2 the right set of rules set for the 1547-2018 compliant
3 inverters could carry local load.

4 Again, Category I to the -- are increasing
5 levels of complexity, more demanding performance
6 requirements. Part of the challenge is anti-islanding
7 that get off if there's a problem that still remains.
8 The challenge is you just can't get off immediately
9 anymore. You must ride-through from let's say T=0 of
10 self-detecting of frequency voltage deviation.
11 There's now a gap that you have to sit and wait and
12 observe before dropping off the grid.

13 And the more aggressive you get, typically
14 the longer you have to wait, so you got less time to
15 determine whether that was a temporary grid event or
16 is it going to be an ongoing sustained grid event.

17 And, Patrick, maybe you're -- do you touch
18 on that, the smart inverter discussion on ride-through
19 implementation?

20 MR. DALTON: Yeah, a little bit.

21 MR. VARTANIAN: I'll just say there was a
22 robust set of manufacturers and consultants involved
23 in this update and there was consensus among a range
24 of manufacturers that this was not a barrier to them

1 manufacturing inverters. In fact, the products built
2 for Hawaii and California today have this capability,
3 but there's a lot of devil in the detail -- devil in
4 the details aspects to that.

5 And this chart just sort of maps that going
6 from one, two, three, they were modeled on different
7 levels of market requirements. Category II is
8 consistent with bulk power grid ride-through
9 requirements that have been present for a decade. The
10 PRC-024 is a set of curves used for bulk power system
11 ride-through, so Category II of this distributed
12 resource standard is a nice middle ground. It's
13 consistent with the NERC requirement.

14 Category III goes farther partly because on
15 distribution systems grid events will transpire for
16 longer duration before protective equipment take
17 action. If there's a problem on the transmission
18 grid, protective relay will tend to isolate quickly
19 within six cycles, two to six cycles.

20 On transmission or distribution systems,
21 you're going to -- they will let these events evolve
22 much longer. So Category III accommodates the more
23 demanding scenarios where you have distribution
24 protection schemes that are running it much longer.

1 And they're consistent with California Rule 21 and
2 Hawaii Rule 14 requirements.

3 Interoperability is, I'll call it, it's a
4 challenge for the industry at large. It's really the
5 purview of what's lumped in as smart grid issues. So
6 I'll characterize this. This is bringing smart grid
7 into the interconnection standard. We took a subset
8 of the wider world of smart grid communication and
9 controls, and the 1547-2018 working group defined a
10 minimum set of what information should be exchanged
11 and what are the acceptable communication interfaces.
12 And in particular there are three protocols called out
13 that if you can talk these three languages you're
14 complaint with 1547.

15 The good news is there's already wide
16 industry adoption, one of them being DNP 3.0, which is
17 one of the go-to languages of utility. SCADA-type
18 controls, SunSpec Modbus is another one of the
19 criteria called out and then the smart energy profile,
20 the new ZigBee. So depending on what it -- most of
21 those are usually present within the industry within
22 most jurisdictions.

23 Since this is an energy storage
24 investigation and actually this is the focus that I'm

1 taking right now as I'm a member of the 1547.9's
2 working group, the P for IEEE speak designates it's a
3 draft standard in process. Patrick is a member of
4 1547.9 working group writing the standard as well as
5 Chris, as well as many utility stakeholder members
6 from your jurisdiction.

7 This is an anecdote. In developing the
8 mandate AB2514 Energy Storage Mandate in California,
9 they had built the economic framework around a large
10 number of potential use cases value propositions. The
11 red to green just show that but for the update of the
12 standard you would not have been able to do a handful
13 of the more aggressive use cases.

14 Black start right at the top, it's one of
15 the keys. If you want inverters participating for
16 let's say support of isolated load home through a
17 hardened community center, hospital, the update of the
18 standard removes a lot of barriers to doing that.

19 Outage mitigation microgrid. So a lot of
20 the more, you have double-dutying of assets for local
21 load support during emergency as well as when the grid
22 is there doing its everyday business. It's really --
23 it was opened up or a lot of barriers were moved by
24 updating 1547.

1 Scoping of this has been -- it's still an
2 active debate point. But a key item to point out is
3 1547.9 as scoped right now applies if a device gets an
4 active power. That's the liquid or the real component
5 in the mug back to the power system. So true UPS's
6 meant to just supply emergency load are out of scope
7 right now.

8 A quick comment on another item where this
9 working group is going to give some guidances. That
10 first scenario is I'll say a retrofit, when you bring
11 energy storage to an existing PV project jurisdiction
12 to jurisdiction there is no standard to how you
13 calculate that capacity, so there are a range of
14 approaches starting from simply add up the nameplate
15 capacity and that's the new interconnection capacity.

16 Some markets are getting more sophisticated.
17 The general term is control-based compliance whether
18 it's for setting a capacity limit or setting
19 performance compliance, for example, ride-through.
20 For example, you might have 1547-2003 compliant
21 inverter, but you can bring ride-through, other
22 capabilities with a retrofit with an energy storage
23 system.

24 One of the challenges, again, the more --

1 the real point of this though is how you come up with
2 a total capacity at the point of common coupling.
3 There are a number of ways to approach it.

4
5 Part of this from the industry side, the ITC
6 is the investment tax credit. This gets into the
7 whole world of metering and that's also driving the
8 far right, the DC coupling. It simplifies both the
9 metering to prove that the energy going to the battery
10 was sourced by renewables and not the grid system
11 power as well as that's one just physical -- I'll call
12 it a physical way to limit the total power if you
13 couple it on the DC side.

14 A quick comment. There was discussion of a
15 possible follow-up or a staff discussion. This is an
16 example where I can see going into a little bit more
17 deeper technical detail.

18 This guide, it should be out by 2021, but,
19 I'll say a lot of the insights being developed now can
20 apply and you have stakeholders on the utility side
21 working on 1547.9. A number of the southern company
22 utilities are very active.

23 For jurisdictions, so 1547-2018 was approved
24 in 2018 but for true industry adoption inverters need

1 to be manufactured and certified to the standard.
2 That's still in progress. The test procedure should
3 be approved this year. Once the test procedure is
4 approved this year, then UL will update their UL 1741
5 as a certification for 1547 capabilities. SA is a
6 supplemental amendment that was written in large part
7 for Hawaii and California. For those markets they do
8 call for UL 1741-SA. That's for the grid support
9 functions.

10 I'd like to highlight beyond California and
11 Hawaii, a number of different states and programs have
12 referenced this as a way to access grid support
13 functions now in a way that all, you know, developers,
14 owners, manufacturers have a way to deliver grid
15 support capability today.

16 CHAIR MITCHELL: I'm going to -- may I
17 interrupt you and ask you a question right there? So
18 I want to make sure I understand what you just said.
19 I think I heard you say that inverters have to be
20 manufactured to the standard; is that correct? And
21 there is this interim solution that's been proposed
22 until we get to the point of having gone through the
23 testing necessary to manufacture inverters to this
24 standard. So what about all of the existing inverters

1 on the grid now? Can they not be -- can their
2 settings not be changed to comply with 1547-2018? I
3 mean, what is the -- what is the implication for
4 everything that's tied to the grid now?

5 MR. VARTANIAN: There are numerous inverters
6 that would be literally a matter of firmware
7 adjustments to add ride-through and voltage support.
8 The challenge is their interconnection agreement.
9 Number one they've been certified so when they were
10 certified to UL 1741, the 2003 version, those
11 functionalities were disabled, so that's actually how
12 it's UL listed and labeled today is to have those off.
13 So you would no longer be a UL 1741 listed certified
14 product if you turn that on.

15 I think the second complication depending on
16 how the interconnection requirements for
17 interconnection approval, if they called out 1547-2003
18 you could be in violation of your interconnection
19 agreement depending on how specific that was called
20 out. But to your point, yes, there are inverters.

21 While I was at SoCal Edison I got letters
22 from developers saying inverter manufacturers are
23 ready to turn capabilities on if we could just sign
24 off. And it was all those second and third order

1 impacts where we generally -- well, actually not
2 generally -- had to say no, because a whole sequence
3 of approvals all the way from certifying listing that
4 device to how it was presented to the utility in the
5 application to meeting a spec if there was a, you
6 know, a spec in the interconnection agreement. That's
7 where the complexity lies.

8 There is another aspect of -- so let -- did
9 I answer your question?

10 CHAIR MITCHELL: I think so. So is the
11 response it is possible to make changes to existing
12 inverters to -- in the interest of compliance with
13 1547 the 2018 version but there may be other hurdles
14 like the interconnection agreement establishes certain
15 standards and the UL listing could be a limiting
16 factor as well?

17 MR. VARTANIAN: Hawaii is a great case where
18 all stakeholders got together and did it within a
19 regulated environment --

20 CHAIR MITCHELL: Okay.

21 MR. VARTANIAN: -- such that nPhase actually
22 did it over the wires, over the intranet, and within a
23 couple of days updated every nPhase built inverter
24 within Hawaii to add ride-through and VAR capability.

1 And Ken Fong who is available to do the staff
2 discussion was the head of transmission planning at
3 the time and worked that from the utility side and has
4 some lesson learned on how he would do it today.
5 So that has actually happened, but that was not an
6 easy -- it was a multiyear process, but once all --
7 everyone came together it was I'll say an approved
8 agreement.

9 John Burdener (spelled phonetically) who
10 works with us -- my recollection -- doesn't he -- it
11 was days, wasn't it?

12 MR. DALTON: I think so.

13 MR. VARTANIAN: A matter of days whereas in
14 Germany they didn't grandfather their inverters when
15 they added grid support. This was 10 years ago. They
16 spent multibillions of dollars and I don't think they
17 ever completed it because they inverter to inverter
18 had to go back and implement these changes.

19 So the good news is between UL, IEEE,
20 significant stakeholder groups, they've gone through
21 that exercise of if you're in a market that may not be
22 able to wait the two years for all of these pieces to
23 be in place so manufacturers are building inverters to
24 this new standard, UL is testing and certifying. I do

1 like to point to California and Hawaii have come up
2 with approaches that I think are worthy of
3 consideration if you wanted to -- if any market had to
4 model something similar.

5 Any additional questions?

6 CHAIR MITCHELL: Kim.

7 MS. JONES: That was really interesting.
8 Thank you. A couple. So am I getting it right?
9 We're on the verge of taking on 1547-2018. When we
10 get done with that, which is for solar we need to do
11 it again for storage. Am I understanding it right?

12 MR. VARTANIAN: No. 1547 applies to all
13 distributed energy resources. A key aspect is it's
14 technology neutral and nonprescriptive. So even
15 all -- any resource that's connected to the
16 distribution essentially and especially if it's
17 third-party owned not utility-owned, it applies to
18 that.

19 MS. JONES: Okay. So what's the 1547.9?

20 MR. VARTANIAN: That's a guide. So there
21 are aspects of energy storage like even this in-scope
22 versus out-of-scope argument, .9 will be a guide to
23 the standard that just expand on these aspects like
24 how do you determine what's in-scope/out-of-scope will

1 probably speak to this DC versus AC coupling when you
2 got PV plus energy storage. And that will be done two
3 years from now.

4 MS. JONES: Okay. And then one that's
5 totally other. Is the fact -- if you are in an
6 environment like a Hawaii or a California where you
7 have a lot of PV on the grid, would you go fast or
8 slow at investing in Volt/VAR or controlled-type
9 technologies? Do they become redundant or unnecessary
10 in that environment?

11 MR. VARTANIAN: Prudently quick. And
12 working through the list. So having adjustable power
13 factor versus locking it at unity buys you a lot in
14 the interim until you work out how do you want this
15 sort of dynamic, you know, continually changing VAR.
16 I think there's a lot to be said even just having the
17 ability for utility let's say the bias that the VAR
18 attributes of an asset by saying hey, we want a range
19 of power factors and we'll tell you what it is when
20 you make an interconnection request.

21 MS. JONES: Okay. So you would go after
22 Volt/VAR control aggressively?

23 MR. VARTANIAN: Yes.

24 MS. JONES: Okay. Thank you.

1 MR. VARTANIAN: Yes. Quickly. And I
2 think -- but again, that A to B, go after the A stuff
3 first quickly and that buys you some time.

4 And now for a technical expert I'll hand off
5 directly to Patrick.

6 CHAIR MITCHELL: Please come on up, Patrick.
7 And before you step down though, any additional
8 questions? Okay. Commissioner Duffley.

9 COMMISSIONER DUFFLEY: It's really not a
10 question, just to make sure that I heard this
11 properly.

12 MR. VARTANIAN: Yeah.

13 COMMISSIONER DUFFLEY: You talked about
14 Germany and how they rolled out trucks and it cost a
15 lot of money, and what I thought I heard you say to
16 avoid what happened in Germany that you have to do a
17 stakeholder process? Or can you state how do we avoid
18 what happened in Germany?

19 MR. VARTANIAN: The biggest difference is
20 they didn't have the ability to remotely access the
21 control's interface. So number one, I do -- I'm a
22 real fan of -- so Hawaii and California were good
23 examples of all stakeholders came together. My
24 understanding in Germany, it was the standard setting

1 body that from top down, so there are two aspects. It
2 was top down directive and there was no
3 grandfathering, so every connected asset had to
4 retrofit to be compliant.

5 But some of this motivation for the
6 interoperability standards, you know, they didn't have
7 a defined communication interface to send new settings
8 over the phone or internet. With 1547-2018 there are
9 minimum communication interface requirements such
10 through -- that this -- an update to an inverter could
11 be sent remotely and nPhase in Hawaii I think it was a
12 real -- they had a big chunk of that total market's
13 inverter fleet and yeah, they updated everyone to the
14 new Hawaii Rule 14 when it was approved as soon as it
15 was -- not long after Hawaii regulators said, you
16 know, this is approved grid support services.

17 COMMISSIONER DUFFLEY: So let's just take
18 North Carolina for example. Are there some inverters
19 that have been put out in North Carolina that do need
20 to be manually changed, or do they have that
21 capability, or do you know?

22 MR. VARTANIAN: I can't say with absolute
23 certainty, but I'm very confident there are inverters
24 that do not have let's say defined open standard

1 communication interfaces today. The new standard
2 though doesn't set a size limit, so even a 3 kW
3 single-phase rooftop inverter if it's 1547-2018 --
4 when it is 2018 compliant, will have that
5 communication's interface that speaks three languages
6 and it'll be ready.

7 The other solution is 2018 allows for a
8 system solution versus making it equipment specific.
9 So someone could deploy and -- a communications
10 interface separate of the inverter and with the 2018
11 going to a system as allowable to be compliant versus
12 has to be equipment -- you know, equipment by
13 equipment, that's another, I'll call it way out of
14 Dodge, in the new standard is those that don't have a
15 communication interface or certain capabilities you
16 could deploy collocated equipment as long as on the
17 customer side of the interface. That from a systemic
18 approach then meets the compliance.

19 COMMISSIONER DUFFLEY: Thank you.

20 CHAIR MITCHELL: Welcome, Mr. Dalton.

21 MR. DALTON: Thank you. Hello, Chair,
22 Commissioners and staff. Thank you for having me here
23 today. My name is Patrick Dalton. I'm with ICF. My
24 background is in utility engineering. I was with Xcel

1 Energy for over 11 years in Minnesota in various
2 planning and operational roles. The last three or
3 four years of that time I really focused on leading a
4 group that was integrating distributed energy
5 resources across states that Xcel Energy served.

6 Through that time we implemented a large
7 community solar program over 500 MW of large-scale
8 solar that was installed through that program. I took
9 part in the statewide process in Minnesota to write
10 new process and technical requirements that included
11 the implementation of IEEE 1547, so Minnesota was one
12 of the early movers. Through that process we worked
13 with the ISO, RTO, MISO to look at how the bulk system
14 impacts might be included in the statewide rules
15 update as well as the local system impacts, and it's
16 my pleasure to be here today to speak with y'all.

17 So I'm going to cover a few of the same
18 topics that Charlie touched on in terms of process.
19 How do these standards come about? How are they
20 implemented in statewide rules? How do they flow down
21 to interconnection agreements? Talking about some of
22 those types of questions.

23 I'm going to spend just a few minutes on
24 general capabilities that in the standards update

1 there's a grouping of capabilities that apply to all
2 DER; they're in the general section. But when I talk
3 about the standard I really break it down into three
4 main areas and these are the next three bullet points.

5 The local distribution system support. So
6 how is voltage managed at a very local level, a
7 neighborhood level, so that if you have rooftop PV on
8 your roof you're not causing your neighbor's lights to
9 be too bright and burn out early? You know, that's a
10 type of local impact that we're talking about with
11 these Volt/VAR functions and some of the other active
12 and reactive power control functions.

13 The next is bulk system support, and this is
14 really talking about the interconnected nature of our
15 entire electric system where something that happens --
16 a big event on one part of the system can really cause
17 trouble in other parts of the system and let's think
18 about like wide-area blackouts for these types of
19 events. Those are the bulk system events that we want
20 DER to at least not contribute to that event being
21 worse than it would've been, but really what we would
22 want is this DER to support the system to help kind of
23 hold it together if there is some sort of disturbance
24 on the system.

1 And then the final topic area is
2 interoperability and this comes down to
3 future-proofing like Charlie was mentioning that if
4 you need to change something on this DER later, how do
5 you do that? And what you really want is some sort of
6 communications interface that has standard functions
7 and standard parameters and speaks a standard language
8 that if you need to talk to that inverter later you
9 could do some sort of update like we were talking
10 about. Or it might be on a more dynamic basis where
11 you actually want to modify the setting based on
12 something that's occurring in real time and that -- so
13 that's more about the operational use case. So we'll
14 talk a little bit about all of those.

15 Starting with sort of what changed from the
16 previous version. The previous version kind of talked
17 at a high level about this interconnection system. It
18 was this sort of abstract here's the performance
19 characteristics between the DER and the grid. And it
20 wasn't as detailed as the future -- well, I shouldn't
21 say future anymore -- the 2018 revision of IEEE 1547
22 which was prescriptive in that it defined two
23 interfaces. A power interface, so the electrical
24 connection, how should the DER behave and interact

1 with the system; and then also a communications
2 interface and that goes to the interoperability.
3 So one way that I think about this is it -- the
4 previous standard was sort of an interconnection
5 standard. I think of that from, well, you're bolting
6 a piece of equipment onto the system and it needs to
7 work with it. The new standard I view more as an
8 integration standard where both the DER and the system
9 are sort of pulling to the same goal here. So it's
10 not that, you know, you have something hanging on the
11 side that's along for the ride. The DER is really
12 contributing to the local and bulk system goals and
13 the functions that are defined by the standard are
14 really aimed at furthering those objectives of the
15 grid.

16 So Charlie had a similar slide like this. I
17 just think it's worth mentioning one more time that
18 the 2003 standard basically said you shall not
19 participate in the grid. If something goes wrong on
20 the grid, we would like you to get off as quickly as
21 possible so that we can use our normal standard
22 operating procedures that have been established over
23 decades to put the system back together and then we'll
24 connect the DER after everything is restored and we're

1 comfortable that the system has stabilized.

2 Where we move to today is with DER becoming
3 a larger part of the energy supply resource on the
4 system is that it really does need to actively
5 participate or at least have the capability to
6 actively participate and that's what's occurred in
7 that shift from you shall not participate or actively
8 interact with a grid to this new paradigm where you
9 shall have the capability to be able to interact with
10 the grid.

11 So we were talking a little bit about this
12 towards the end of Charlie's presentation. So what
13 really is the process for turning standards into
14 equipment in the field that can benefit the grid? And
15 it starts with 1547, just the baseline standard, which
16 defines the requirements for interconnection and
17 interoperability. That one is another standard. So
18 we talked a little bit about the distinction between
19 standards, recommended practice, and guides. These
20 are both standards meaning that they carry the most
21 weight.

22 The .9 that we were just talking about is a
23 guide meaning that it establishes practices that are
24 optional to follow and alternate good practices that

1 you may want to consider, but it's not -- it's not
2 really saying these are the functions that need to be
3 followed. Those are going to originate in the
4 baseline standard 1547 and the test standard .1.

5 That test standard is then incorporated into
6 that UL 1741, which is a little bit broader than just
7 interconnection. It takes into account some safety,
8 fire, kind of consumer protection type of
9 considerations in addition to the strict
10 interconnection interoperability requirements. And it
11 rolls those all up into a process that nationally
12 recognized testing laboratories can follow and result
13 in a certification for equipment that's able to pass
14 those tests.

15 From there these standards and
16 certifications often flow into statewide
17 interconnection standards. So 1547 isn't
18 automatically adopted. It's usually by action of a
19 policy or regulatory body. And this is similar to
20 what was done in Minnesota and many other states is
21 just to say we follow 1547-2018.

22 And then making the decisions along the way
23 that come with adopting a standard and there are a
24 number of decision points that need to be made.

1 Charlie mentioned performance categories, that's a key
2 one that happens early on. The type of ride-through
3 response that you would like to see. Those are a few
4 examples, but just saying that the state is going to
5 follow IEEE 1547-2018 isn't the end. There are key
6 decisions that need to be made. Some of them it makes
7 sense to make immediately when adopting the standard
8 and others could likely be pushed further on down the
9 road without really a consequence in the market.

10 And I'm thinking more of the
11 interoperability type of communication standards that
12 it's likely not necessary to communicate with every
13 single DER today, you know, the neighbor's rooftop
14 unit. But somewhere down the road we probably want to
15 get there when the grid needs and the drivers arise.
16 So that's just an example of some things you want to
17 adopt now. Ride-through performance, I think that's
18 something that you adopt immediately when you're
19 deciding to implement 1547. But things like
20 interoperability perhaps there's room to push some of
21 those decisions further on down the road. And that
22 might be a practical consideration based on the
23 complexity and the breadth of what's involved in a
24 1547 implementation and adoption.

1 MR. McDOWELL: Patrick, who's making that
2 decision? You say that decision could be made. At
3 what level is it? Speak to that.

4 MR. DALTON: Yeah. Thank you for that
5 question. The decision to adopt and implement is
6 largely done within a regulatory body. There are a
7 number of decision points within the standard that say
8 it's up to the utility but, of course, in the
9 environment, the regulatory environment, there's
10 always the option to be more prescriptive with some of
11 those decision points. And I'll give you an example
12 of that.

13 Volt/VAR in the standard, it says that it's
14 the utility's decision to use Volt/VAR or not to use
15 Volt/VAR. Some states have said well, we think that
16 there's a public policy reason to object -- to adopt
17 Volt/VAR across the entire state. It could be to
18 increase hosting capacity to allow, you know, the next
19 DER to be interconnected to the system with less
20 costly upgrades or no upgrades at all. So there's a
21 little bit of ambiguity in that the standard says some
22 of these decisions are up to the utility and I think
23 that a regulatory body may decide to take some of
24 those decisions and issue requirements on those as

1 well.

2 MS. JONES: Just to clarify, in our -- in
3 the North Carolina Interconnection Standard right now
4 the utilities and the developers are required to
5 comply with 1547 but it's not the 2018 version at this
6 point. So it is laid out in the standard.

7 MR. DALTON: Thank you for that
8 clarification.

9 The final point on this slide is just that
10 the generator interconnection agreement often houses
11 some of the more detailed specific requirements that
12 might originate from the standard. So, for example,
13 if it's a large solar installation that needed custom
14 Volt/VAR settings or some sort of custom settings that
15 are within the confines of what 1547 says is allowed,
16 that could flow into the generator interconnection
17 agreement. That might be specific to that unit
18 whereas other requirements are broad and cover any DER
19 in the entire state.

20 In terms of the timeline for adoption and
21 implementation, we talked a little bit about how the
22 flow of 1547 to .1 to 1741 to equipment adoption
23 occurs. Currently .1 is being balloted on or I guess
24 it's approved at this point in terms of it passed the

1 ballot. It's not officially an approved standard, so
2 the end is in sight for .1. UL 1741 is expected to
3 start the revision process shortly thereafter and the
4 experience from California Rule 21 that UL 1741-SA
5 that we were talking about a little bit ago that
6 Charlie mentioned, that's expected to expedite the
7 process some for revising UL 1741 based on the new .1.
8 But that could still take nine months, six months,
9 nine months, a year. It's sort of anybody's guess.
10 But those are the types of timeframes I would think
11 about when we're talking about revising UL-1741.

12 And then after that certification is
13 complete, there's still the time that manufacturers
14 need to change over their process lines and just sort
15 of revamp their manufacturing, so that they can
16 produce inverters that are capable of these -- meeting
17 these requirements and certification. So even after
18 all of the standards and certifications are complete,
19 there's still some time on the manufacturing side to
20 actually change over these lines. So I said, you
21 know, will equipment be available late 2021? That's
22 just a personal guess, but that's the timeframe that I
23 would think about.

24 I just wanted to offer a few other thoughts

1 on that discussion regarding do you implement
2 UL 1741-SA now or do you wait for this full revision
3 to be complete? I think that the penetration in the
4 state and what you expect the impacts on the grid to
5 be is a major factor. That can also be balanced with
6 the expected lifespan of this equipment. So we're
7 talking about power electronic equipment here and it
8 doesn't last as long as a lot of the traditional
9 utility assets; poles, wires, those types of things.
10 I sort of think of maybe a 10 or 15-year lifespan on
11 some of this inverter equipment. And so there is that
12 aspect of it that equipment out there today is going
13 to need to be replaced on the -- the PV panels might
14 last twice as long as an inverter, so --

15 When I was approving interconnection
16 applications and talking to developers, I would hear
17 sometimes that they would expect an inverter
18 replacement about halfway through the lifespan of that
19 PV plant and they would build that into their budget,
20 whereas the panels would maybe last a full 20 - 25
21 years. So this stuff won't be out there forever, the
22 stuff that is out there today, and the expense that's
23 involved in trying to upgrade it based on the
24 penetration that you may have today.

1 My personal viewpoint is to not try to
2 upgrade anything that's out there today and that the
3 standards adoption and the certification to the smart
4 inverter functions is best done on a go-forward basis.
5 But that needs to be balanced with the specific
6 context of the penetration that you have in the state,
7 the expected impacts on the grid.

8 CHAIR MITCHELL: Can you just expand on that
9 point just a little bit? Help me understand why it's
10 your opinion that updates should only happen on a
11 go-forward basis. Other than -- I mean, I understand
12 the basic point that the inverter is only going to be
13 out there half as long as the panel is.

14 MR. DALTON: Yeah. It's -- thank you for
15 that question. It's mainly driven by cost and
16 complexity based and balancing that against the
17 expected benefit that you're going to gain from that,
18 so it can be an expensive process. And if there isn't
19 like a bulk system need, for example, that you know
20 you really need ride-through or you expect that you're
21 going to have some of your large bulk plants tripping
22 offline because DER is making the situation worse,
23 that would drive a need to say, well, maybe we need to
24 dig a little bit deeper. But even in that you might

1 want to consider alternate solutions as well compared
2 to upgrading inverters.

3 So in most environments that aren't Hawaii
4 and aren't California, I think that there is the
5 opportunity to look at this on a go-forward basis, but
6 it's when making that decision it's really worth
7 diving into the specific context and asking what are
8 the grid needs that would drive us to want to do
9 retrofitting.

10 Okay. And I'm going to start with some of
11 the general requirements now and I'll cover these
12 fairly quickly, because Charlie did a great job of
13 discussing many of these.

14 The first one is the performance category
15 selection. This is a decision that I think will be in
16 most -- will be brought forward to most commissions in
17 the implementation of 1547. It's just one of those
18 early decisions that you need to decide at a basic
19 level. How do we want inverters to perform out there?
20 It's, again, based on the context, the environment of
21 what the penetration is. And if you have high
22 penetration now or you expect that to happen in the
23 next 10 years or so, I think that looking at these
24 performance categories with higher capabilities makes

1 a lot of sense.

2 And for normal performance, again, that's
3 the local grid support, that would be Category B to
4 support voltage regulation. Excuse me. And for
5 abnormal performance Categories I, II, or III that
6 would be III.

7 It's worth mentioning briefly that there is
8 an amendment to the base standard that has been
9 approved officially that modifies Category III to
10 allow it to be a better fit for a wider set of states.
11 So there were just a couple of aspects and I'm not
12 going to go into the technical details on it, but
13 there are a few aspects of the ranges of adjustability
14 or ranges of allowable settings for this function that
15 made it a concern for some utility participants in the
16 MISO and PJM processes. The amendment expands that
17 range of allowable settings, resolves those concerns,
18 and makes Category III potentially more suitable for a
19 wider set of environments.

20 So I talked a little bit about the normal
21 functions voltage regulation and abnormal just to kind
22 of drill into that point one more time. The normal
23 performance functions are for when the grid is sort of
24 it's a sunny day, your voltage frequency, which are

1 the two main parameters that the inverters are going
2 to look at, when your voltage infrequency are within a
3 fixed band that's acceptable, that per the standard is
4 considered normal. When it's outside of that range of
5 voltage infrequency, it's considered abnormal. So in
6 the normal region your Volt/VAR function applies,
7 those kind of voltage regulation functions. In your
8 abnormal region is where your ride-through applies.
9 So there aren't requirements to do Volt/VAR when
10 you're in an abnormal region, because it just -- it
11 doesn't make sense. You have a major issue on your
12 grid, so you're looking to these ride-through
13 functions and that's the set that applies in that
14 state.

15 Okay. Well, I'm going to try another
16 analogy on an active and reactive power here. We'll
17 see if this one resonates with anyone.
18 These tow boats used to be a big thing prior to the
19 industrial revolution, I guess dating all the way back
20 to the Romans. In the UK they used to use these
21 horse-drawn boats along canals. And so if we think
22 about a horse pulling a boat from the side of a canal,
23 there's really a force that's directed right at the
24 side of that canal, and that's not doing any work,

1 because it's not moving anything. We assume that
2 maybe the boat has a rudder so you know it's pushing
3 back, but the boat is not moving towards the side of
4 the canal. That's just reactive power that it's real
5 force, you know, it takes -- work isn't the right word
6 for it, but it takes force to accomplish this, but
7 it's not doing any work. It's not moving the boat
8 forward.

9 The force that is leading to work is in that
10 forward direction and that's, you know, you apply a
11 force and the boat moves forward and that's -- that's
12 like the watts or your real or active power. Real and
13 active power are the same words for this quantity of
14 power that does work. So, you know, watts are
15 generated by a power plant and sold to end customers
16 or generated by DER and compensated over net metering.
17 VARs -- there isn't a financial value in retail
18 markets let's say generally, because it's just not --
19 it's not doing work, but it's required as part of the
20 system.

21 And not to get into too many details here,
22 but the VARs are really related to the magnetic
23 component of all the circuits that we have, so there's
24 a cost of keeping the circuits magnetized so that we

1 can transfer power. And that's really what the VARs
2 are, reactive power element, that's its role in the
3 power system. But really what most parties are going
4 to be interested in in terms of compensation is the
5 watt component of it, the piece that really does work.
6 So there was a long debate during the standards-making
7 process about should we build in overhead, should we
8 require overhead in all DER so that when it's doing a
9 hundred percent of the work it's capable of doing, you
10 know, producing a hundred percent of the watts, should
11 it still be required to have that headroom to be able
12 to produce VARs or consume VARs? And the reason that
13 that's important is say that you have a Volt/VAR curve
14 and your rooftop PV plant is generating a hundred
15 percent of its power, but all of a sudden something
16 happens with the voltage that now the inverter is
17 trying to output reactive power or VARs. If there
18 wasn't any headroom in that inverter, the watts are
19 going to need to be reduced in order to accommodate
20 that reactive power.

21 The standard ended up staying silent on this
22 and really saying that you have two options here. You
23 can do what I just said, reduce that active power,
24 because you haven't built in headroom, or you can

1 oversize that inverter. And so when you're designing
2 the plant, you can add in an additional -- you can add
3 in additional headroom so that that same situation
4 you're producing a hundred percent of your active
5 power and now your Volt/VAR curve calls on some
6 reactive power. Well, you can still stay at a hundred
7 percent of your active power production, get
8 compensated for all of those watts.

9 In some state proceedings I've been
10 following the compensation on reactive power. It has
11 become an issue and that's where this type of design
12 consideration that DER developers need to make upfront
13 becomes relevant, because if a developer is going with
14 the reduced active power option, Option 1 on the
15 screen, and not expecting that these functions might
16 reduce the power that they're compensated for, that
17 can be an issue down the road. So I think that it's
18 just something to consider early on in the process.

19 CHAIR MITCHELL: Can you -- sorry, Kim. Can
20 you comment on how the majority of jurisdictions
21 handle this issue to the extent that there is sort of
22 some --

23 MR. DALTON: Yeah.

24 CHAIR MITCHELL: -- pattern or consensus

1 among jurisdictions?

2 MR. DALTON: So I can speak to how Minnesota
3 has handled it. I think there haven't been enough
4 states that have gone through this process to really
5 develop a fact pattern on it yet. But what Minnesota
6 did was to flag this issue in the statewide rules to
7 say hey developers, this is a choice that you're
8 making upfront, so it wasn't prescriptive about saying
9 we shall follow one of these options but just
10 informing that this is a choice that's being made and
11 if you don't want power production to be affected,
12 please consider oversizing your inverters right off
13 the bat.

14 MS. JONES: Kind of a related question.
15 Given the PURPA requirements basically that utilities
16 must take power, is it even conceivable that they
17 could be forced to forego energy sales?

18 MR. DALTON: That's a good question. And
19 I'm not quite sure how to answer that in the context
20 of if you have an interconnection agreement that says
21 that this DER shall participate in some sort of
22 voltage regulation scheme. Let's just use the
23 Volt/VAR since we're talking about Volt/VAR a lot. If
24 it's saying that the DER has the obligation to

1 regulate voltage in that manner, I guess my question
2 back might be how would you prioritize or view those
3 two different requirements and does one take precedent
4 over the other would be sort of how I would view
5 working through that. But I don't necessarily have an
6 answer of how that works.

7 I guess briefly on this new concept in 1547
8 called the reference point of applicability, the key
9 point on this is that the RPA is where all of the
10 interconnection and interoperability requirements
11 apply. And the standard tried to differentiate small
12 units from large units, because of the influence of --
13 excuse me -- let me say that again, differentiate
14 large units and small units and include the influence
15 of load. So I won't get too detailed into this, but
16 it makes a break point at 500 kVA for saying that
17 the -- if it's larger than 500 kVA and it meets these
18 other requirements, chances are the point of
19 applicability is going to be at a meter where it's
20 been for the last 15 years based on the previous
21 standard.

22 What 2018 did that's different is said
23 sometimes the requirements might apply at that
24 inverter device itself, so that's sort at a high

1 level. What this reference point of applicability
2 says is either the requirements are going to apply at
3 the meter, the point that is the demarcation point
4 between the utility and the customer's system, that's
5 a point of common coupling which is usually the
6 revenue meter. Or it could be just at the terminals
7 of that inverter device is the other option.

8 Along with that are these control capability
9 requirements. And this first one is really relevant
10 for energy storage that all DER must be required to
11 control its active power. And depending on where that
12 reference point of applicability is that could either
13 be a limit on sort of that nameplate value or what the
14 DER is capable of producing or it could be an export
15 limit which is the difference between the load and
16 generation at that meter is essentially what an export
17 limit is.

18 Export can be used to assure that energy
19 storage is complying with net metering tariffs. If
20 there is some sort of requirement for a DER in a net
21 metering arrangement to be producing renewable energy.
22 So it has relevance to sort of tariff compliance. It
23 has relevance to determining the process track for a
24 DER to follow in an interconnection process. If

1 you're able to limit the nameplate value below a
2 certain value, let's say you have a simplified process
3 with a 20 kW level, do you want to consider power
4 limiting as one way to get below that 20 kW and follow
5 the simplified process track.

6 So these capabilities interact with both
7 process types of eligibility and screening
8 requirements, but also with compensation and tariff
9 compliance requirements such as the net metering
10 example.

11 I just briefly want to mention that there is
12 a new response for DER besides just tripping and
13 staying offline for five minutes. And that's this
14 momentary cessation capability which just means for
15 some bulk system responses if you choose Category III,
16 you can get that DER back online really quickly. So
17 in under half a second 80 percent of the production
18 from the DER needs to be back online and that can be
19 important for supporting bulk system needs. And
20 that's different from just this traditional trip
21 requirement where even in the new standard if a unit
22 trips and it's set with a default settings, it's going
23 to stay offline for five minutes, and then it's going
24 to ramp up over another five-minute period. So you

1 could have 10 minutes before you get full power
2 production back under the tripping paradigm even with
3 the new standard.

4 All right. Let's dive into the local system
5 support functions and these are often of interest in
6 the proceedings. Which functions do we pick? What
7 are the default values? These are some of the
8 decisions that you may be contemplating as you look at
9 implementing 1547-2018.

10 So I'm just going to start with a pretty
11 simple example about how DER impacts voltage on a
12 feeder. What we're showing here is just a typical
13 radial feeder and down below is a graph of the voltage
14 declining as the distance increases from the
15 substation. So with load on a feeder, you just expect
16 a declining voltage profile due to kind of the physics
17 of that line and current being drawn over it.

18 Now, if you add a DER at the end of the line
19 and your current is now flowing in the reverse
20 direction, that same -- the same physics that caused
21 your voltage to decline in the forward direction are
22 going to cause a voltage rise in that reverse
23 direction. And it's possible that that voltage can
24 rise so much that the voltage near the end of the line

1 goes outside of the standard allowed ranges and it's
2 pretty typical for utilities to follow a specific
3 voltage range called ANSI C84.1. It's typically in
4 their utility handbooks. It might even be in your
5 statewide rules. But what we want to assure is that
6 voltage is always maintained within that bandwidth.

7 And at a fundamental level there's really
8 only two ways to make sure that that's accomplished
9 and all of these, you know, fancy functions that we're
10 going to talk about, Volt/VAR, Volt-Watt, Fixed Power
11 Factor, they're all relying on these two fundamental
12 methods of accomplishing voltage regulation.

13 The first one, and this is what we would
14 prefer to do because there isn't a real cost in terms
15 of lost production, but you can have that DER
16 consuming reactive power or drawing VARs down the
17 line. So what you have then is you have VARs being
18 drawn towards the DER and that's counter to the flow
19 of the power, the active power that it's producing,
20 and there's a cancellation effect between those two
21 quantities since they're going in reverse directions
22 across the line.

23 Characteristics of large line causes a
24 leveraging effect on the reactive power. So a typical

1 like mainline conductor you might only need one unit
2 of reactive power or VARs to cancel out three units of
3 watts or that active power. So you can get this
4 leveraging effect just because of the characteristics
5 of the line and that makes this a very effective means
6 in some locations, but it also means that it's not
7 effective in all locations, because the response that
8 you get is dependent on that line and if you don't
9 have that leveraging effect, you could be using a lot
10 of reactive power and not actually getting a reduced
11 voltage.

12 The second method to reduce voltage is to
13 simply back off the watt production or that active
14 power, the power that's compensated for. This is
15 going to be less desirable from almost everyone's
16 perspective, because there's energy that's left on the
17 table that's not being produced that could be used.

18 There are five of these functions defined by
19 the standard, five functions that use one of those two
20 methods to affect voltage. There is the constant
21 power factor which has been around for many, many
22 years. It's probably used on a lot of the large
23 installations that you have out in the field today and
24 that's still allowed in the future. There is

1 adjustable constant reactive power just commanding a
2 given level of reactive power. Not a lot of people
3 have found uses for that today. Maybe as we move into
4 the future with like advanced distribution management
5 systems and DERMS and some of these more advanced
6 types of systems you might use that.

7 Volt/VAR is getting a lot of attention
8 because it's an autonomous function that dynamically
9 adjusts. We'll look at a few responses of that
10 Volt/VAR function.

11 And then there is Watt-VAR which I sort of
12 think of as just like a smart power factor function.
13 We won't get into that again. It's not one of the
14 most prevalent, but it is an option.

15 And then there's this Volt-Watt function
16 which I tend to think of as like a back-up function or
17 a soft shutdown. It shouldn't be the primary means of
18 regulating voltage, but you can stack it on top of one
19 of these other functions and it can be very effective
20 and we'll look at an example like that.

21 Okay. So now we're going to look at a
22 couple of these functions in their graph form and I'm
23 going to try to break it down, but please stop me if
24 any of this isn't making sense and clarification would

1 be helpful.

2 What we're looking at on this Volt/VAR
3 function graph is a function that's going to absorb
4 reactive power when the voltage goes high and produce
5 reactive power when the voltage goes low. So see the
6 voltage on that X axis and the level of reactive power
7 consumption or absorption on the Y axis and that point
8 right in the middle that's labeled V Ref that's where
9 your hoping your system voltage is operating.

10 So normal response you have what we call a
11 Dead Band there and that's that line that's not
12 producing or consuming any reactive power right around
13 your reference voltage. But then when your voltage
14 goes low, you may be pushing reactive power into the
15 system and that's that sloping line up on the
16 left-hand side of the chart. And when your voltage
17 goes high, your DER is going to be consuming reactive
18 power and that's your sloping line on the right-hand
19 side of the chart. So from a kind of graphical
20 perspective that's what a Volt/VAR function looks like
21 that is going to be consuming reactive power to lower
22 voltage or producing reactive power to try to raise
23 voltage.

24 So I have an animation here and we'll see if

1 it works. Kind of explaining these graphs quick
2 before we set it in motion. In the upper left-hand
3 corner is a load profile on a feeder. So we think
4 that, you know, there's times of low load when
5 everyone is perhaps going to bed or, you know,
6 they're -- people aren't at the office and in the
7 home. And then in the morning the load can start to
8 rise. So this is just kind of a simplified
9 hypothetical chart.

10 Without voltage regulation, your voltage profile is
11 going to basically be the inverse, so that is to say
12 at times of very heavy loading, high load, you're
13 going to have low voltage, so that sort of tracks
14 inversely that voltage profile in the lower left-hand
15 corner. And then over in the right-hand side is that
16 Volt/VAR curve that we just described.

17 So I'm going to set in motion over time and
18 you can see, I'd suggest focusing on the right-hand
19 side to kind of show how when the voltage changes over
20 time that we have -- so voltage is going up, you're
21 consuming VARs. Voltage is going down, you're
22 producing VARs. And then you reach kind of back
23 within that steady state band. So it really is a
24 dynamic function that's trying to track the voltage of

1 the feeder over time and dynamically adjust the
2 reactive power to compensate accordingly.

3 The other function we'll look at in detail
4 or other function we'll look at -- we're only going
5 look at two out of the five here. So this is the last
6 graph I think on smart inverter functions. But this
7 is a very, very useful function I believe, this
8 Volt-Watt, in future proofing your system and having a
9 system that is flexible to be reconfigured without
10 needing to manually go and manipulate the DER.

11 So what we're looking at here is on the X
12 axis, again we have voltage, so similar to the
13 previous function. But now on the Y axis we have
14 active power or watts. You know, the power that's
15 compensated for. What we're seeing is that when
16 you're at voltage that's normal, full output of power.
17 So we don't want to reduce power unless we're seeing
18 voltage that's high. And not just high, but high
19 enough that it's outside of that acceptable band. So
20 that is to say that this function isn't to be used for
21 regulating voltage when it's within that normal
22 standard ANSI Range A band that we looked at on that
23 feeder voltage profile.

24 But when voltage does get high, that sloping

1 down to the right is just going to be like a soft
2 shutdown on the power, so you're producing at full
3 power output, voltage goes too high and the power
4 output just starts to droop essentially and it will go
5 down to zero if it gets too high or some other
6 predefined level.

7 So here's an example of why this function
8 might be useful. We have a hypothetical system over
9 on the right-hand side that has two substations, so
10 these are two sources of power. The red breakers are
11 closed so that means that this alpha substation up top
12 is feeding all the way down to that green box and
13 that's an open breaker. We assume that there's all
14 sorts of, you know, residential customers, commercial
15 and industrial along this line. Those aren't shown
16 just to simplify the graphic.

17 But we do have this DER system that's close
18 to that top substation in the normal configuration.
19 But now let's assume something happens to that
20 substation, it goes out; lightning strike, animal,
21 transformer failure, you know, one of the common
22 things that may happen to a substation. We're going
23 to assume that this system is automated, and so it
24 recognizes the fault is there. It isolates it. That

1 top breaker opens up, and then this bottom substation
2 Bravo closes through. And so that DER that used to be
3 at the head end of a substation is now way at the tail
4 end of a different substation.

5 If we think back to that voltage profile of
6 DER way near the tail end can cause high voltage,
7 that's what happening in this case. So we were within
8 a normal voltage and we're producing 1 MW of power,
9 but now that we're at the tail end, our voltage goes
10 up to 107 percent, which is outside of that acceptable
11 range, and that DER is going to automatically adjust
12 so it's down in this hypothetical example. It's now
13 producing a quarter of the power that it was in its
14 normal state.

15 So this is really useful on automated
16 circuits, areas where -- well, I guess just in
17 general, as planning engineers we typically in
18 distribution study the normal configuration, and there
19 are so many of these abnormal configurations. For a
20 typical circuit you might have five or 10 different
21 ways to feed it, so you can't necessarily study every
22 single abnormal configuration, and this is a way to
23 say well, whatever state the system ends up in, this
24 DER is going to automatically adjust and try to help

1 protect voltage so that customers' equipment doesn't
2 burn out, that voltage stays within an acceptable
3 range there.

4 So if we think about how these functions
5 might play together, this is one potential example,
6 and I think that this is how a lot of states will end
7 up viewing the stacking of these functions where under
8 normal voltage conditions you're going to want to use
9 a function like the Volt/VAR. There isn't that cost
10 of reducing the real power, the active power produced
11 that we talked about, so that's the preferable
12 function to use to the extent that it actually does
13 help the voltage. But if your voltage continues to
14 shoot up beyond that range, then we want that
15 Volt-Watt -- that Volt-Watt function to kick in and
16 start to back off that power production.

17 So it kind of goes back to those two ways
18 that we talked about of managing voltage. The first
19 one you're going to use as a primary option is the
20 reactive power with say a Volt/VAR function. If that
21 doesn't work and it's still an issue, then the back-up
22 option is Volt-Watt, which will start to back off the
23 power production.

24 If you go above what the Volt-Watt function

1 can even handle, then we're in that abnormal operating
2 region that we talked about and the ride-through
3 functions start to be the dominant consideration.
4 Okay.

5 So that's it on the local systems for -- and
6 we'll just pause there if there's any questions on
7 Volt/VAR, Volt-Watt functions.

8 Okay. Seeing none, we'll jump right into
9 the bulk system. So again, this is thinking about
10 wide area transmission systems that are all
11 interconnected together and trying to keep the system
12 intact and not having any major issues.

13 Starting with the historic perspective of --
14 and this is looking at voltage tripping requirements.
15 You'll see in the similar charts for voltage and
16 frequency, I'm not going to get into the details of
17 these charts, but I will point out that they all have
18 time on the X axis down below and either voltage or
19 frequency on the Y axis. So it's basically saying
20 depending on how severe an event is and the duration
21 of that event, we're going to classify a specific
22 action should take place based on severity and
23 duration is basically how these ride-through functions
24 are defined.

1 This particular graph is going back to the
2 2003 standard, and I just wanted to put this up there
3 for motivation of why it's important that we've
4 defined new ride-through functions. And really the
5 biggest issue with this previous function -- well, one
6 of the biggest ones is the ambiguity for that may-trip
7 region. It didn't say that you had to stay connected
8 to the system and producing which is what you expect
9 of a ride-through function that's supporting the bulk
10 system. Continue producing power. That's a way to
11 not make the fall through the disturbance any worse.
12 This said well you may trip but it's not defining
13 whether you do or don't. Outside of that region was
14 more prescriptive. It said you must trip and clear.
15 But as we go to the future function, we'll look at how
16 that may-trip region was clarified and why that's
17 important.

18 And this is an example of why we -- why bulk
19 system response is important for DER these days. An
20 event out in California -- there were actually two of
21 them in 2018 -- there were disturbances on the
22 transmission system and there was a large amount of
23 inverter-based resources that tripped. Most of these
24 resources were bulk plants, so kind of large-scale

1 plants connected to the transmission system. But
2 these events were the first time that DER tripping was
3 noticeable for a bulk system event.

4 So in the first event, the Angeles forest
5 fire, there was 130 MW of DER tripping, so a sizable
6 amount of DER tripped. And in the second event there
7 was about 100 MW. This equated to about 13 percent of
8 the total generation, so even from a percent of all of
9 the resources that tripped, it was significant. And I
10 think that as DER penetration continues to increase in
11 the future, we could only expect these numbers to go
12 up. And there is some threshold where the amount of
13 DER that trips becomes too great and it leads to
14 instability of the bulk system.

15 And so that's really what's driving why do
16 we want these ride-through functions for DER in the
17 first place. Why is it important? They're on the
18 distribution system and we're talking about supporting
19 the transmission system in these bulk plants. And it
20 really is that we've started to see that DER is
21 responding to the bulk system events and it could have
22 a material impact on how the system operates.

23 This is an example of what one of those
24 events looked like, and I like this because it kind

1 of just --

2 CHAIR MITCHELL: Can I -- may I interrupt
3 you?

4 MR. DALTON: Oh, yeah. Absolutely.

5 CHAIR MITCHELL: Just going back to the
6 point about the threshold, the point you just made
7 about that threshold. The point at which it becomes
8 too impactful to the bulk system.

9 MR. DALTON: Right.

10 CHAIR MITCHELL: What do we know about where
11 that threshold exists?

12 MR. DALTON: That threshold often is going
13 to depend on detailed studies. So every transmission
14 system is different and based on -- you could find a
15 worst-case fault, so in North Carolina we could find
16 the line that causes the worst-case voltage depression
17 for example, and then the severity of that voltage
18 depression would inform where that threshold is. So I
19 can't really say today that there is -- it's at
20 1,000 MW. It's really dependent on --

21 CHAIR MITCHELL: So there's no general
22 rule --

23 MR. DALTON: There's no general rule.

24 CHAIR MITCHELL: -- or relative number at

1 this point?

2 MR. DALTON: Right.

3 CHAIR MITCHELL: Yeah.

4 MR. DALTON: And some of the studies that
5 have been done to try to find that threshold do just
6 that. They're kind of detailed transmission studies.
7 So initiating a study such as that could help inform
8 where our threshold is, but it's going to be very
9 system dependent from location to location.

10 Yeah, just briefly looking at the response
11 of these inverter systems, this graph and it's from a
12 NERC paper that's cited down in the lower right-hand
13 corner, but I think it does a nice job of sort of
14 illustrating the response of DER that you would see
15 following an event.

16 So way at the left-hand side the -- we have
17 full power output, just everything is normal, sunny
18 day. There's a disturbance on the system. We lose
19 most of the DER or most of the generation for a very
20 brief second. The generating resources that are set
21 up for that momentary cessation function that I
22 mentioned where the output is restored very rapidly,
23 those will all bounce back online and so that's that
24 restore output labeled number 1.

1 But then any DER or generation that's not
2 set up that way kind of exhibits this response that
3 we're familiar with from the 2003 standard of waiting
4 for five minutes, waiting for normal conditions on the
5 system, normal voltage and frequency. Once that
6 normal voltage and frequency has been established,
7 there's a ramping period. 2018 standard says it's
8 over another five-minute period.

9 So basically if the default settings are
10 used, this is what you could expect to see. It's
11 about a 10-minute period before you get all of your
12 generating resources back unless the defaults are
13 modified. So if there's a transmission study that
14 says we can't afford to lose the level of DER that we
15 expect to see for 10 minutes, then there would be a
16 reason to push more of the DER to either that restore
17 output rapid response or shorten the time delays or
18 shorten the ramping periods. So these are decisions
19 that are being contemplated by ISOs, RTOs, and states
20 when implementing 1547.

21 MISO in the process that we went through
22 over in MISO decided to stay with defaults, but they
23 would've like to see a quicker response. The default
24 was sort of balancing the distribution needs, which

1 would like to see a little bit more time for things to
2 stabilize out.

3 COMMISSIONER DUFFLEY: And what did PJM,
4 have they decided anything on this issue?

5 MR. DALTON: I believe PJM was silent on
6 this. I would need to double check but that's my
7 recollection.

8 This is the voltage ride-through
9 characteristic that's defined for Category III. And
10 not going to get into the details of the settings, I
11 think that what I'd like to point out from this is
12 just that those regions that were defined in the 2003
13 standard as may trip and it wasn't prescriptive, now
14 they're very prescriptive of we have a continuous
15 operating region where you're expected to operate as
16 normal if you're a DER. A mandatory operation
17 capability where it shouldn't trip, there shouldn't be
18 anything inherent in the DER that causes it not to be
19 able to operate in this region. And then that
20 momentary cessation capability which would lead to
21 that rapid restoration of power if it enters this
22 region and then goes back into the normal operating
23 region.

24 Charlie showed this chart, so I don't think

1 I'll mention this one.

2 And then that brings us to the
3 interoperability, the requirements surrounding that
4 local communication interface. Charlie also showed a
5 similar chart as this. I think what I'd like to build
6 on from what he presented was that the scope of 1547
7 is actually pretty narrow and it's only at basically a
8 communication port for that device. So all of the
9 network, field area networks, how that information
10 gets back to the utility or a third-party aggregator
11 or whoever is managing that DER, that's not
12 standardized.

13 What is standardized is the language that
14 that port can speak, kind of the physical plug that
15 that port is, you know. So can you fit an ethernet
16 jack into that port kind of like we're used to
17 plugging our internet into? That's defined. And then
18 also information models, which is basically just a way
19 to structure all of the functions and settings in a
20 standardized way so regardless of if you're speaking
21 French or German an apple is an apple essentially. So
22 you can translate between different languages, but you
23 have a common way about speaking about the functions
24 and manipulating the functions.

1 A few reasons why we might want to use this
2 interoperability interface of this local
3 communications port. It can be used for monitoring or
4 controlling the real-time status of the DER. So we
5 just want to know what is it outputting or we want to
6 change a function from Volt/VAR to a fixed power
7 factor, it can be used for that. If there's some sort
8 of emergency situation where you want to change the
9 settings, or if it's a Hawaii situation where you want
10 to do a wide-area setting. Something came up in the
11 future we didn't anticipate. We got the ride-through
12 settings wrong. We want to change all of those for
13 DER that's connected to the communication system.
14 This is a means of doing that.

15 And then looking a little bit further into
16 the future, well, today ADMS is becoming more
17 widespread, these Advanced Distribution Management
18 Systems. I think of them just like the energy
19 management systems transmission has been using for a
20 long time. It provides greater visibility and control
21 down to the distribution system and we could
22 incorporate DER into these. And actually a lot of the
23 commercially available products do have DER modules
24 that contemplate interacting with advanced inverter

1 functions.

2 As DER becomes more widespread, the DERMS
3 systems may live within an ADMS or they may be a
4 separate system that integrates with the ADMS. And
5 really I think of these as a way to manage large,
6 large quantities of DER. So if you want a response
7 out of a 1,000 rooftop units in the field, you don't
8 want to have to go through the trouble of saying what
9 am I going to send to every single one of these units
10 to get that response. You want to say here's the
11 response I would like to see; now DERMS system you go
12 figure out how to most efficiently implement that.
13 So there are basically four different types of
14 information that the DER needs to be able to exchange.
15 There is the nameplate information. So the basic,
16 what type of DER am I? What are my capabilities?
17 What are my power ratings? Those types of quantifies.

18 There's the configuration settings and these
19 are meant to be long-term settings that modify the
20 operation of the DER. This isn't Volt/VAR. This is
21 like if you wanted to take a 1 MW solar unit and
22 permanently have it be a 800 kW unit, you can use a
23 configuration setting and you can do that through the
24 interoperability port.

1 There's monitoring. I mentioned like
2 real-time monitoring of the operational status of the
3 DER, the voltage frequency reactive power. That's one
4 of the four categories. And then the last one is
5 management, and that really does get to the Volt/VAR
6 or the configured -- or configuring a set amount of
7 power to be output at some given time. These are the
8 ones that you would modify more dynamically as a
9 utility or a third-party aggregator.

10 There are options of how you implement
11 interoperability. I won't get into the technical
12 detail of what these four options are, but I think the
13 takeaway is that each of these options defines a
14 physical layer. As I mentioned the ethernet plug, you
15 know, what does that physical port actually look like?
16 A transport layer which is a little bit more abstract,
17 but it's sort of like how does information flow across
18 the internet. What is the protocol that, you know,
19 systems can communicate with each other over the
20 internet? And then the application layer which is
21 like a communication protocol, and that's more just
22 like the language. And Charlie mentioned that these
23 options, DNP3, SEP 2.0, and SunSpec Modbus.

24 This is a decision point that some states

1 are choosing to make upfront and others are not. I
2 think there are advantages to both. On the side of
3 making this decision upfront, California was one of
4 the early movers on that. They decided to go with SEP
5 2.0. as their protocol and there is something to be
6 said about the interoperability of their system now
7 that they've clasped on a single protocol. They don't
8 have to try to translate between these. Basically
9 they can expect that this is the stack, this one in
10 the middle. That's how information is going to flow
11 to them.

12 On the other side, the manufacturers haven't
13 really coalesced around a single protocol yet. The
14 standard requires that they support at least one of
15 these. They may support all three. They may decide
16 that they're going to support one and deal with
17 translating the protocol if that's needed. So until
18 the industry really does decide, you know, this is the
19 protocol that all DER is going to use, and I think
20 some in the 1547 working group would've really liked
21 us to get there. That would've made this a simpler
22 decision for people that are in your position for
23 example. It would've been nice, but there were just
24 too many competing interests and too many of these

1 protocols and widespread use that we ended up with
2 three of them, so a decision point to be made.

3 I guess I'll briefly mention sort of the
4 information model perspective. And this graphic just
5 shows that if you have a common information model, you
6 can have sort of a channel that you are directing all
7 that common information to and any system can pull
8 from it, because it knows what format to expect it
9 from. So it's a way that helps integrating different
10 systems together sort of having that common
11 information model.

12 Okay. So that's all that I had on
13 interoperability. I wanted to just share a few
14 thoughts about potential approaches as you're thinking
15 about adopting these different components of smart
16 inverters. So we talked about there's a lot of
17 different functionality and not all of it necessarily
18 needs to be figured out on day one, but there are
19 certain aspects that could be figured out sooner than
20 others and they're sort of like the no-regret type of
21 decisions.

22 I see ride-through capabilities, if we think
23 about this in a stepped approach, I see ride-through
24 capabilities as one of those decisions that can be

1 made immediately with the adoption of 1547-2018. So
2 picking performance categories and then determining
3 the response that you want to see within that, those
4 performance categories. It's important to coordinate
5 with the ISO and RTO in those discussions.

6 So picking ride-through functions and
7 settings is a balance between distribution and bulk
8 system objectives. So it's really important to have
9 all of those voices in the room, those being
10 distribution engineers, transmission engineers, ISO,
11 RTO engineers.

12 MS. JONES: Excuse me, Patrick.

13 MR. DALTON: Yeah.

14 MS. JONES: In an environment where we are
15 where most of North Carolina is not in an RTO, where
16 would that coordination happen?

17 MR. DALTON: It would be with the
18 transmission operator then. Yeah. So thank you for
19 that clarification. If not in an organized ISO or
20 RTO, it's really the transmission operator that would
21 be the relevant party on the bulk system side.
22 The next step that I see is the use of real power
23 control. So that's Volt-Watt. I think that Volt-Watt
24 is a no-regret function to implement right away as

1 well. It's sort of this protective back-up function
2 that when voltage is within the normal bounds, nothing
3 happens. If it goes outside, it's going to start to
4 operate.

5 One thing to consider with this is there is
6 a consumer protection angle that customers' voltage
7 may be just slightly above that acceptable range if
8 the utility is riding that upper edge, so they may
9 experience some loss production. And, you know, there
10 are proceedings. I've seen consumer advocacy groups
11 talk about that angle and I think it's an important
12 one to consider. How I've seen it addressed to date
13 so far is mostly been tracking. So requirements for
14 utilities to track how often that function is being
15 activated.

16 But most parties that I've spoken with or
17 been involved with in these types of proceedings see
18 the value in the Volt-Watt, so setting aside that
19 there is sort of this small -- this consideration, an
20 important consideration, but sort of an edge case that
21 this function does make sense to implement early on in
22 the process.

23 At a similar time I think it makes sense to
24 consider what reactive power function, so do you set a

1 default Volt/VAR function like we talked about? I
2 think that there are a lot of reasons to consider a
3 default Volt/VAR function due to its flexibility to
4 adapt to different conditions on the feeder. It's
5 sort of more of a future-proof function. It works
6 well for small units that you don't want to
7 necessarily come up with custom settings for the
8 default Volt/VAR function in the standard. It was
9 meant to be not too aggressive, that it won't have a
10 lot of interactions with other inverters or other
11 voltage regulation equipment. So I think that
12 considering that type of function implementation at
13 the same time makes sense.

14 Then further on down the road, maybe
15 initially as well, but I see interoperability as a
16 more complex topic to address. When do you apply it?
17 Is there a certain size threshold that you're going to
18 require that that interoperability interface is made
19 active and communications are established to it?
20 There's a real cost involved since the rest of that
21 network isn't in scope for the standard, so the
22 standard defined of basically, you know, a way to talk
23 to the DER, but establishing all of that
24 communications isn't in scope, so that needs to be

1 done and there is a cost to that, so --

2 Some of those considerations we talked about
3 protocols not being a hundred percent standardized on
4 or at least the industry hasn't picked one protocol
5 yet if that is to happen. There's a chance it won't,
6 but I do tend to think that the industry will start to
7 coalesce around a single protocol. So some of those
8 types of issues make the interoperability issues a
9 little bit more complex. And then like custom
10 settings and approaches using something non-default of
11 deviating from the defaults and the standard, I think
12 is also more of an advanced topic.

13 That's just one potential stepped approach.
14 This isn't like out of the official IEEE 1547 or out
15 of any best practice, but just based on my experience
16 with some of these discussions, something to consider.

17 So I guess just to summarize those three
18 kind of key areas again. From my perspective when I
19 think about the standard, it comes down to this local
20 system support, the Volt/VAR, Volt-Watt, the bulk
21 system support, the ride-through types of functions,
22 and then the interoperability. And that's not to set
23 aside many of the other important aspects of the
24 standard. I just think of this as one way that I can

1 wrap my head around what's in the standard is that
2 there are sort of these three pillars that are really
3 core to the revision and also are interwoven with the
4 decisions that are typically made through regulatory
5 proceedings to adopt and implement the standard.

6 And that's all I had. I'd be happy to take
7 any additional questions if you have any.

8 CHAIR MITCHELL: Questions for Mr. Dalton?
9 All right. I think it looks like you've gotten off
10 easy. No additional questions.

11 MR. DALTON: Thank you.

12 CHAIR MITCHELL: We appreciate y'all
13 spending your time with us today and sharing with us
14 your experience and the work that you all have been
15 doing. It's invaluable for us and we appreciate your
16 engaging with us in this opportunity for shared
17 learning. So thank you very much for being here today
18 and helping us as we continue on our journey.

19 If there is nothing else from the
20 Commissioners or from Commission staff, we will be
21 adjourned. Thank you very much.

22 (The proceedings were adjourned.)
23
24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings in the above-captioned matter were
taken before me, that I did report in stenographic
shorthand the Proceedings set forth herein, and the
foregoing pages are a true and correct transcription
to the best of my ability.

Kim T. Mitchell

Kim T. Mitchell
Court Reporter II